

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE

FEDERAL ENERGY REGULATORY COMMISSION

- - - - -x

IN THE MATTER OF: : Docket Number:

INTERCONNECTION FOR WIND ENERGY : PL04-15-000

AND OTHER ALTERNATIVE TECHNOLOGIES :

: :

STANDARDIZATION OF SMALL GENERATOR : RM02-12-000

INTERCONNECTION AGREEMENTS AND :

PROCEDURES :

: :

STANDARDIZATION GENERATOR : RM02-1-001

INTERCONNECTION AGREEMENTS AND : RM02-1-005

PROCEDURES :

- - - - -x

Commission Meeting Room

Federal Energy Regulatory

Commission

888 First Street, N.E.

Washington, D.C.

Friday, September 24, 2004

The above-entitled matter came on for

technical conference, pursuant to notice, at 10:30 a.m.,

Bruce Poole, presiding.

1 APPEARANCES:

2 JIM CALDWELL, Director of Policy, PPM Energy on
3 behalf of AWEA

4 THOMAS BASSO, Senior Scientist/Engineer, National
5 Renewable Energy Laboratory, on behalf of IEEE

6 JACK HOCHHEIMER, Transmission Manager, FPL
7 Energy, LLC

8 NICK MILLER, Principal Consultant, GE Energy

9 CRAIG QUIST, Principal Engineer, PacifiCorp,
10 former Chair of the WECC Technical Studies
11 Subcommittee

12 EDWARD TORRERO, Senior Program Manager, National
13 Rural Electric Cooperative Association (NRECA)

14 STEVEN SAYLOR, Chief Electrical Engineer, Vestas
15 Americas

16 DR. POUYAN POURBEIK, Principal Consultant, ABB
17 Inc.

18 ERIC LAVERTY, Technical Lead, Interconnection
19 Engineering, Midwest ISO

20 MIKE JACOBS, Eastern Representative, American
21 Wind Energy Association (AWEA)

22 BILL WHITEHEAD, General Manager, Transmission and
23 Interconnection Planning, PJM Interconnection LLC

24 -- continued --

25

1 APPEARANCES CONTINUED:

2 PATRICIA ARONS, Manager of Transmission and
3 Interconnection Planning, Southern California
4 Edison

5 CHARLES MATTHEWS, Electrical Engineer, Bonneville
6 Power Authority

7 WAYNE HAIDLE, Engineer, Montana-Dakota Utilities
8 Co.

9 JEFFREY V. CONOPASK, Ph.D., Senior Economist,
10 Public Service Commission of the District of
11 Columbia, on behalf of The National Association
12 of Regulatory Utility Commissioners (NARUC)

13 PAUL LEHMAN, Transmission Consultant, P.E., Xcel
14 Energy, on behalf of Edison Electric Institute
15 (EEI)

16 KENNETH DONOHOO, Manager, System Planning,
17 Electric Reliability Council of Texas (ERCOT)

18
19
20
21
22
23
24
25

P R O C E E D I N G S

(10:30 a.m.)

MR. POOLE: Good morning. I'm Bruce Poole, and I've got a short introduction to talk about, and then we can have introductions.

Welcome to the Federal Energy Regulatory Commission and to this Technical Conference on Interconnection for Wind Energy and Other Alternative Technologies. Thank you all for joining us today.

The Conference was established by the Commission to discuss the Petition for Rulemaking submitted by the American Wind Energy Association that was provided on May 20, 2004 in Docket Number RM02-1-005.

Staff has established many goals for today's Conference. As an overreaching goal, the Staff is interested in learning as much as possible about wind generators and potentially other alternative generation technologies that may require interconnection standards and requirements that are different from those that were laid out in Order No. 2003 and 2003A.

When this Conference concludes later today, the Staff hopes to have an understanding of why these technologies are different from more standard, large synchronous generation technologies. Additionally, we hope that this Conference will identify if there are other

1 alternative generation technologies like that of wind, that
2 may require revised interconnection standards.

3 Another primary goal Staff has set for this
4 Conference is to gauge industry reaction to the AWEA
5 petition and to understand the alternatives to AWEA's
6 proposal or certain aspects of AWEA's proposal. We hope to
7 identify the areas of agreement and disagreement within the
8 regulated community regarding the interconnection of wind
9 and other alternative technologies.

10 Within those broad goals, the Staff has developed
11 several questions that we hope will be answered during
12 today's Technical Conference. Many of these questions were
13 provided in the Supplemental Notice to the Technical
14 Conference that was issued September the 8th.

15 The Staff will focus on those questions and
16 related questions during the course of today. Before we
17 begin, a few housekeeping matters: While we have not built
18 any breaks into today's agenda, because we have so much to
19 talk about, please feel free to step in and out of the room
20 as you need to.

21 Additionally, the Commission will accept written
22 comments on the issues discussed in AWEA's petition and at
23 today's Conference, in within approximately 30 days of
24 today's Conference, or Monday, October 25th, we'd like to
25 have those comments, and they should be filed in Docket

1 Number PL04-15-000.

2 And now I'm going to let Rob Gramlich make a
3 little statement, and then we'll have introductions.

4 MR. GRAMLICH: I wanted to thank everybody for
5 coming, and also thank, in particular, AWEA, for putting out
6 a strawman that we can all work from here. About almost a
7 year, Jay Carrier and Jim Caldwell came by and talked to
8 Chairman Wood about some of these issues, and I just want to
9 thank them for having such specific descriptions of the
10 problem and specific descriptions of the possible fix.

11 And so, with that, it's easy to work on
12 solutions. Since then, Mike Jacobs and Chris Ellison have
13 been working on this. And I also want to thank transmission
14 providers who hare here today, who are being realistic about
15 what actually can get incorporated here, and to preserve the
16 reliability of the grid.

17 I've seen some very specific comments here, and
18 we'd like to come out at the end of the day today with some
19 very clear, hopefully, ideas or at least principles on what
20 could be incorporated into an amendment to Order 2003.

21 And just in the general spirit of compromise, I
22 think we all need to be compromising somewhat in order to
23 make that happen. I know the wind providers have offered to
24 make some changes on things like low voltage ride-through,
25 and if everybody can kind of work together and be specific,

1 MR. AGARWAL: Kumar Agarwal, OMTR.

2 MR. GRAMLICH: Rob Gramlich, Chairman Wood's
3 Office.

4 MR. ROONEY: Pat Rooney, OMTR.

5 MR. POOLE: And I'm Bruce Poole with OMTR, the
6 Reliability Group.

7 MR. KELLY: Kevin Kelly, Policy Analysis and
8 Rulemaking.

9 MS. MCKINLEY: Sarah McKinley, External Affairs.

10 MR. THOMAS: Chris Thomas with OMTR.

11 MR. HINRICHS: Lance Hinrichs, Office of Market
12 Oversight and Investigations.

13 MS. WHITE: Carol White, Office of Market
14 Oversight.

15 MR. POOLE: Okay, to begin with, we're going to
16 let Jim Caldwell go first. And he's going to sort of give
17 us an overview of their petition, and then as soon as he
18 finishes, we'll have the introductions for the rest of the
19 panel, and then we can -- you'll each get five minutes, when
20 it comes your turn.

21 Since Jim is going to talk in a little bit more
22 detail about the petition, he gets a little more time, but
23 everybody else will get five minutes, and then once
24 everybody's introduced and made their statements, we'll just
25 start questioning, to go through our questions. Jim?

1 MR. CALDWELL: I'm Jim Caldwell and I'm the
2 Policy Director for PPM Energy. PPM Energy is the
3 subsidiary of Scottish Power, and I guess we have -- we are
4 a very large wind developer and we have aspirations, some
5 day, of being the largest, who is now my friend, Jack
6 Hochheimer, sitting down here, who has that mantle.

7 But we develop wind, both in the United States
8 and through sister organizations, mainly in the UK, but
9 throughout Europe as well. We also have the same parent as
10 another member of the panel down here, Craig Quist from
11 Pacificorp, so that is my background and disclosure,
12 however, I think the reason why I'm here and the reason why
13 I'm starting is that when this petition was filed, I was the
14 lead with the American Wind Energy Association for filing
15 this petition, so I'm here, not on behalf, specifically, of
16 PPM Energy, but more for the wind industry and the American
17 Wind Energy Association.

18 (Slides.)

19 MR. CALDWELL: I had three slides that I wanted
20 to go through as background for the petition. The first was
21 sort of a history and purpose of the Grid Code, and it
22 really came from three or four points.

23 The first is that there is a growing worldwide
24 recognition of the economics of wind energy and the need to
25 design both the grid and wind energy facilities for,

1 quote/unquote, high penetration on the grid.

2 If you look at the resource base in the United
3 States, there is about 600,000 megawatts of resource base
4 for wind that is economic at today's natural gas prices.
5 And that means, if you project out into the future, that
6 conditions stay where they are, that you could be looking
7 for wind penetration on the grid on a national basis now,
8 somewhere between what hydroelectric does today and maybe as
9 much as what nuclear does today, so somewhere between, say,
10 10 and 20 percent of the grid, looking out into the future,
11 could be wind energy.

12 And because the wind energy resource is not
13 distributed evenly throughout the country, that energy would
14 not be distributed evenly throughout the grid, and there
15 will be some portions of the grid where the penetration
16 rates are very high, maybe approaching what they are today
17 in Denmark where, on an annual average basis, it's about 30
18 percent of the energy that comes from wind. In many hours
19 out of the year, more than 100 percent of the energy for the
20 country of Denmark is produced from wind.

21 These facts, if you will, on the ground, of the
22 economics and the political desirability and the
23 environmental desirability of this resource, require a
24 response from the technical community in order to make that
25 happen in a way that is both economic and reliable.

1 The second major theme that caused us to do this
2 was what I will call a history of poor communication among
3 wind developers, turbine manufacturers, grid operators, and
4 the engineering community at large. And when I say "poor
5 communication," I don't mean any intent on anybody's part of
6 anything about behavior; it's just a fact of life, and that
7 is a fact, that the grid developed without considering this,
8 that much of the wind technology developed without
9 considering grid impacts, that this has all come about
10 relatively quickly.

11 And this relatively quick development of the
12 technology and the making of the economics of that
13 technology, has overtaken the engineering community in a way
14 that needs to be fixed. And one of the major things that we
15 would like to see out of this is an acceleration of that
16 communication and a facilitation of that communication in
17 order to make this happen.

18 Throw in the mix, Order 2003, which is a standard
19 process for standard generators. It essentially assumes
20 that you're a combined-cycle natural gas plant, maybe even
21 the GE Frame 7 that's being hooked up to the grid.

22 And all of the details, all of the underlying
23 appendices and tables and so forth, essentially assume that
24 as a matter of course and then proceed from there. And we
25 simply don't fit into that definition.

1 And then, fourth, there's no question that the
2 Northeast blackout of a couple of years ago, just simply
3 highlights and says -- not that it had anything to do,
4 specifically, with wind or anything else, but it just
5 highlights the need for better planning, better
6 anticipation, and clearer rules, sooner rather than later.

7 So the main function and the main purpose of this
8 Grid Code was to highlight these issues, to lay down a
9 marker in the sand to say this is where we, the wind
10 industry, believe that we can do today and what we ought to
11 be doing today as a good citizen on the grid, recognizing
12 where the technology is today, where the economics are
13 today, and where it can go in the future and what we can
14 contribute.

15 And we lay that out as something that we are
16 willing to undertake voluntarily, because we don't like the
17 consequences of having this dictated to us over time and
18 down the road.

19 The process that we used to develop the Grid
20 Code, the first thing we did is, we assembled a critical
21 mass of the, quote/unquote, wind industry. We got
22 essentially all of the turbine manufacturers, all the
23 component -- the major component suppliers, developers and
24 operators and engineering consultants that serve our
25 industry, and under the banner of the American Wind Energy

1 Association, got everybody to sit down in the same room.

2 We also had to have a lawyer also to worry about
3 those kinds of discussions about standards and so forth
4 among all these competitors. So that was not a trivial
5 matter to get all that put together.

6 The second thing we did is, we examined all of
7 the other efforts that are going on worldwide, all the Grid
8 Code efforts. The problem that we're talking about here is
9 not one that is confined to the United States, it's not one
10 that's confined to the WECC; it is an issue all around the
11 world, and there are parallel efforts going around.

12 We specifically looked at grid codes and draft
13 grid codes in Germany, Spain, United Kingdom, Greece,
14 Australia, and then the People's Republic of Texas, WECC,
15 and the New York Independent System Operator.

16 We assessed near-term product development plans
17 of turbine manufacturers and component suppliers that could
18 result in, quote/unquote grid-friendly wind turbines and
19 wind farms, and, finally, we tried to reach industry
20 consensus on what that meant in terms of a set of process
21 standards that we could live with and that we felt that we
22 could hold up and say that we were really and truly holding
23 up our end of the bargain in terms of contributing to the
24 reliability on the grid.

25 So, that's what the Grid Code was about. I won't

1 go into the details of what the Code contains, other than to
2 just to sort of give you the outline, and we will come to
3 the issues, point-by-point.

4 The first set of issues was a point of connection
5 technical standard. And it's important to say that these
6 are point-of-interconnection standards. These are not
7 turbine manufacturer standards, these are not intended to be
8 component standards; they are intended to be at the point of
9 interconnection technical performance standards for, first,
10 low-voltage ride-through.

11 A few words on that: Maybe two or three or four
12 years ago, the philosophy for a grid operator looking at a
13 wind turbine was, if there is a disturbance on the grid, I
14 want that wind turbine off and out of the way, because I
15 don't want to have to deal with it when everything else is
16 all in an upset condition.

17 So, wind turbines were intentionally designed,
18 essentially at the request of the grid operators, to trip
19 off at the first sign of a problem. Well, that's fine, as
20 long as you are some demonstration plant and you're a
21 minuscule part of the generation mix; it does not work if
22 you are suddenly asked to be contributing at a level that if
23 that generation trips off during the disturbance and is not
24 there when the disturbance clears, then leads to some sort
25 of cascading outage, because of the lack of generation.

1 So, suddenly, if you will, the design philosophy
2 had to change and all of a sudden, manufacturers were being
3 asked to ride through and to be available, once the
4 disturbance cleared, to be able to again generate.

5 The second set of technical standards was voltage
6 support and reactive power, and we all understand that --
7 and, specifically, the Northeast blackout brought this home
8 -- that all generators on the system, all consumers, all
9 users of the common grid, have a common need and a common
10 obligation to supply voltage support, to participate in this
11 common good, common necessity of reactive power, and we, the
12 wind industry, need to take our place with everyone else.

13 However, the way that may be expressed in terms
14 of a tariff requirement, we feel needs to be expressed
15 differently for a technology like ours.

16 The third point-of-interconnection technical
17 standard that we tried to lay out, is some SCADA
18 functionalities. SCADA -- I'm sorry, it just dropped out of
19 my head, what those letters stand for -- but what it means
20 is that the real-time communication between the wind farms
21 and the grid operators and the ability to send signals back
22 and forth in order to perform some of these functions in
23 real time, as opposed to over the telephone or trying to
24 look somebody up at their house to say, let's go out and fix
25 it.

1 And we think it's an absolute necessity, going
2 forward, that this functionality be built into and be part
3 of the standard interconnection standard, that this two-way
4 communication between the grid operator and the wind farm,
5 in electronic form and in real time, be able to take place
6 in order to capture and to be able to deal with the
7 engineering issues of the day.

8 The second set of things that is contained in the
9 Grid Code is what we call Order 2003 process considerations.
10 And the first piece of that has to do with what we see as
11 the need for some front-end flexibility that recognizes the
12 fact that wind turbines are different and that there are a
13 lot more options.

14 This idea that we can just come in and say, well,
15 let's wrap all of the technical requirements with a bow and
16 we will tell you exactly what it is that we want to
17 interconnect with the grid, and that we need to do that and
18 essentially complete our engineering prior to entering into
19 the interconnection queue, simply doesn't work.

20 It doesn't work from a technical standpoint.
21 Many of these issues are an output of the interconnection
22 studies, not an input to the interconnection studies for us.
23 And from a matter of timing, if we have to enter into the
24 interconnection queue as much as four to five years, maybe,
25 before the plant comes online, that's an eternity. That's

1 maybe two product development lifetimes for the wind
2 turbines that come up.

3 And so that requirement of Order 2003, that
4 everything has to be done from our side before we get
5 interconnection queues, simply doesn't work, and we're
6 looking for some front-end flexibility.

7 Finally, a lot of these issues depend upon a
8 shared engineering community set of models and set of
9 procedures in order to conduct the technical studies, and
10 that we feel it's important for the FERC to give some
11 institutional support for this modeling and software
12 development effort.

13 This is not something that the wind developers
14 can do on their own, or the turbine manufacturers can do on
15 their own; it is not something that the transmission
16 providers can do on their own. We all have a shared
17 responsibility and a shared need to participate in this, and
18 we would like to see some institutional support from this
19 organization, which, in effect, requires everyone to take up
20 their piece of this pie and to participate in this modeling
21 development software effort.

22 So, that's what the Grid Code says, and with
23 that, I'll be quiet and let other people talk about the
24 details. Thank you.

25 MR. POOLE: Okay, thank you, Jim. Now we'll just

1 go down the panel, and first, why don't you just introduce
2 yourselves and then we'll come back and start with Tom.

3 MR. BASSO: Good morning. My name is Tom Basso.
4 I'm pleased to be here to participate i this conference.
5 I'm here to offer you background on IEEE Standards
6 Coordinating Committee 21 development of the Interconnection
7 Standard 1547 for Distributed Resources.

8 I work for the National Renewable Energy
9 Laboratory, Distributed Energy and Electric Reliability
10 Program. Support fo me and the 1547 development has been
11 through DOE Distributive Power Program and also the DOE
12 Office of Electric Transmission and Distribution.

13 The views expressed here are my own, and they
14 don't constitute DOE nor IEEE positions.

15 SCC is an industry-driven IEEE group that
16 develops standards in an open-consensus forum. The 1547
17 Standard for Interconnection is the first in a series of
18 standards documents being developed. There are five other
19 documents currently in the series.

20 The first 1547.1 being developed, is the test
21 standard, the second one is applying 1547 to real-time,
22 real-life deployment; the 1547.3 Guide is the communications
23 standard for information exchange, monitoring, and control
24 and SCADA system; the 1547.4 Guide is for the operation,
25 design, and integration of islanding systems for distributed

1 resources.

2 And, finally, the latest guide being developed is
3 the Technical Guide for Interconnection of Electric Power
4 Sources Greater than 10 MVA to the Transmission Grid.

5 In addition to the 1547 series of documents, the
6 SCC-21 Work Group members have identified the need and
7 desire to have certification for equipment that
8 interconnects with the grid. At NREL, we've developed a
9 draft model program for certification that could be adopted
10 by industry and contributing stakeholders.

11 The program involves a nationally recognized test
12 lab being responsible for the certification of equipment.
13 But now back to the 1547 documents:

14 The 1547 Standard was published in 2003. It's
15 the only American national standard for interconnection.
16 The 1547.1 test standard document is going to ballot this
17 Fall. The 1547.2 application guide and the 1547.3
18 communication guide, are targeting 2005 for ballot. The
19 guide to intentional islanding, 1547.4, held its inaugural
20 meeting this August, and, finally, the 1547.4 guide for
21 transmission interconnection at greater than 10 MVA, was
22 just approved by the IEEE Standards Board this week, to
23 start its development.

24 The 1547 standard defines the minimum universal
25 mandatory requirements needed for interconnection and for

1 testing. The requirements are functional and not
2 prescriptive.

3 Functional technical requirements are statements
4 of what the system needs to do or what behavior must be
5 available. 1547 requirements are technology-neutral. They
6 apply to all interconnection equipment, be it synchronous,
7 induction, or inverter-based.

8 1547 realizes that there are equipment-specific
9 requirements and there are operational requirements in
10 addition to the technical requirements for interconnection.
11 1547 does not require interconnection equipment be
12 instituted at the point of common coupling, nor does it
13 require all the equipment to be on one side of the customer
14 point of common coupling or on the grid side.

15 It's a dispersed application of equipment, be it
16 on the grid side or the distributed generation side.

17 The 1547 interconnect requirements apply up to
18 ten MVA on distribution systems, and the 1547.5 will build
19 on that for greater than ten MVA at the transmission level.

20 The 1547.3 communications guide is not
21 necessarily limited to ten MVA. I'll close here by
22 reiterating that the development of the 1547 standard has
23 been a major success for the work group developers as an
24 American national standard based on the consensus,
25 development, and balloting shown by the 444 work group and

1 ballot group members listed in the standard.

2 They have developed the document of universal
3 functional technical requirements that are technology-
4 neutral. Thank you.

5 MR. POOLE: Yes, Mr. Hochheimer?

6 MR. HOCHHEIMER: Good morning. My name is Jack
7 Hochheimer, and I appreciate the opportunity to represent
8 FPL Energy's interests here today.

9 In my capacity as Transmission Manager for FPL
10 Energy, I'm responsible for all transmission-related
11 technical and contractual activities associated with FPL
12 Energy generation projects, including interconnection of new
13 projects and resolution of operational issues for existing
14 assets.

15 I've been in the power systems engineering
16 business for 32 years, with most of that experience in the
17 transmission planning arena. I'm a registered Professional
18 Engineer in Florida and New York.

19 FPL Energy is a leading clean energy provider
20 with natural gas, wind, solar, hydroelectric, and nuclear
21 power plants in operation in 14 states. More than 90
22 percent of FPL Energy's electricity is generated by clean
23 fuels. We are the leading wind power producer in the world,
24 with nearly 2750 net megawatts currently in operation in 15
25 states across the U.S, which represents just under 50

1 percent of the installed wind capacity in the country.

2 In 2003, FPL Energy was responsible for more than
3 half of all new wind power projects completed in the United
4 States. We also operate the world's two largest solar
5 fields in the Mohave desert.

6 I'd like to begin with an example of one of our
7 recent wind interconnection success stories and some of the
8 resulting concerns that it gave rise to. In 2003, FPL
9 Energy commissioned the New Mexico Wind Energy Center, a 204
10 megawatt wind farm, interconnected with the Public Service
11 Company of New Mexico's system, which is also known as PNM.

12 The PNM system is relatively small, with 2150
13 megawatts, peak, and 1,000 megawatts, off-peak. So,
14 depending on system load level and wind generation output,
15 the wind farm could end up serving up to 20 percent of the
16 PNM system load.

17 It was clear from the start that the relative
18 size of the wind farm in the PNM system, may lead to some
19 challenges not previously encountered by a wind project.
20 PNM also imports a good deal of their power over EHV lines.

21 When PNM got into the system impact study, it
22 found that faults on the PNM system, including faults on the
23 EHV lines used to import power, would cause a voltage
24 depression at the wind farm that would trigger the internal
25 under-voltage protection on the generators to trip the units

1 offline.

2 Were such an event to occur, PNM would lose not
3 only the import capability of the EHV line, but also the 200
4 megawatts of wind generation. This would be their worst
5 system outage, and it had to be addressed.

6 FPL Energy worked with PNM to define technical
7 requirements for the wind turbines to ride through such
8 events, and we were also able to work with the wind turbine
9 supplier, GE Wind, to develop and implement the capability
10 to meet such requirements.

11 The low-voltage ride-through requirements that
12 PNM developed, seemed reasonable to us, because the study
13 showed that they were necessary to maintain system
14 reliability. The New Mexico Wind Energy Center was the
15 first wind generation facility in North America to employ
16 low-voltage ride-through capability.

17 The interconnection process for this facility, in
18 general, was a huge success story for wind. Despite the
19 exhaustive studies conducted for the 200 megawatt project,
20 it was in service in less than a year from the initiation of
21 the studies.

22 Once the existence of this new low-voltage ride-
23 through capability became known in the industry, however,
24 other transmission owners demanded that they wanted it for
25 wind generation generators connecting to their system.

1 Notice that I said, "wanted," and not "needed."

2 PNM clearly demonstrated the reliability need for
3 their system, and the industry responded, though it raises
4 the cost and complexity for wind projects. Once this
5 capability became available, we had several transmission
6 owners decide that they wanted it as a condition to
7 interconnect, even though they could not demonstrate a need
8 on their particular systems.

9 FPL Energy's position on technical requirements
10 for interconnection of wind generation and other alternative
11 technologies, is that the technical requirements in Orders
12 2003 and 2003A, should not be the default requirements for
13 these technologies, rather, transmission owners should only
14 require what is necessary of wind generators to meet
15 applicable reliability criteria.

16 Features such as the low-voltage ride-through and
17 reactive capability should only be required on an as-needed
18 basis; in other words, each technology advance by the wind
19 industry should not become the default requirement by
20 transmission owners, because they want it instead of need
21 it.

22 We fully support the AWEA Petition for Rulemaking
23 in this regard. To quote from this petition, with respect
24 to low-voltage ride-through, "Nothing in this standard shall
25 authorize the transmission provider to refuse to

1 interconnect facilities with lesser or no such capability,
2 where a transmission provider determines, based on
3 interconnection studies or the requirements of a particular
4 transmission provider's system, that this capability is not
5 necessary to meet applicable reliability requirements."

6 And regarding the reactive capability provisions,
7 the Petition also states that "If system impact studies
8 demonstrate that reliability requirements are met..."

9 MR. POOLE: Do you have much more?

10 MR. BASSO: I'm sorry?

11 MR. POOLE: Do you have much more. Your time is
12 up.

13 MR. BASSO: Two sentences.

14 MR. POOLE: Okay.

15 MR. BASSO: "If system impact studies demonstrate
16 that reliability requirements are met at less than, i.e.,
17 closer to unity, 0.95 lagging power factor, then that
18 resulting figure becomes the power factor range
19 requirement."

20 I know my time is limited, so I look forward to
21 responding to your questions about these and other issues
22 raised in the AWEA Petition. Thank you.

23 MR. POOLE: Nick?

24 MR. MILLER: Thanks, Chris. I'm Nick Miller, a
25 Principal Consultant for GE Energy. I have a couple of

1 dozen years of primarily transmission planning and
2 integration of new technologies and power system expertise.
3 I'm relatively new to the wind business, but I'm here
4 speaking on behalf of GE Energy in all things grid-related.

5 I doubt I have my talk as finely tuned as the
6 previous two speakers to get to exactly five minutes, plus
7 or minus. I've made a handout here that hopefully you have
8 in front of you, that I'll talk from.

9 Basically, FERC is making a step forward on a
10 critical issue by recognizing that there is a distinction
11 between wind generation and other technologies as they
12 relate to grid performance.

13 I'd like also to point out that both FERC and
14 AWEA appear to be moving in the right direction to make
15 functional requirements, recognizing that all wind
16 generation technology is not equivalent, that is to say,
17 there are differences in what can be built and offered.

18 And each of the previous speakers has pointed out
19 that the technology and understanding and practice, are all
20 evolving very rapidly. To that end, we recognize that there
21 is a need for some standards.

22 We don't want to be making this up as we go
23 along, but simultaneously, we need to recognize that this is
24 by far, far from established standard and practice and that
25 we need to be flexible.

1 To that end, finally, there is a industry
2 motivation and clearly FERC's motivation to provide for fair
3 adaptation to new generation technology. And, of course,
4 "fair" is a very loaded word. We need to represent all the
5 stakeholders, including the incumbents, but also to allow
6 forward motion.

7 To that end, I'll have a couple high-level
8 points, as speaking on behalf of GE. GE supports the
9 provisions of the AWEA Petition, particularly with regard to
10 low-voltage ride-through, power factor range, and voltage
11 regulation. I'll take you into each of those very briefly.

12 I've said that we must allow these standards to
13 evolve, and we've made a first good step. There are two key
14 points, philosophically, from GE's perspective: It is
15 reasonable to demand a high level of performance from wind
16 generation, okay?

17 Wind generation need not be given a free buy
18 because it is otherwise desirable from a social or policy
19 point of view. Having said that, it is not reasonable to
20 drive industry practice to force wind to be identical or
21 indistinguishable from other generating resources. I
22 believe that there is a certain amount of consensus in the
23 room to that end.

24 Moving forward on the two specific technology
25 aspects, low-voltage ride-through, you've heard why or what

1 it is. It is a key point, particularly in the case, for
2 example, of Public Service of New Mexico. It is worth
3 noting that other countries have moved to a direction of
4 requiring low-voltage ride-through as a provision to allow
5 higher penetration of wind.

6 For example, the Spanish system is 5,000
7 megawatts of wind generation that is vulnerable to tripping
8 for low voltage events. They are now moving to a low-
9 voltage ride-through standard. To some appreciable extent,
10 they're closing the barn door after the cow has left, and we
11 think that it is -- we can learn from that experience and
12 not repeat that, what could be considered a mistake.

13 It is also worth noting that when generation, at
14 least the technology that I'm familiar with, has in many
15 regards, superior dynamic performance to that of
16 conventional generation. I don't want anybody to walk away
17 with the notion that wind is always second-class, from the
18 point of view of performance on the grid.

19 There are things that wind generation does
20 better, and we don't want equivalents; we want the
21 technology to take advantage of what it can offer.

22 And a key point is that GE is presently offering
23 technology that meets the provisions of the proposed AWEA
24 Grid Code.

25 On power factor control, we consider that to be a

1 reasonable requirement, and we're prepared to meet that.
2 Participation in voltage control is key to enable high
3 penetration of wind, particularly in weak systems that are
4 the type where there's good wind resource.

5 You get far away from population centers with
6 lots of wind, the system is weak, and voltage control and
7 reactive power range are required, and we need some good
8 engineering, to Jack's point, to make sure that any
9 standards are not applied without consideration to the
10 physical reality of the specific site -- good engineering
11 practice.

12 I just want to reiterate that this is a work-in-
13 progress. There are many other technologies that are
14 ultimately going to need to be addressed by practice and
15 standards that aren't in the AWEA Petition, and it's
16 probably not time to do that yet, but we need to look
17 forward.

18 Finally, GE takes this very seriously, and we're
19 investing substantially in the technology to make wind
20 generation grid-friendly.

21 MR. POOLE: Thanks. Craig?

22 MR. QUIST: Craig Quist, PacifiCorp Transmission
23 Planning Principal Engineer. I ask the Staff's indulgence.
24 Since we're the only transmission provider here, we may go a
25 minute or so over your five minutes.

1 I primarily work with wind generation
2 interconnection issues. We've also been involved with
3 developing new wind turbine software models. Right now, I'm
4 on the AWEA Grid Code Task Force and also the former
5 Chairman of the WECC Technical Studies Subcommittee, and I'm
6 a licensed engineer in both the states of Utah and Nevada.

7 We have a prepared statement. I'll try and go
8 through this as quick as possible. You should have it in
9 front of you.

10 Thanks for allowing PacifiCorp to comment on the
11 Petition for Rulemaking submitted by AWEA, seeking the
12 adoption of certain requirements for the interconnection of
13 wind generation, large wind generation.

14 We bring a fairly unique and balanced perspective
15 to these issues, both because of wind and other renewable
16 resources are becoming an increasingly important part of our
17 energy portfolio, and because we operate one of the largest
18 investor-owned, open access transmission system in the
19 United States.

20 As such, PacifiCorp has a proven track record of
21 working with AWEA and its members to identify and overcome
22 challenges of interconnecting and integrating wind
23 facilities into the interstate electric grid, without
24 degrading system reliability.

25 Speaking as the resident transmission provider

1 conscience on the AWEA Task Force that developed the
2 petition, I'd like to offer several observations and put
3 forward what we hope are constructive suggestions to improve
4 the petition.

5 Pacificorp believes the Commission has rightly
6 recognized the need for standards and procedures specific to
7 new technologies such as wind, since nonsynchronous wind
8 generation typically differs in critical aspects from
9 convention synchronous thermal technologies assumed in
10 determining the interconnection requirements set forth in
11 Order 2003-A.

12 By scheduling these important conferences, the
13 Commission has hopefully begun the process of developing
14 much needed, uniform, nondiscriminatory, yet technically
15 sound interconnection standards for large wind generators
16 and turbine manufacturers.

17 The wind industry needs a set of clear and
18 equitable rules that can be applied in a consistent manner
19 across the country, yet are equally responsible to the
20 legitimate concerns of transmission providers that their
21 safety and reliability responsibilities are not being
22 compromised.

23 That said, Pacificorp would like to highlight
24 what we believe are the strengths and weaknesses of two
25 critical aspects of the AWEA petition, the proposed low-

1 voltage ride-through capability and reactive power
2 requirements.

3 On principle, PacifiCorp appreciates that AWEA
4 has proposed low-voltage ride-through and voltage
5 support/reactive power standards that ensure that new wind
6 turbines and arrays can remain online through most common
7 power system disturbances and do their part in supporting
8 the integrity and stability of the grid.

9 The lack of wind plant reactive support and
10 resulting voltage impacts, are major concerns for electric
11 utilities. In our view, AWEA's proposed standards are far
12 superior to many of the blanket exemptions that the
13 Commission provided to wind generators in Order No. 2003-A,
14 that can be shown to be either unnecessary or inappropriate.

15 Like AWEA, PacifiCorp believes transmission
16 providers should be authorized to require for
17 interconnection of non-synchronous generators, the ability
18 to ride through low voltage events caused by power system
19 disturbances outside the generating plant.

20 Since 2003, PacifiCorp has been evaluating large
21 wind plant interconnections, following best engineering
22 practices that determine if turbine manufacturers/project
23 developers should include these capabilities when
24 interconnecting new plants.

25 Now, with these key changes, these standards will

1 ensure that new wind turbines and arrays can remain online
2 through most common power system disturbances, rather than
3 trip off, which may result in low-voltage situations, making
4 the low voltage situations even worse.

5 This capability will become increasingly
6 important as the level of wind plant penetration increases.
7 PacifiCorp joins AWEA in asking the Commission to find that
8 meeting these standards will presumptively entitle a wind
9 facility to gain the rights to interconnect to the
10 transmission system, unless a transmission provider can show
11 just reason for more stringent standards.

12 At the same time, PacifiCorp believes those
13 proposed standard also raise several significant policy and
14 practical implementation concerns that deserve close
15 examination and possible reconsideration.

16 PacifiCorp has reservations about particular
17 voltage standards being mandated by the Commission, rather
18 than being developed through an established standards
19 development process of national organizations such as NERC
20 or IEEE.

21 In the interest of facilitating timely wind
22 energy integration with power systems, however, PacifiCorp
23 recommends that the Commission adopt the IEEE low-voltage
24 ride-through capability standards, without modification, on
25 an interim basis only.

1 Further, Pacificorp recommends that these
2 standards be modified in the future to conform to any NERC
3 or IEEE low-voltage ride-through standards developed as wind
4 turbine technology matures. As an alternative, the
5 Commission should direct the applicable Regional Reliability
6 Councils to establish standards to ensure low-voltage ride-
7 through capability for all synchronous and nonsynchronous
8 generators.

9 This approach will leave the door open for
10 Regional Reliability Councils to establish further criteria,
11 as necessary, to meet the needs of their diverse members.

12 Turning to reactive power, while AWEA's proposed
13 .95 leading/lagging power factor standards are similarly
14 preferable to the status quo, the caveats and disclaimers
15 that AWEA has proposed with regard to use of such standards,
16 are inappropriate, as Pacificorp pointed out in our pre-
17 conference comments.

18 Pacificorp well understands that induction wind
19 generators which generally lack the capability of internal
20 generating reactive power, typically must consume reactive
21 power from external resources within their own collector
22 systems. Naturally, this can lead to serious voltage
23 support degradation, if left unchecked.

24 For this reason, Pacificorp believes that
25 transmission providers should be allowed to require that

1 wind generating facilities, which include generator
2 installation and collector systems, abide by the same power
3 factor requirements specified in Commission Order 2003-A,
4 LGA, Section 9.61.

5 Ideally, in fact, the Commission should set aside
6 the AWEA proposed standard and, instead, revise Order 2003-
7 A, and the LGIA, so that any exemption is limited to the
8 wind generator unit only, and the wind generating facility
9 is still required to meet Article 9.61 of the LGIA.

10 Again, thank you for the chance to contribute our
11 perspective. I look forward to your questions and drilling
12 down further on these issues. Thank you very much.

13 MR. POOLE: Thank you. Ed?

14 MR. TERRERO: Good morning. My name is Ed
15 Torrero. I am a Senior Program Manager with the Cooperative
16 Research Network, the research arm of the National Rural
17 Electric Cooperative Association.

18 I, too, have a prepared statement, and I would
19 beg the Staff's indulgence to go one or two minutes over.

20 MR. POOLE: If we let everybody do that, we won't
21 ever get to questions. So, please try to hold it to as
22 close to five minutes as you can.

23 MR. TORRERO: So I will proceed to a logical
24 stopping point and request that I pick up when the general
25 discussion begins.

1 At CRN, I manage the power supply program that is
2 actively seeking to advance renewables, especially wind
3 energy, as well as to distribute generation. Over the last
4 ten years, CRN has invested a total of \$8 million in the two
5 areas.

6 In addition, NRECA and its 930 members, through a
7 democratic resolution process, encourages all rural electric
8 cooperatives to support renewable energy. The Coops'
9 principal mission is to provide their consumer owners with
10 safe, reliable, and affordable power.

11 Coops believe that wind energy and other
12 alternative generation options, can play an important role
13 in that mission. Toward that end, CRN and NRECA are
14 investigating ways that wind can be integrated effectively
15 with electric cooperative systems, and these activities
16 include a partnership with the Wind Power in America Program
17 of the U.S. Department of Energy.

18 The partnership convenes workshops around the
19 country in areas with high wind energy potential. It
20 provides technical assistance to help coops develop wind
21 projects, and it facilitates the dissemination of useful
22 information on wind energy.

23 The workshops are well attended by cooperatives,
24 and they have increased the overall interest in wind
25 generation among our members. The partnership was built on

1 the results of a survey of 26 wind energy projects connected
2 to the systems of 13 electric cooperatives.

3 Another activity is the contribution to the
4 development by the Utility Wind Interest Group, of a suite
5 of software tools to evaluate the impact of distributive
6 wind on distribution feeders. These so-called applets (ph.)
7 are in an advanced stage of development and could well lead
8 to similar tools for transmission. Previously, CRN
9 contributed to a study on the impact of wind generation on
10 bulk power systems.

11 Still another activity is the analysis of the
12 business of wind as determined from a study of insulation
13 and O&M costs, federal and state incentives, and green power
14 programs based on wind energy.

15 Finally, NRECA is an active, a very active
16 participant in the Utility Wind Interest Group. It is with
17 this background that we comment on the AWEA proposal,
18 Appendix G.

19 There is much in the AWEA proposal to support.
20 First, we commend AWEA for requesting this technical meeting
21 to facilitate a broad and in-depth examination by the
22 various stakeholders of the industry.

23 Likewise, we commend the Federal Energy
24 Regulatory Commission for hosting this technical conference
25 so promptly and simplifying the process of registration for

1 participants. We look forward to a productive dialogue.

2 Second, as wind supporters with an obligation to
3 provide consumers with safe, reliable, and affordable
4 electric power, NRECA is pleased to see that the wind
5 industry is working to transform wind from a niche
6 technology to a mainstream generation resource.

7 As befits its emerging status, the industry is
8 seeking to shoulder its responsibilities by developing new
9 wind generators that are capable of providing low-voltage
10 ride-through, voltage support, and SCADA capability.

11 The wind generators still have some unique
12 challenges. These developments permit them to be integrated
13 into the system in much the same way as large generators.

14 We commend AWEA and the industry it represents,
15 for these significant developments, and we support the
16 elements of Appendix G that recognize these developments.

17 Third, recognizing that wind development may
18 require some additional design flexibility and planning
19 assistance, we agree that wind generators should, one, have
20 the ability to meet power factor requirements at the point
21 of interconnection, without regard for the power factor
22 within the wind developments own medium voltage system; and,

23 Two, have the ability to take an active role in
24 the feasibility study stage, if they wish, provided that the
25 transmission provider can take over the study process at the

1 system impact stage, inasmuch as that is the major
2 responsibility of the utility transmission system planner.

3 NRECA believes that these are reasonable
4 accommodations to the special nature of wind generation, and
5 I will reserve my additional comments for the next round of
6 talks.

7 MR. POOLE: Thank you. Steven?

8 MR. SAYLORS: I'm Steve Saylor. I'm with Vestas
9 Americas, which is a division of Vestas -- with a worldwide
10 conglomerate of Vestas. We're a Danish owned company, a
11 Danish founded company, and as Vestas Americas, we develop
12 product for the North American market and now the South
13 American and Central American markets.

14 As Chief Electrical Engineer with the Company, I
15 oversee project design and installation, also integrate with
16 our R&D in Denmark here to advance new designs here to
17 incorporate some of the concerns that are being addressed
18 today.

19 And also look to provide the interconnection
20 information to the various entities here, so that we can
21 move along with the interconnection agreements here.

22 One of the aspects I thought I might do, is
23 define a little bit about what we're talking about with low
24 voltage and power factor control capabilities within the
25 machine from a manufacturer's point of view, and my

1 statement being that as the penetration of wind energy
2 becomes higher in relation to other generation resources on
3 transmission grids, system operators are becoming concerned
4 with the standard behavior of wind turbines to quickly trip
5 offline during voltage excursions, thereby losing
6 significant generation resources that may lead to further
7 system instability.

8 Low-voltage ride-through, or what we believe to
9 be, more accurately, voltage ride-through, because there are
10 concerns for high-voltage events, also, is the capability
11 for the turbine to encounter an extreme voltage event such
12 as a fault on a transmission grid, and not disconnect or
13 trip, due to its under- and/or over-voltage protection.

14 Standard designs to date have the generator
15 disconnecting with five to six cycles to protect itself from
16 damaging high rotor current and taking as much as 10 minutes
17 after voltage and frequency have stabilized after fault
18 recovery, to allow for reconnection.

19 By not tripping through the use of much longer
20 protection delay settings and higher and lower voltage
21 thresholds, the turbine is able to remain connected,
22 maintain magnetic flux within the generator, and begin to
23 feed real power back into the grid to help with system
24 restabilization.

25 Redesign of the turbine and its controls are

1 required to enable this capability, though. However,
2 modifications include adding a UPS to ensure that vital
3 components such as motor contactors, don't drop out, and
4 controllers stay energized.

5 Rotor current control circuits must have
6 components reinforced to prevent damage from the higher
7 currents experienced during the event. Software needs to be
8 revised, also, to prevent the turbine rotor from over-
9 speeding during the event. It loses load and it tends to
10 speed up, and we need to make sure that it doesn't over-
11 speed, also, to provide reactive power control during and
12 after the event, and provide fast, real power ramp-up after
13 grid recovery.

14 The intent is to keep flux in the generator long
15 enough to ride through the event and to allow the machine to
16 virtually resume immediate power injection to the grid.

17 However, this function can also be accomplished
18 through the use of fast-acting reactive components with the
19 wind power's collection system, or even out on the
20 transmission system, that will hold the turbine's local
21 voltage to an acceptable level, thus preventing the
22 turbine's protection settings from activating.

23 These reactive devices are part of the FACTS
24 class, and include SVCs and Statcoms. The static
25 components, however, may not respond fast enough to be of

1 much use in such events.

2 My screen just went black.

3 But reactive components also play a large part in
4 the power factor control and voltage regulations, and there
5 are concerns that are also expressed within the AWEA
6 proposal here.

7 To enable redesign of the machine, fundamentally,
8 it takes about two to four years to redesign the machine, so
9 one of the things that we discussed at the beginning of
10 this AWEA grid proposal was with the evolving standards as
11 they are in various locations, and the multiplicity of
12 entities in the North American market, it becomes very
13 difficult, as a manufacturer, to gain a timeline when we can
14 introduce new product to the market that meets ever-changing
15 demands.

16 And so it was our endeavor, from Vestas, to
17 provide input to the AWEA proposal here, that says we as
18 manufacturers, can meet the items that are specified in the
19 proposal here from a technical standpoint, and we are
20 working on a technology presently. We are introducing
21 products that do meet this standard guideline presently, and
22 we endorse the requirements inherent in the proposal, and
23 also the language in the proposal that was identified
24 earlier, that really the solutions should come from the
25 localized studies of particular installations.

1 This will prevent unnecessary and burdensome
2 economic impacts to the developers here, who are our
3 customers. So, with that, we'd like to move it on and say
4 that we'd like -- we appreciate being here today addressing
5 the Commission.

6 MR. GRAMLICH: May I ask one clarifying question,
7 Mr. Saylor? The changes that you mention in the
8 manufacturing to meet a different standard going forward,
9 how many of those, if any, could be applied to units already
10 manufactured? I mean, are all of those changes, you know,
11 new, that would only affect units under construction or in
12 the design phase?

13 MR. SAYLORS: There are products that are being
14 redesigned for the requirements, as identified now, and the
15 future products are looking to provide, without redesign and
16 without modification, to meet these types of criteria here.
17 Not all of the previous models that we have in our fleet are
18 going to meet these requirements here, though, and so
19 installations that are even on the design books right now,
20 may not necessarily meet the requirements, as identified in
21 the code here.

22 MR. GRAMLICH: Thanks.

23 MR. POOLE: Pouyan?

24 MR. POURBEIK: Thank you very much. My name is
25 Pouyan Pourbeik. I'm a Principal Consultant with Electric

1 Systems Consulting, ABB, in Raleigh, North Carolina. It's a
2 pleasure and honor to be here. Thank you for inviting
3 myself.

4 Basically, my background is -- my Department and
5 myself, in particular, have quite a lot of expertise in
6 power systems analysis and modeling, and in wind, in
7 particular, in the last three to four years.

8 Some of our clients have been the Midwest ISO,
9 Alberta Electric System Operator, Public Service of New
10 Mexico. I actually did some studies on the New Mexico
11 Center facility there, so we've been quite heavily involved
12 in analyzing wind facilities, both from an interconnection
13 point of view, from a modeling perspective, from equipment
14 studies, and so on.

15 So, I don't have a very organized presentation
16 like some of the other presenters, but I'd like to just make
17 some high-level comments and then let the floor open up with
18 questions.

19 Wind generation technologies, as we've heard,
20 are, indeed, significantly different from conventional
21 synchronous generators. They are primarily of two types, if
22 you will, the induction generator, which is a conventional
23 induction machine, run supersynchronously, or there are
24 asynchronous machines that are connected to the grid through
25 either partial or full frequency conversion, which is

1 achieved with power electronic equipment.

2 This therefore means the behavior is
3 significantly different, dynamically, than synchronous
4 generators, but to reiterate Nick's point, different does
5 not mean worse or bad, it just means different.

6 So, from that perspective, one does, indeed, need
7 different mathematical models for simulating these devices.

8 I won't explain low-voltage ride-through. I
9 think it's been explained enough, but suffice it to say that
10 the details of how that works, can get involved and are
11 different, depending on the technology. For example, in the
12 asynchronous machines, they are frequency-converted. The
13 issue is the protection of the power electronics, whereas
14 with induction generators, the issue is one more of ensuring
15 that the voltage does not fall to a point where the machine
16 cannot recover beyond its breakdown torque.

17 So, we can go into the details of that later,
18 should we need to. Yes, indeed, we believe a low-voltage
19 ride-through standard is necessary, so we commend both AWEA
20 on their documents and their presentation of that.

21 As to reactive power and voltage regulation, wind
22 turbine generators certainly can generate reactive power,
23 depending, again, on the technology. For example, the new
24 breed of fully-converted units where you're connecting an
25 asynchronous machine through a full power electronic

1 frequency converter, if those are designed with voltage
2 source converters that have four-quadrant control, you can
3 independently control reactive and real power.

4 Basically, as to Nick's point, that's perhaps as
5 good, if not better than a synchronous machine, so, indeed,
6 they can achieve high levels of performance.

7 Even with the conventional induction generators,
8 if married with static compensating devices, they can
9 achieve quite similar performance, just as good, so
10 achieving these performance criteria is certainly
11 accomplishable, technically. We won't go into price and
12 cost issues, because that's a whole different story.

13 Indeed, I believe the wind farms should be
14 required, at the very least, to provide the necessary
15 reactive power to support their megawatt injection, and
16 beyond, to ensure voltage regulation and thereby ensure
17 stability, because some of these units tend to be connected
18 in weak parts of the system, and so to be able to establish
19 voltage stability, you need that ability to generate
20 reactive power, dynamically and statically.

21 And then, finally, both the need for low-voltage
22 ride-through and voltage regulation, does, indeed, depend on
23 the size and point of interconnection. For example, if you
24 are connecting a wind farm of less than ten megawatts,
25 buried into the distribution network and it was associated

1 with distribution load, then it may not be necessary to have
2 low-voltage ride-through. In fact, it may be detrimental.
3 You may want that unit to trip for severe system
4 disturbance, so, you know, there are caveats there.

5 And then, finally, I want to comment to say again
6 that it's a pleasure and honor to be here, and we certainly
7 commend AWEA on their document, and we equally commend FERC
8 for hosting this conference, and through constructive
9 consultations such as this conference, we're confident that
10 renewable energy can be fully utilized, while not
11 compromising system reliability, so, with that said, thank
12 you very much.

13 MR. POOLE: Okay, Ed, I'd like to ask you a
14 question. How much more would you like to talk?

15 (Laughter.)

16 MR. TORRERO: A few minutes.

17 MR. POOLE: Okay, I'll give you a few minutes.

18 MR. TORRERO: Thank you, thank you very much.

19 I pointed out that the coops' mission is to
20 provide consumers with safe, reliable, and affordable power.
21 And I would argue that, in fact, the entire purpose of our
22 discussion is focused on the consumer.

23 We put the consumer first. They own the coops,
24 the coops are the basis of the Association.

25 And in line with that objective, we've noted a

1 number of things that are quite commendable with regard to
2 the AWEA proposal. At the same time, NERCA is concerned
3 that some elements would grant wind generation, special
4 treatment, not warranted by the advanced capabilities of the
5 technology.

6 We've heard several examples of how this
7 technology has matured. The question is, is it a fully
8 matured technology or is it not? Does one want to have the
9 flexibility of a mature technology or have special
10 treatment?

11 These elements, we think, of the proposal, would
12 permit wind generators to escape reliability requirements to
13 which all other forms of generators are subject, even when
14 the wind generators are capable of meeting the additional
15 requirements. The requirements are just and reasonable, and
16 where the requirements are essential to preserve the
17 reliability of the system -- for example, the proposed
18 Appendix G would give wind generators the right not to meet
19 the same power factor requirements to which other generators
20 are subject, if at the time interconnection studies are
21 performed, the full plus-or-minus 0.95 power factor is not
22 required to preserve reliability.

23 We contend that that proposal is unduly
24 discriminatory and threatens system reliability. As
25 demonstrated by AWEA's own filing, wind technology has

1 matured to the point, and as mentioned by several speakers,
2 where it can readily meet the same plus-or-minus 0.95 power
3 factor to which all other generators are subject.

4 There is no technological reason for special
5 treatment. Moreover, the proposed special treatment would
6 threaten the reliability of the system, and potentially lead
7 to significant cost shifts.

8 Although a system impact study may suggest that a
9 wind generator may not need to have the full range of
10 voltage regulation at the time the study is conducted, that
11 conclusion only applies to a particular point in time.

12 The Commission has required the full .95, plus or
13 minus, power factor of other generators, because it has
14 recognized that system conditions evolve and that future
15 demands on the systems may call for the full range.

16 If a generator is incapable of providing the full
17 range of voltage support when it becomes necessary, it could
18 threaten system reliability. Certainly, the critical role
19 of voltage regulation was recently emphasized by the August
20 2003 Blackout Report.

21 To prevent that threat, someone else, either the
22 interconnection providers, other consumers, or other
23 competing generators, would have to bear the cost of solving
24 the problem caused by the wind generator's lack of
25 flexibility.

1 If wind generation is truly to become a
2 mainstream generation technology, as NRECA and all of us do
3 hope, the wind industry cannot be permitted to duck its
4 responsibility to the system, or to shift costs to consumers
5 or competitors.

6 Thank you, sir, for this additional time to
7 complete my statement, and I look forward to a very
8 productive conversation.

9 MR. POOLE: Thank you. Okay, I'm going to open
10 it up to some questions, and since I'm an engineer, feel
11 free to stop me if you don't understand my question, because
12 it may be obvious to me and the attorneys may not know what
13 I'm talking about.

14 In order to try to do a rule, we've got to all
15 understand it, and that's what we're going to try to do
16 today.

17 And the panelists can ask us, if they don't
18 understand it.

19 My first question goes to penetration. When
20 we're looking at penetration from a reliability standpoint,
21 which is what I'm going to try to look at, are we talking
22 about megawatt percentage penetration of a control area, a
23 reliability coordination group, or a utility? I'll just let
24 somebody jump in and tell me.

25 MR. QUIST: I'll address that. When we view

1 penetration, we view it on a control area operator
2 standpoint, that you look at how large your generation
3 portfolio is, and then what you do is, you look at what
4 percentage of that is wind.

5 And the issues we see with penetration are
6 actually twofold, actually: One of them is, of course, is
7 that portion of your portfolio able to support the system
8 during disturbances? And the other one is, as that -- as
9 you have megawatts injected into your portfolio, what do you
10 do when the wind isn't blowing? How do you back that up?

11 In outage conditions, how do you take into
12 account, that being there and not being there? There are
13 issues. Within WEC, there are certain requirements as to
14 how much reserves you have to have for thermal, for hydro,
15 and so on and so forth.

16 Now, how do you take into account, the reserves
17 that you have to have for wind? So, WEC is wrestling with
18 this, the Northwest Power Pool is wrestling with this, but
19 it is an issue.

20 MR. POOLE: We had asked NERC to be here, but I
21 guess they didn't think that they had positions, so much on
22 wind, so they were going to leave it up to people from the
23 various Reliability Councils who are working on it.

24 MR. CALDWELL: Can I make a comment on that? I
25 think, you know, most of the issues that we're talking about

1 here on interconnection and the technical issues we're
2 talking about here, are, let's say, instantaneous issues.
3 They are not really subject to the tariffs and talking about
4 inter-hour balancing and all these sorts of things.

5 We feel very strongly that for these
6 interconnection issues, that we not sort of prescribe these
7 things by control area or by scheduling coordinator, that
8 that's really Rob's conference a couple of months down the
9 road.

10 These issues that we're focusing on here, you
11 know, Kurkoff's Laws don't respect whose control area this
12 is in. We are all interconnected, and we have to think of
13 this, not so much from the individual control area
14 responsibility, but from the grid responsibility, and the
15 grid as a whole.

16 The issues really are not who's in charge, but,
17 really, what are the transmission interconnections? How
18 weak or how strong is the grid in that place?

19 And that is one of the significant problems that
20 we have, is that dividing these tariffs up into little
21 pieces and a lot of individual control areas is just a
22 prescription for real problems. And at least for these
23 standards, we would like to see them kept at the technical
24 level and talk about the grid. It's just too fast to worry
25 about, you know, whose fault it is or whose responsible for

1 this or that. It's got to be something that happens,
2 electrically, in real time.

3 MR. HOCHHEIMER: I think Jim is right on target.
4 You could have a fairly small control area that's tied very
5 stiffly into the system, so as far as reactive response or
6 low-voltage ride-through, it doesn't really matter. I mean,
7 it's a regulation issue as far as the control area.

8 MR. MILLER: I'd like to third that response, but
9 also toss out the idea that this is part of the evolution of
10 practice and understanding that several of us -- I know I
11 made reference to it. We aren't quite there yet in terms of
12 understanding which aspects of the variable output are truly
13 important and how much of that is historical -- I'm going to
14 use some pejorative words here -- baggage, associated with
15 the way the system has evolved and his presently
16 administered, and how much of that is truly a requirement
17 related to maintaining system reliability.

18 Jack's point, a little control area that's
19 tightly connected to the rest of the system, being held to
20 very tight constraints on interchange, may not actually be -
21 - have much to do with reliability requirements, but be
22 historical. As an industry, we've got to move in the
23 direction of resolving that.

24 MR. QUIST: Let me just put in one last comment:
25 Within WEC and other Reliability Councils, what they do is,

1 they lay out standards that are applied uniformly to the
2 individual control areas within the Council.

3 And it doesn't matter how much wind -- I'm sorry
4 -- how much thermal, how much hydro you have; these are the
5 same standards that will apply in each of these control
6 areas within the Council. So, as long as they do that, as
7 long as everybody is applying the same standards, everything
8 works together.

9 Now, what I'm hearing is, well, it doesn't really
10 matter, because, well, this is just a little pocket over
11 here, a little pocket over there. We really do need to
12 come up with standards that they can apply uniformly to
13 everybody, and then as a whole, these large groups can
14 function properly.

15 MR. POOLE: Okay. Anybody else have any
16 questions on that?

17 MR. GRAMLICH: I'm going to be kind of the
18 clueless technical person on this and try to bring it back
19 to what I can understand what would go into our rule, versus
20 other processes. I want to make sure -- we want to sort of
21 facilitate a process for these issues to get resolved,
22 whether it's in a FERC process or outside of a FERC process.

23 Some things here would go into the
24 interconnection rule, but I want to, I guess, ask a
25 question about what needs to happen outside of sort of a

1 FERC process. Craig, you mentioned in your comments, the
2 IEEE standards that perhaps could be used on an interim
3 basis.

4 Are you -- and there are IEEE standards that Tom
5 discussed, and there was also modeling efforts that AWEA
6 and --

7 MR. QUIST: Actually, what I proposed was the
8 adoption of the low-voltage ride-through, that FERC put
9 those in place, without any caveats, on an interim basis,
10 until IEEE and NERC have the ability to put those through
11 their normal process and come up with some new standards, or
12 as an option to that, throw this over the wall to the
13 Reliability Councils, and say, we're going to put this in
14 place, but now we need you to go develop your low-voltage
15 ride-through standards, so that you feel good about them.

16 MR. GRAMLICH: Okay, so NERC and Reliability
17 Councils, you would recommend, should get busy on low-
18 voltage ride-through standards. Are there other things that
19 you would recommend that they work on?

20 MR. QUIST: I think, overall, as we've heard
21 today, synchronous generators, nonsynchronous generators are
22 two different animals. That doesn't mean one's any worse or
23 better than the other, but I believe that if you go and you
24 look through the reliability criteria that are right now in
25 place, you'll read these apply to synchronous generators,

1 and that what they need to do is go back and revisit their
2 criteria to see if there are some variances that need to be
3 put in for nonsynchronous generators.

4 Otherwise, they will get a buy and they will say
5 we're not synchronous generators, so this doesn't apply to
6 us.

7 MR. GRAMLICH: You were on the WECC Committee on
8 this or still are?

9 MR. QUIST: Yeah, I'm right now on the Technical
10 Study Subcommittee of WECC. There's a separate committee
11 called the Reliability Subcommittee, that actually drafts
12 the reliability criteria and works with NERC on that, but,
13 yeah, I do have some input.

14 MR. GRAMLICH: And WECC is working on this?

15 MR. QUIST: WECC is working on a low-voltage
16 ride-through criteria, as we speak. It's now out -- it's
17 been out for comment and it's going through the due process.

18 MR. GRAMLICH: Okay, do you know about other
19 Reliability Councils? We don't have any others here, and
20 we don't have somebody from NERC here.

21 MR. QUIST: I'm not aware of what other groups
22 are doing. We know that within WECC, that because of
23 PacifiCorp's efforts and Public Service of New Mexico's
24 efforts, we raised this to the surface about a year ago,
25 that it needs to be addressed, and we've written white

1 papers on it, so they're actively pursuing it.

2 MR. POOLE: We'll probably get more information
3 on it this afternoon, because we'll have ERCOT here, which
4 is another coordinating council, and we'll have various
5 ISOs, so they can identify in their areas, you know, what's
6 going on.

7 MR. CALDWELL: I was going to mention that ERCOT,
8 to our knowledge, is probably as far along or maybe even
9 further along than WECC, for a lot of reasons, here. Many
10 of the others are playing catch-up.

11 I mean, I think that New York has a big study
12 effort. It's not yet in the standards development process.

13 We just see a whole range of things and that,
14 again, one of the functions of this petition was to jump-
15 start some of those efforts and to make people do that. And
16 if we would have waited for all of these efforts to evolve
17 naturally, we don't believe that we would have gotten nearly
18 as far as we already have, and we don't think that's going
19 to work, that it's just going to take too long, and it's
20 going to end up with too much of a hodge-podge of stuff, and
21 that we will, as I think Nick said, we will close the barn
22 door after the cows leave, or in the alternate, what we will
23 do is prevent this new economic generation from making its
24 rightful place.

25 And so we feel that the FERC does have this role

1 now at this time. And that role is not necessarily in the
2 standard purview of the FERC to set, you know, engineering
3 standards or to try to supplant IEEE and so forth and so on,
4 but it's -- two years ago, we couldn't even get on the
5 agenda at an IEEE meeting.

6 And now there are beginning to be -- there is a
7 committee of IEEE called Emerging Technologies, okay, which
8 at the June IEEE meeting, for the first time, took up this
9 issue.

10 There's going to be another discussion of this at
11 the next IEEE Power Engineering Society meeting to do this,
12 so we have started this process, and what we really need to
13 do is to accelerate that process, and that involves laying
14 down a marker in the sand that works, that we're not going
15 to regret three or four years down the road.

16 And the perfect is the enemy of the good. If we
17 wait for IEEE ballots, if we wait for all these things, it
18 will be way too late. We have to take action now.

19 We have to tell the turbine manufactures, what it
20 is that they need to design to. We have to jump-start this
21 process.

22 MR. POOLE: And back to WECC, their standards
23 that they're trying to develop, will they be set up with any
24 kind of a prescreening criteria? In other words,
25 penetration level on the size of the control area, on the

1 amount of wind, on the voltage? You know, whether you're
2 working at a high voltage, or a medium voltage, or a low
3 voltage? Is there any kind of a screening that can identify
4 how you break out the requirements?

5 MR. QUIST: On the WEC standard right now as it
6 stands, they're not distinguishing synchronous from
7 nonsynchronous, and it's going to be on a per-generation
8 facility basis.

9 That is a work in progress. As it stands today,
10 I've let them know that, as stringent as theirs is--and of
11 course it's going through due process--as stringent as
12 theirs is, very few if any of the wind turbines could meet
13 their standard, how strong it is.

14 So what we're trying to do is to have them sit
15 back and look at it from a reliability standpoint: What are
16 the impacts? And are we being too hard on these? We're
17 questioning if their standard could even be met by regular
18 synchronous facilities is how strong it is.

19 So it is a work in progress. But they haven't
20 gone through any screening in there having to do with
21 penetration levels. I think that is something that has to
22 do with a utility-by-utility or control area-by-control
23 area, and what I understand on that is that the issue with
24 penetration is you can take a strong transmission grid and,
25 by having the penetration go too high with wind, that strong

1 transmission grid now acts like a weak transmission grid
2 because of lack of voltage support and other issues.

3 So that is the balancing act you have to have.

4 MR. HOCHHEIMER: Could I ask a question, being on
5 the panel? This is for Craig. Would this standard that WEC
6 is looking at, would that be retroactive? In other words,
7 perhaps require retrofit of existing facilities?

8 MR. QUIST: That, I don't know.

9 MR. HOCHHEIMER: We have to be careful there. I

10 MR. QUIST: I would hope not. The issue we're
11 running into is we have an area near Walla, Washington,
12 which is a heavy wind plant there. We have wind plants on
13 our system, on the Bonneville Power System, that are in
14 excess of 300 megawatts. And even though it is on a strong
15 transmission system right now, and none of the turbines have
16 low voltage right-through, events have happened on the
17 system where all of the wind plants within that area have
18 been tripped nearly simultaneously. And at this point it
19 hasn't been an issue because our single largest contingency
20 is larger than that number, but now since it is a rich wind
21 area we could double or triple the size of the wind plants
22 in that area.

23 So now we reach a point where all of a sudden all
24 of them trip. Oh, now we do have a problem. What do you do
25 with the guys who were on there before? Who pays for fixing

1 the problem? Instead of waiting until you break the back of
2 it, as we get new turbines coming on from now on let's start
3 putting this low voltage ride-through and some of these
4 other capabilities on there so we don't wait until the back
5 breaks on the camel before we have to figure out who fixes
6 it.

7 MR. HOCHHEIMER: I guess an important point I
8 want to make is we want to be careful on retrofits. I mean
9 a lot of projects are in service today that have negotiated
10 power purchase agreements that made the projects work
11 financially in the first place.

12 If we go and add retrofits on there that no
13 longer make that financially viable, I mean you may actually
14 decrease the amount of wind generation. In other words,
15 some of these may have to shut down.

16 Furthermore, some of the requirements. Reactive
17 capability, you can always retrofit something that will meet
18 just about any requirement, at a price. Low voltage ride-
19 through, not necessarily. Not necessarily. I mean it could
20 be impossible to meet the requirement, and therefore the
21 plant is no longer viable.

22 MR. MILLER: Can I comment on the low voltage
23 ride-through, too? Craig just hit on, you know, this is my
24 close the door before the cow is out question, but it is
25 also against this fairness backdrop.

1 You want the majority of the wind generation that
2 the system is depending on when we start to get in enough
3 wind generation out there to make a difference to stay
4 active, but the fairness question of for example the most
5 aggressive side of this debate is wind generation shall not
6 trip no matter what happens short of disconnecting the lead
7 from the farm to the grid. That is in our view something
8 that somebody writes down but becomes a technically
9 extremely challenging problem for the wind generation for
10 everybody's technology, and it frankly may not be even
11 meetable by existing generation.

12 And yet, at least--I think this has been floated
13 at least in WECC--is effectively a nearly punitive level of
14 requirement for thou shalt not ever disconnect. We think
15 that---and this is our view--that that is too far on the
16 side of protecting in a sense the incumbent system. We
17 don't want to do anything different. We don't want to plan
18 different. We don't want to operate differently. You know,
19 don't make our life--don't upset the apple cart. We're
20 going to put this requirement on the generation, regardless.

21 MR. QUIST: Yes, the WEC low voltage ride-through
22 as it talks about it right now, it basically says for normal
23 three-phase and single line-to-ground fault with delayed
24 clearing, generation shall stay on line. It doesn't say
25 where. Basically, on the transmission grid.

1 So the problem you have is that as you get closer
2 to the wind farms, they become more and more sensitive to
3 normal disturbances. We've seen that in studies. And now
4 it's just a matter of what is the impact of that now on your
5 reliability, because as you start tripping larger and larger
6 wind farms, it's going to hurt you.

7 MR. HOCHHEIMER: Let me make a point on--

8 MR. POURBEIK: Could I--

9 MR. HOCHHEIMER: --the wind generation going away
10 when there's a fault, too. There's other things that can
11 make the wind generation go away. It's an intermittent
12 resource. If the wind dies, it's going to go away.

13 MR. POOLE: That's a question. And that gets
14 into another question we had--

15 MR. DENNIS: We had another comment.

16 MR. POOLE: Oh, I'm sorry. Go ahead.

17 MR. POURBEIK: I just wanted to comment on
18 Craig's last point. That's an excellent point. Just if I
19 may correlate that to the AWEA low voltage ride-through, let
20 me backtrack for a second.

21 I think perhaps this is what we have worked with
22 with our clients. Perhaps a sensible compromise is to say
23 for external faults to the wind farm--and I'll explain what
24 I mean by that in a second--then the wind farm, the majority
25 of the generation in the wind farm should stay on line.

1 What I mean by "external fault" is any fault
2 that's on the transmission system is not on any part of the
3 collector system in the wind farm, and if the wind farm is
4 connected to the transmission system through a radial line.
5 And by "radial," I mean it just goes straight to a sub-
6 station. There is no other point of interconnection on that
7 line, that a fault on that line would still be considered
8 internal. So anything beyond that point, you would hope
9 that the wind farm would stay on line.

10 The reason being to Craig's point of if you
11 have--and we've seen this in Midwest ISO, we've seen this in
12 Alberta, and in WECC where you have an area that's rich in
13 wind and you have a lot of wind farms connected to a central
14 nodal point in the transmission system, and if you have a
15 fault at that sub, which if these were synchronous
16 generators they would be designed not to go unstable,
17 whereas here you're saying without low voltage ride-through
18 you could potentially trip hundreds of megawatts of
19 generation.

20 Now to correlate that also to the AWEA standard,
21 and maybe this is a question, my understanding of the AWEA
22 proposed low voltage ride-through standard is that's at the
23 point of interconnection. So that's beyond the collector
24 system. It's at this transmission level we're talking
25 about.

1 If that be the case, the lowest point on that
2 curve is 15 percent voltage, so what that means is for a
3 nearby three-phase fault, you're allowing the wind farm to
4 trip. I'm not saying that's right. I'm not saying that's
5 wrong. I'm just saying that's what it is.

6 So understand that. Whereas, if you are applying
7 that low voltage ride-through curve at the turbine, then you
8 could have a three-phase fault on the grid and still ride
9 through because the voltage at the turbine is going to be
10 higher than the voltage at the point of interconnection,
11 depending on the technology, of course. But because it's
12 provided short circuit, again depending on the technology,
13 the voltage at the turbine will be higher than the point of
14 interconnection.

15 MR. POOLE: Within the AWEA proposal, the low
16 voltage ride-through curve that's there, that is at the
17 point of interconnection for this farm?

18 MR. CALDWELL: Correct.

19 MR. POOLE: Okay.

20 MR. CALDWELL: And we feel that--I mean obviously
21 you can get into nuances and, you know, you're trying to
22 make some bright-line distinction over what is really a
23 whole gray area, but certainly the philosophy that was
24 expressed is the philosophy that we tried to do.

25 And we tried to say, first of all, that it ought

1 to be a point of interconnection standard. And that how
2 that interconnection standard is made ought to be allowed to
3 be--alternate engineering solutions to meet that should be
4 allowed.

5 And as soon as you go back to setting turbine
6 standards, then you begin to get into significant problems.
7 But that is the philosophy we set. Now if you're trying to
8 say that every single fault that you can think of, you know,
9 needs to be ridden through, then a couple of people have
10 already made the point there isn't any generation on the
11 grid that can meet that standard anyway.

12 And so trying to set some standard that says you
13 have to go to zero and stay there, and have to ride through
14 that, you know, that is not practical for anyone. It
15 doesn't mean that down the road that, as things develop and
16 so forth, that that standard that we've put forward, you
17 know, shouldn't be modified.

18 I mean when you look at where that standard came
19 from, or where that curve in our petition came from, it came
20 from Germany, really, from the EON Standard. It was an
21 adaptation of that.

22 What EON did is essentially that. They said we
23 have to do what is technically and cost effective today, and
24 we're trying to push the technology in a direction. And
25 this is what we see as important for us right now. This

1 will take care of, you name it, 95, 99, 90 percent of all of
2 the issues we can come up with, and better to do that than
3 to do nothing, or to try to set a standard that no one can
4 meet.

5 And so that's how they came up with a standard.
6 It is being practiced in about at least half if not more of
7 the wind turbines around the world, and we don't see the
8 benefit of setting some other standard that's going to go
9 off in a direction of a single control area, or even a
10 single reliability council can do that is going to be
11 meaningful in the sense of from a turbine manufacturer's
12 standpoint, or from protection of the grid.

13 MR. QUIST: As we were working with AWEA on
14 developing this standard, this was thrown around: should it
15 be 15, you know, .15 percent, should the interconnection
16 point be at the turbines?

17 The way we view this is it makes a lot of sense
18 to view this as a wind plant, and that these standards apply
19 to the interconnection point at the wind plant.

20 And why that makes sense is this gives the wind
21 plant developers the opportunity to put supplemental
22 equipment on if they need to to keep the turbines on.
23 Granted, we wrestled with the .15 percent versus zero. They
24 went with the .15 percent because of--and we've looked at
25 our studies that, yes, if we went right to the

1 interconnection point, the high voltage bus, and we applied
2 a fault, even with the new standards it would trip. But if
3 you went one bus away, one substation away and had the
4 fault, it wouldn't.

5 It is one of these wrestling things that the
6 turbine manufacturers tell us that that .15 percent, to drop
7 it down to zero, yes, it can be done; this would require
8 significant redesign in turbines probably around the world.
9 This would--and what they're trying to do is they're trying
10 to come up with a standard that's uniform in this country
11 and in Europe so that they can apply the same designs in
12 both locations, and it makes it so they don't have to put
13 the additional significant equipment, so that they can ride
14 to zero.

15 MR. POOLE: I think we kind of understand the
16 beginnings of low voltage ride-through, at least I think
17 everybody has got that. Why don't we talk about voltage
18 support and reactive power. That question is:

19 I see reactive power as more what you need based
20 on the grid and where it's at, and where the plant's at.
21 And it would be more to be done by the area and develop what
22 you need.

23 Is that a right way to look at that?

24 MR. QUIST: On reactive power, as we viewed that,
25 what this is is as your system is going through you've got a

1 couple of things.

2 One is you've got your steady state as to what
3 you need to control your voltages under normal system
4 operations.

5 Then what you have is: What are the reactive
6 power capabilities during a disturbance that will allow the
7 turbines to stay on line and to provide reactive support to
8 the transmission system.

9 The weakness we see in what AWEA is proposing is
10 they want to take a standard wind farm, and there are some
11 that have double-fed induction generators that are able to
12 put out VARs that are a little bit different than this, but
13 a traditional wind farm that doesn't have the GE turbines
14 on, or some other turbines and they just want to put, merely
15 put on shunt capacitors to change the power factor, we
16 maintain that what's going to be needed for most wind plants
17 is to actually put a dynamic device in; that by the time a
18 disturbance happens, you won't even have time to switch in
19 one capacitor bank before the disturbance is already over.
20 That you're going to need to have dynamic VARs that when
21 that disturbance happens, they can react immediately versus
22 waiting for shunt capacitors to switch in.

23 MR. GRAMLICH: I think a couple of other
24 transmission providers raised that, as well, in their
25 comments.

1 Jim Caldwell, or somebody from--or Jack, do you
2 have a response on dynamic reactive power?

3 MR. HOCHHEIMER: Well I think it depends on the
4 point on the grid. I mean you could end up with an
5 interconnection where--let's just talk about steady-state
6 for a minute--you could end up with negative reactive losses
7 because it's close to a load center, assuming that you're
8 compensating the unity at the point of interconnection.

9 You could also end up with situations--and I've
10 seen these--where you have ties to fairly weak systems. I
11 other words, where the equivalent impedance looking back
12 into the system is high, and you actually have typically
13 high voltage situations where you want to absorb VARs. You
14 never want to generate VARs there. You would end up with
15 excessively high voltage that would cause problems,
16 including tripping your wind turbines offline.

17 So I think it really depends on where you are in
18 the grid. I don't think you can just say that there's one
19 size fits all, and that's why we maintain that you really
20 have to look at each individual situation.

21 We are really very hesitant applying a standard
22 that is going to across the board require a lot of
23 additional costs and complexity if it's not needed. This is
24 going to inhibit development of wind generation.

25 MR. ROONEY: Jack, let me ask a question then.

1 Are you suggesting that the wind power should be within the
2 range, like the .95 to .9 lead lag? Or negotiate it during
3 the interconnection process? Or what? I mean you're saying
4 you don't want a standard?

5 MR. HOCHHEIMER: Well we want a range that
6 becomes the standard. We don't want to have to go to .9 at
7 the point of interconnection. But we don't think that, for
8 example if the studies show adequate performance at .98
9 lagging power factor, why would we have to go to .95?

10 MR. ROONEY: So you're saying on a case-by-case
11 basis, then?

12 MR. HOCHHEIMER: That's right. I mean that's
13 just more cost. It's going to be a higher cost. It's going
14 to mean there are more projects that will not develop. It
15 will kill project, and it will cause things to break that
16 will cause the wind to come off line. And we've seen this
17 in operation. Capacitors break. These are things that
18 don't work all the time.

19 MR. ROONEY: Jim, your response to that?

20 MR. CALDWELL: I'll have to admit that the
21 wording of that particular paragraph was a difficult issue
22 for us. I don't think there's any disagreement on anyone's
23 part on this side about the philosophy. I don't want to get
24 hung up in another debate here about what this particular
25 phrase means.

1 I mean we spent probably a week deciding whether
2 to use lead, lag, loose BOC, and whether we were looking
3 from the turbines going out, or the system coming back, and
4 that this is one of those issues which is always going to be
5 a problem.

6 We came up with the language that we did,
7 recognizing that the output from these studies was an
8 important input. I think the weakness, if I'm looking at
9 the language now, has to do with this fairness thing, not
10 with reliability.

11 I'm ont worried about the reliability of the grid
12 or whether there's enough reactive power on the grid. We
13 have covered that. That's covered. Where we're going to
14 run into some problems is this idea of the first 300
15 megawatts on the system at that point in time gets somehow
16 some differential treatment from the next, and that's going
17 to always be a problem. I don't see us necessarily solving
18 that here.

19 And we came up with what we think is the best
20 language that we could. And as I say, I think the perfect
21 is the enemy of the good, and I don't see much benefit to
22 taking it beyond that because I think we have covered the
23 reliability issues. We're not doing anything in these
24 standards with any of those caveats or anything else that
25 would say that we're going to impact the reliability of the

1 grid, or that we're going to cause some big, huge cost shift
2 onto someone else. It's more of an intergenerational issue
3 among the wind farms that we're talking about.

4 MR. GRAMLICH: Can I just--I'm a little thick
5 here. I can't tell if you two disagree with, let me just
6 read PNM's comment on this point:

7 "Wind generators should add sufficient dynamic
8 reactive power capability as part of the wind farm design
9 required to mitigate any reliability criteria violations
10 caused by the interconnection as identified in the
11 Interconnection Study Process."

12 Is that language okay?

13 MR. CALDWELL: We don't see any, necessarily any
14 conflict with that language and the language that's in our
15 petition.

16 MR. GRAMLICH: Okay, that's helpful.

17 MR. DENNIS: Just generally, I think just to
18 preface this a little bit and maybe we could explore this,
19 but I think the purpose of 888-2003 is we're looking to
20 eliminate--you know, we're looking to make these things
21 nondiscriminatory. And I guess one of my questions is, when
22 we talk about, you know, one of the things that your
23 proposal says is that if the system impact site is
24 demonstrated that reliability criteria are met at less than,
25 you know, the voltage level, or the number that you have, I

1 guess my question is: Whose reliability criteria are we
2 talking about? Is this a potential source of dispute among
3 transmission owners, developers, and manufacturers?

4 MR. CALDWELL: There will always be a role for
5 the FERC as a dispute resolution mechanism for these issues.

6 (Laughter.)

7 MR. CALDWELL: You don't need to worry about
8 being stranded regulators, because we have crafted--

9 MR. DENNIS: Oh, I don't know that that's a
10 concern, believe me.

11 MR. QUIST: Let me just address a couple of
12 things. Usually the reliability criteria, talking about
13 each Regional Council has their own set of reliability
14 criteria that you have to meet, so it's pretty standard.
15 It's published. So no one is making this stuff up.

16 The other one is, when you're talking--I think
17 our issue with how AWEA had versed it was, talking about the
18 power factor, was they wanted to have the power factor
19 correction done strictly with static devices. And we agree
20 with PNM that if you have areas that are stability-limited
21 and you need to have those dynamic devices, please don't
22 strap transmission providers and say the only solution you
23 can consider is a static fix.

24 Instead, there are other devices that you need
25 to--that we have in our tool boxes that we can fix some

1 things.

2 MR. TORRERO: I think there is a fairness issue
3 here, as well. If a mature technology comes along and is
4 exempted from the power factor requirement, one has to
5 ask--and we're not asking for any retrofits at all; we're
6 looking forward, not back--but one has to ask: Why would
7 the others then be asked to make up the difference when the
8 transmission system might need this additional flexibility?

9 The Blackout Report was very clear on the need
10 for good voltage regulation. There might come a time when
11 this flexibility might be needed. One can envision if this
12 was to go through having to proceed to say how would you
13 decide in the future? Who would be called upon? Who would
14 bear the costs? Would it be the other generators? Would it
15 be the consumer?

16 It certainly goes to the point that the Co-Op's
17 principal mission is directed to of providing the consumers.
18 We put the consumers first. It's not about generation.
19 It's not about wind energy--although we're promoting wind
20 energy to the maximum amount--it's consumers getting
21 affordable, reliable, and safe power. So I think there's a
22 real fairness issue involved.

23 MR. CALDWELL: And again, I just want to
24 emphasize that we, the wind industry, are not asking for any
25 exemptions from our responsibility to be good citizens on

1 the grid. We are asking to be treated appropriately that
2 ends up with an equitable apportionment of that
3 responsibility. And that means different--at least
4 different words, if it all means the same thing and it all
5 means equivalency in terms of that responsibility, and
6 there's nothing in that petition which asks for differential
7 treatment simply because we are wind and we're asking to
8 shift cost onto other people.

9 Now if what we're arguing about is some wording
10 in there, that's one thing. But I want to make clear that
11 there is no intention from a matter of philosophy or
12 anything else to escape our responsibility to be good
13 citizens on the grid.

14 We want to, and we know we need to in order to be
15 considered a real generator, in order to get high
16 penetration on the grid. So I don't think we have any
17 disagreement.

18 And I would say that, again, that if that's--I
19 don't want to ascribe any intent to anyone--there is no
20 intent in this standard. Again, if we're going to argue
21 about words, that's one thing, but let's not talk about the
22 intent.

23 We understand our responsibility and we're
24 willing to shoulder that responsibility. But we don't want
25 the costs shifted onto us simply because somebody else, as

1 somebody else said, wants it but doesn't need it, or they
2 think they have the political power to extract it from us
3 when they can't extract it from someone else. That, we
4 feel, is discriminatory and that is the reason why this is
5 before the FERC at this point in time.

6 MR. TERRERO: I respectfully beg to disagree.
7 There will be, under the scenarios we've described, some
8 kind of cost shifting. And the wind industry is apparently
9 asking that, as the new guy on the block, or the new gal on
10 the block, whatever, that they be exempted from equitable
11 sharing of the basic costs.

12 MR. POURBEIK: Could I make one last comment on
13 it? I tend to agree that there should be some sort of
14 minimum requirement on the power factor capability on the
15 farm as a whole, and there should not be any, to Jack's
16 point, it should be studied case by case.

17 I don't think there should be anything that says
18 it cannot be discrete, or it cannot be dynamic. That needs
19 to be studied on a case-by-case basis. Because we have done
20 studies where we see a lot of wind generating coming into a
21 weak area of the network where there's no other generation
22 and you just simply cannot make it work without having
23 dynamic VAR reserves.

24 Yet, you have other places in the Eastern
25 Interconnect where the system is meshed like crazy and, yes,

1 you can put a wind farm in there with switch banks and make
2 it work because there's enough other dynamic reserves
3 around.

4 The other thing is, you could put--we've shown
5 that you could put the dynamic VARs as a system level SVC
6 and still make it work, but then that raises the questions
7 of who pays for what, and does this get paid by the
8 transmission owner and put into the rate base? Do the wind
9 developers pay for a portion of it? And that's a whole
10 different complicated scenario.

11 MR. GRAMLICH: If I could just--Mr. Terrero, you
12 made some pretty general statements about cost shifting, and
13 I don't have--maybe I'm just missing your papers here, but
14 if you could just commit to provide specific information
15 about what requirements would lead to cost shifts so that we
16 can be comparable and equitable about this, we would really
17 appreciate that.

18 MR. TORRERO: I'll be glad to provide some
19 written comments.

20 MR. GRAMLICH: Thank you.

21 MR. ROONEY: Ed, just to follow up on that, too,
22 and this goes back--we've been talking an awful lot about
23 wind energy, but there's also been some references to other
24 evolving technologies. The only one that I'm--that would be
25 nonsynchronous, for example. Can anyone tell me what other

1 technologies are out there, or are emerging, or whatever, at
2 this point, that would be comparable or similar to wind
3 energy?

4 MR. QUIST: You have solar, of course. And we
5 have been doing some work with some battery technology,
6 flow-based, which might be in conjunction with wind farms,
7 or in remote locations, charged up, separate from the wind
8 farms charged up in off-peak hours.

9 But some of those battery technologies actually
10 do provide reactive support. Most of them do.

11 MR. POURBEIK: Actually, the battery energy
12 storage units, typically the newer technologies are voltage
13 source converters with four-quadrant capability, so
14 basically independent control of real and reactive power.
15 So they would meet all these sort of requirements.

16 MR. MILLER: One thing that might be worth
17 exploring, based on your question though, and Pouyan raised
18 it earlier, is the minimum-size question, because I don't
19 think that we've completely wrestled that to the ground.
20 Photovoltaics are coming along. GE is taking photovoltaics
21 very seriously. There's other technologies, but for the
22 most part we aren't talking about tens, hundreds, or
23 thousands of megawatts connected big enough to in a sense
24 move the system for quite some time yet.

25 And indeed, I think one of the things that was a

1 little contentious even as we were writing the petition was,
2 what's the floor below which you give any of these
3 technologies--I don't want to use "a buy" but apply a
4 slightly different set of standards?

5 Pouyan made a very important technical point that
6 was pretty arcane even to those of us that worry about these
7 problems, and that is: For example, low voltage ride-
8 through is in fact probably not a desirable thing for
9 individual wind turbines deeply imbedded in distribution
10 systems. There's a reason why the industry sort of changed
11 its mind within the last couple of years.

12 So I think--and we did address that to some
13 extent in the petition, but that applies I think in your
14 thinking to all these other emerging technologies because
15 they're going to be hundreds of kilowatts, ones of megawatts
16 for, you know, till the ends of our careers.

17 MR. CALDWELL: And another thing, as I say, I
18 realized in the interest of simplicity we would all like one
19 solution that worked for everything. It isn't going to
20 happen. We put this petition into the Large Generator
21 Interconnection Agreement for a very specific reason.

22 And, you know, Tom gave a very nice discussion of
23 1547, and at the end he said, well, gee, now we're beginning
24 to look at something beyond 10 megawatts. That whole effort
25 really belongs in a different docket.

1 I'm not saying it is not going to have to be
2 addressed in that other docket, it will. And as a matter of
3 fact, in that other docket I think what you are going to
4 find is that the requirements that everyone is arguing about
5 in that other docket really are in dense urban areas where
6 the grid is very different. And that where wind is going to
7 enter in at those size levels is a very different place, out
8 in the NRECA Rural Electric Co-Op Grid.

9 There is really probably going to have to be
10 maybe three sets of criteria, or something, to cover all of
11 these things. It just is not going to be that simple.

12 We tried to make this petition specific to the
13 Large Interconnection Agreement, 20 Megawatts and Above,
14 tied into the transmission system. And that's what we tried
15 to gear this to. And, yes, some of this flows over into
16 some of these other things, but we need to be careful about
17 taking it over there without thinking about it.

18 MR. ROONEY: Right. Thank you, Jim.

19 One comment on that, though, is that we've taken
20 that into account of course, but we also have to consider
21 what the technologies are that would be affecting the small
22 gen, and that's one of the reasons why we included that in
23 this conference as well.

24 So again I would like to have any comments that
25 we could regarding the other emerging technologies, or even

1 existing technologies, and their either differences or
2 similarities to wind and also what we need to do as far as
3 an Appendix G to recognize that.

4 MR. DENNIS: Just to follow up really quickly,
5 Craig, were you suggesting that solar and photovoltaics have
6 similar concerns to what we've been discussing? I guess I
7 missed what you were saying exactly.

8 MR. QUIST: The question was: What are the other
9 emerging technologies? And I was just going through the
10 list. One other one I'd forgot was your geothermal. So he
11 just wanted to know what are the other emerging
12 technologies. That's what I was addressing.

13 MR. DENNIS: I guess my question then would be,
14 as far as you know, do they have similar concerns in terms
15 of the things we've talking about that something like this
16 might address?

17 MR. QUIST: I believe most of the other
18 technologies probably have the electronics built into them
19 that this wouldn't be an issue. That's what I believe. I
20 believe that it's because of the characteristics of the
21 nonsynchronous machines that are typically in wind farms now
22 and we're moving towards of course the electronics in them,
23 but I think that's the issue.

24 These other ones--in fact, that was one of the
25 issues we put in here. One of the items we brought in our

1 comments was, instead of making this specific to wind
2 generation, this should actually be--instead of referring to
3 it as "nonsynchronous wind generation," it just should say
4 "nonsynchronous generators." Don't apply it--

5 MR. ROONEY: That was one of the purposes--

6 MR. QUIST: --to only wind.

7 MR. ROONEY: --for the question.

8 MR. QUIST: Yes.

9 MR. ROONEY: The other one that I do know about,
10 for example, would be the hydroelectric facilities. Some of
11 the smaller hydroelectric facilities for example, say less
12 than 5 megawatts, would have inductive generators.

13 MR. QUIST: Yes. And we have facilities like
14 those on our system, and many of the same problems that
15 we're seeing with wind generation we also see on those
16 facilities.

17 MR. ROONEY: We would be interested in hearing
18 about that, as well. Do others agree that it should be
19 nonsynchronous generation, as opposed to nonsynchronous
20 "wind" energy generation?

21 MR. TORRERO: Makes sense.

22 (General nods of agreement.)

23 MR. POOLE: Question. This would go back to
24 size. Are we saying that we could not write an Appendix G
25 that would cover small generation and large generation from

1 a 20 megawatt cutoff standpoint? Are there going to have to
2 be two separate devices, or schedules; that they would be so
3 much different they couldn't be put in one?

4 MR. QUIST: We think that it would be nice if it
5 would cover the full range. That way you don't have two
6 different rule books you're applying, because people come to
7 us and then we have to go, what rule book. It would be nice
8 if it would cover down to the lower levels of generation.

9 The problem that you have, though--and we've seen
10 this--is where we're talking, here's the Interconnection
11 Standards at the point of interconnection of the wind plant.
12 As you get into your lower systems and you start applying
13 wind generators directly to distribution lines as an
14 example, your whole concept of wind plant goes away and it's
15 individual turbines connected to distribution systems. So
16 it's a little bit different animal.

17 MR. POURBEIK: Let me just comment on that. Back
18 to what, feeding back to what Nick and I have thrown back
19 and forth, when you are on a distribution network let's say
20 we're talking a very small, a half a megawatt or a megawatt
21 wind farm on a distribution network, if under that scenario
22 a disturbance on the transmission network were to isolate
23 this small distribution network by itself, and that wind
24 farm were to ride through the fault and stay on line, you
25 could potentially get into resonant issues where you get

1 excessively high voltages and you could damage equipment.

2 So actually you would want that turbine to trip
3 under those circumstances. So why impose the added cost of
4 a low voltage ride-through on that wind farm when you
5 actually don't want it? I mean that's just one example, but
6 these are the kinds of issues.

7 So on the smaller base asynchronous units buried
8 into distribution networks, some of these requirements may
9 actually be not only not necessary but detrimental.

10 MR. TORRERO: What I would like to point out,
11 picking up on Jim and others' comments, is to request that
12 the size of the utility be a consideration as the rules are
13 drafted.

14 We had an example of a Wyoming Cooperative which
15 has a peak load of 16 megawatts being asked to interconnect
16 a wind farm of 130 megawatts, which is 8 times their peak
17 load. Clearly this is an impossibility. It's an
18 impossibility to handle the paperwork that goes into it, and
19 all the rest.

20 So we're kind of touching on this subject, but I
21 would like to bring this out and make it clear. We have a
22 lot of small co-ops in diverse parts of the country. We
23 service 75 percent of the land mass, over 80 percent of the
24 counties in the country, and many of the co-ops are small,
25 and the co-op service territories overlap with some of the

1 best wind-rich areas of the country.

2 Forty percent of all co-ops are in states with
3 vast wind potential, one of the reasons why we're here
4 today.

5 MR. POOLE: One of the questions that is in the
6 AWEA proposal is that they not be held to the strict
7 standards of having your full design criteria early when you
8 come to the interconnection request.

9 I guess I'm kind of confused as to exactly why
10 that is a big problem, or why you couldn't do an evaluation,
11 or hire somebody to do an evaluation early so you could
12 pretty much set what you think ou want to do, so you could
13 go ahead and get into the queue. Could somebody explain
14 that to me?

15 MR. CALDWELL: Could I start on that? That is
16 exactly what we're saying. But the problem is that you
17 can't get into the queue until you have done, under Order
18 2003 as written, until your facility is--let me read from a
19 System Impact Study dated September 10th, 2004, for a
20 specific project:

21 "The results of the system impact study will be
22 used to determine project cost allocation for facilities
23 upgrade. The study accuracy and study results for the
24 assessment of the system adequacy are contingent upon the
25 accuracy of the technical data provided by the customer as

1 shown in Figure 3 in Appendix D." Which is essentially the
2 requirements of Order 2003.

3 "Any changes to the attached data invalidate the
4 study results and will require reassessment. Note that,
5 while the developer has provided the necessary" excise the
6 brand name "dynamic simulation models for their proposed
7 wind turbines, such models have not been tested by us, and"
8 the project developer, and therefore, okay, let me see --in
9 the interim, the transmission provider will assume that the
10 generators are not the ones that are in the interconnection,
11 or in Figure 3, Appendix D, but instead 20-year-old pure
12 induction generators.

13 What we run into is a chicken-or-the-egg. We
14 cannot get into the queue until we have provided every last
15 little "i" and "t", and it has all been dotted. On the
16 other hand, we can't, once we get into the queue, and then
17 they do the study and they say now you can't change it, this
18 may be four or five years before the project starts.

19 Okay? And in order to provide the information,
20 we need to understand as we have said for the past two
21 hours, we need to understand the conditions on the grid at
22 that place and at that time in order to do these designs.

23 And so we end up in this Catch 22 where we have
24 to have completed the design before we can enter the queue,
25 but we can't get the information to do the design until we

1 enter the queue. So all we're saying is--because the only
2 way we get the information now is to already be in the
3 queue, and then get access to all of the data from the
4 transmission provider.

5 So what we're asking for is flexibility at the
6 front end. This is an interactive process between the
7 transmission provider and the project developer. If we are
8 dealing with someone like Craig Quist who is up to speed,
9 who understands all these things, who has those models, who
10 hasn't, you know, who has done the validation to his effort
11 and is understanding these issues, we can talk to a Craig.

12 We go to another utility, this is the first time
13 they've ever seen it. They have no idea what we're talking
14 about. We just have this chicken and egg and can never get
15 off the dime.

16 So that's the reason why we proposed this
17 flexibility at the front end, because it is an interactive
18 thing and you can't require us to have completed the studies
19 before we have access to the data to even start the studies.

20 MR. ROONEY: Can I just ask a naive question, I
21 guess? Craig, what kind of models are you using, or Jim
22 either one, what kind of models are being used? Are they
23 the 20-year-old models that Jim is referring to? Or are
24 they a newer version?

25 MR. QUIST: No. Just so you're aware, right now

1 there's basically two modeling packages that most utilities
2 use. They either use the PTI-PSS/E package, or they use the
3 General Electric PSLF package.

4 We right now use the PTI-PSS/E package. And what
5 we do is, when a wind plant developer comes to us and wants
6 to connect, we right now, if we do not have specific models
7 for that turbine that they want on our system, we then go
8 with Power Technologies. We get the--we sign proprietary
9 data agreements with the manufacturer. We get the
10 information on the turbine. And as part of those
11 agreements, we throw the information over the wall to Power
12 Technologies.

13 They develop the turbine model. We then go in
14 and we study it. Now that was our answer probably a year
15 ago. What's happened now is--and I'll talk about Power
16 Technologies, and then I'll talk about General Electric--
17 Power Technologies, because of how broad their software is
18 and how many people use it in the world, many if not all
19 wind turbine manufacturers have had Power Technologies
20 develop software specific for their turbines now, and they
21 also have software that you can model wind plants at any
22 levels. So they have done a great job. There are a few
23 little holes, so things have improved since a year ago.

24 So if they were using Power Technologies software
25 today, they should have access to most of the turbine

1 models. General Electric has great software. It's
2 competing. It can do the things that Power Technologies
3 can. The problem that we are seeing is that, since General
4 Electric not only has software, they also produce turbines,
5 turbine manufacturers have a tendency to throw proprietary
6 information over the wall to General Electric for specific
7 turbines.

8 However, what General Electric has done--and this
9 is a big plus for them--they've gone in and created, we call
10 them generic models, what they've done is they've produced
11 models for not only the GE turbines, which is an accurate
12 model, they've come up with a pseudo model for Vestas, for
13 Mitsubishi, and all these. That's a plus, so that now if
14 somebody is using the GE software, they can now reach in,
15 pull these in, and do some studies. So they have come a
16 long way.

17 The down side of it is, they don't have the exact
18 impedances of the turbines. They don't have the inertias.
19 They don't have the aerodynamics of those turbines.

20 However, there are third-party vendors now
21 available--Internex out of Knoxville--that turbine
22 manufacturers are now going through to help develop this
23 software for these other turbines.

24 So the issue that Jim is talking about now about
25 letting them come in and do the self-study are what we have

1 found with people coming to us and, you know, we've gone
2 from crawling on this to walking on this, to being able to
3 have a pretty good fast walk. We have yet to see a wind
4 plant where, because of our studies, they've had to go out
5 and change what turbines they put on.

6 Instead, when wind plant designs have changed
7 it's because the wind plant manufacturer came to us and they
8 said, hey, we can't bet turbine A but we can get turbine B
9 and we're going to have to change the plant, but that didn't
10 do anything with our studies other than we've restudied it
11 with a different model, and here's what we have to do to
12 interconnect.

13 I think the issue Jim is talking about--and he
14 has some basis for that--is Pacific Corps is a little bit
15 unusual, and some of the larger utilities have transmission
16 planning groups that are now spinning up and doing pretty
17 good on wind plants. What Jim is talking about is they walk
18 into a utility that has never interconnected a wind plant,
19 and they have this strict set of rules. All he is asking
20 for is in the Commission's Order where it says: Thou shalt
21 do the following, that there be a semicolon; or, these
22 studies be allowed to be done by somebody, a consultant on
23 the outside, who has this ability to go in and do this and
24 provide the results to the utility if they don't have that
25 technical expertise within the utility.

1 I think that's what you're talking about, isn't
2 it, Jim?

3 MR. CALDWELL: Right. And we don't want to--but
4 since unfortunately queue position, and timing of queue
5 position has so much commercial significance, that what
6 we're saying is is that we have to have a mechanism to get
7 our place in line while all of this stuff is getting worked
8 out. We're looking for that flexibility at the front end.

9 And it wasn't so much the facts on the ground
10 that caused us to do this. It was the wording in Order 2003
11 which required essentially the electrical design to be
12 complete and to be presented as a complete package with the
13 filled-out data sheet before you could ever get into the
14 queue.

15 And it was that requirement of Order 2003 which
16 again makes sense if all you're hooking up is GE Frame 7s,
17 or a Mitsubishi counterpart. But when you're doing this
18 sort of thing, it just simply doesn't work to be that
19 prescriptive.

20 So we're saying: For these technologies,
21 emerging technologies, or if you wanted to make that option
22 available for all technologies, we're not asking for
23 anything special, we're just saying that we have to have
24 that flexibility at the front end because of the way the
25 Order is written for the rest of the folks.

1 MR. ROONEY: All right, thanks. Can I get
2 comments from the other panel members on that?

3 MR. HOCHHEIMER: Yes. I would like to make a
4 couple of comments. It has to do with the schedule on the
5 wind farms and their distributive nature.

6 In order to make a wind farm work financially,
7 there are a couple of things you need. You need a Power
8 Purchase Agreement that makes the project work financially,
9 typically. And you also need production tax credits.

10 The Power Purchase Agreement typically is going
11 to have a fixed term. In other words, it is going to start
12 on a particular date, and you have to be there or you pay
13 all these liquidated damages if you're not. So you have to
14 keep that in mind when you're developing these projects.

15 The other thing is the Production Tax Credits.
16 In order to make use of the Production Tax Credits, you
17 have to be in service during the period in which they are
18 effective.

19 I am told that last night we had the Production
20 Tax Credits renewed and they will be valid through 2005,
21 through year end. So what's going to happen now is there's
22 going to be a mad dash to get projects in service before
23 year end 2005. And it's going to be tight. I mean starting
24 right now, it's end of September. You have holidays coming
25 up. November, December, people have to work out Power

1 Purchase Agreements.

2 And if you want a new wind farm, for example, you
3 have to get land where there's wind. You have to line up
4 leases with land owners' property. You have to start
5 permitting. All of these things determine what the ultimate
6 layout of the wind farm will be--namely, turbine placement
7 determines what that little grid within the collector system
8 looks like, which also determines what the actual
9 performance of the wind farm with respect to the system is
10 at the point of interconnection.

11 It has a lot greater impact than many people
12 would think, but due to voltage rise across the collector
13 system, you may see more or less reactive support than you
14 think you have, which we've seen that in actual practice.

15 So you have to get all these things nailed down.
16 Now you also have to get your studies--you have to get in
17 the queue. It's normally going to take a year or better to
18 get your studies done. So you have to get in there. You
19 can't wait until you have every little turbine placed, every
20 little permit granted, every little land lease done. I mean
21 you have to get in there.

22 And if you don't, you don't have a project. It's
23 a practical matter. You know, you have to allow a little
24 bit of leniency there on what we do up front in order to get
25 in the grid or else we won't have any projects.

1 MR. MILLER: Can I just elaborate on that? Jack
2 of course was--Jack and I were desperately in the middle of
3 the Tieband Project that had the first low voltage ride-
4 through. As an advocate for this evolution and the fact
5 that the new technologies are coming out, too, there's
6 another aspect of flexibility, which is, okay, a model isn't
7 just a model isn't just a model. People like Craig know
8 that.

9 You know, just throw it over the transom; the
10 system planner hits a button and a nugget of wisdom pops
11 out. The technology is evolving sufficiently that there's
12 opportunity for some give and take and some creativity in
13 the design of the farm, the features of the turbines, et
14 cetera, that can be added or not in the course of the work,
15 and there needs to be from a process point of view enough
16 flexibility to take advantage of all the constraints to make
17 it economic, to meet the schedule, to advance the
18 technology, be as grid-friendly as you can, and that doesn't
19 happen with a ka-chunk, ka-chunk, ka-chunk, then this
20 happens, then we stop, then this happens, then we stop.

21 I'm a modeling guy more than a technology guy, so
22 to Craig's point the actual models of the absolute latest
23 hotshot GE machines are a little bit different than what's
24 public because they've got the corner of the application
25 envelope pushed. That's in everybody's interest in the

1 industry, but the grid owners, the operators, the
2 developers, everybody benefits by the technology window
3 being pushed, and we've got to be flexible enough to let it
4 happen.

5 I am absolutely appalled to hear this quote from
6 Jim. We're going to nail you down with 20-year-old
7 technology and that's the end of the discussion. That is
8 the worst thing that could happen for all of us, all of us
9 stakeholders.

10 MR. ROONEY: Thank you, Nick. One real quick
11 question. When does anybody think that a model will become
12 available that will be acceptable to the industry, for
13 example? Anybody can answer that.

14 MR. CALDWELL: They are available. Just my flip
15 answer, they are available now. ERCOT--you'll hear this
16 afternoon--ERCOT is using, and has been using the model.
17 I'm not saying that that's the last model that will ever get
18 developed, it won't be done, but the appropriate models are
19 available.

20 MR. POURBEIK: They're available, but constantly
21 being developed. I mean we see this in our studies as well.
22 You're going through a study. You see a snag, and then you
23 know from the equipment experience point of view the model
24 is not doing what it should be and you go back to the
25 software developer, you refine it.

1 You know, to Nick's point and to Jack's point, to
2 everyone's point, it needs to be an iterative process. You
3 can't just say: Here's the model. Finish the study and
4 give me the result. Because as you're going through the
5 study, based on your experience, you can sometimes see,
6 well, I need to now refine this aspect of the model. We
7 need to be able to iterate through that process.

8 MR. QUIST: We have gone through a paradigm shift
9 over about the last year-and-a-half on models. Much
10 improved. Much greater. We're smarter about it. The
11 turbine models are getting better. The whole issue is, you
12 can take the same turbine and each wind farm does not
13 function the same because of a couple of things.

14 You could have the same turbines on three
15 different wind farms and get three different responses
16 because the grids are different, and the transmission
17 systems that they hook to are different. So you just can't
18 say here's a model, you can slap this in and this represents
19 a wind farm.

20 In fact what you have to do is you have to study
21 that, look at it, and actually to put an individual wind
22 farm in, a large wind farm, probably takes as much or more
23 analysis to get that integrated as a very, very large coal-
24 fired generating plant.

25 MR. ROONEY: Let me make sure I understand what

1 you're saying. There are models available out there, but
2 given that each wind farm may be unique that you would have
3 to have different parameters even though you have the same
4 model?

5 MR. QUIST: Oh, yes. We could put a GE turbine
6 in Wyoming versus Oklahoma versus Nevada, and you're going
7 to get some different responses, and different solutions for
8 each one of those just because the layout of the farms are
9 different, and the transmission systems you're hooking onto
10 are either stronger or weaker.

11 MR. HOCHHEIMER: The collector systems can be
12 drastically different on these.

13 MR. ROONEY: I guess where I'm headed, though, is
14 how does that resolve, or does it resolve Jim's problem, for
15 example? You have a standard model, but it keeps changing.
16 So how is he going to get some sort of uniformity?

17 MR. CALDWELL: Well I think that's why we're
18 trying to say we need the flexibility at the front end in
19 order to make this an interactive process.

20 And if you give the wind--if you can get into the
21 queues so you know you are a real project, and if you want
22 to set milestones to get into the queue, that's fine, but if
23 you know you're a real project and there are these real
24 studies, give the wind project developer the data from the
25 grid so that he can do at least part of the engineering

1 design so that when it is presented for the impact study, or
2 for the facility study down the road, that all of this has
3 taken place.

4 Let us be in control of that at the front end
5 without prejudicing ourselves commercially that says that,
6 well, we have this chicken and egg that we can't get in
7 until we've done this, but we can't get the data to do this
8 proper design until we're in. And so that's where we're at.
9 It's not going to solve our problem. We're still going to
10 have this problem.

11 You know, it's a real advantage for wind to be
12 able to do things quickly, but it does have its downsides.

13 MR. POOLE: You have to realize, though--I've
14 been through this on 2003 and 2003A, and we can get an
15 agreement to let you do the study, but the utility is always
16 going to come back and want to rework the study to make sure
17 that they agree with the results before they say you're good
18 to go.

19 MR. CALDWELL: Right. We didn't ask to do our
20 own facility study. That's why we were asking for, you
21 know, the early studies.

22 MR. POOLE: So what you're saying would be like a
23 feasibility study, or an early impact study?

24 MR. CALDWELL: An early impact study, in a sense,
25 yes.

1 MR. TORRERO: We think that makes a lot of sense
2 because the whole purpose of the initial studies is to
3 benefit the developer. And if they're playing a leading
4 role, that all makes more sense, provided the transmission
5 provider can come in at a later point and take over on the
6 system impact.

7 With regard to the models, I think you're going
8 to hear this afternoon from Bob Sabedil (phonetic) on some
9 models they're working on for the distribution system, and
10 that is evolving, and that could lead the way to something
11 that could apply for transmission. But any kind of software
12 you think of, like Microsoft you have to go through various
13 versions before you get to the point that you want.

14 MR. POOLE: Before we--we're getting down toward
15 the lunch break. I've got a question, and it goes to
16 another idea in the AWEA proposal relative to the SCADA
17 system, and what is going to be required or not required,
18 and do you just set those early, and how it's going to
19 interact with SCADA, and the data that's going in, and how
20 they're going to use it?

21 MR. POURBEIK: Maybe I could start off. I guess,
22 and Jim can comment on this if he agrees or not, but based
23 on some of the work we've done, the kind of information you
24 would like to have through SCADA is certainly things like
25 wind speeds at the wind farm sites, P&Q, real power, reactor

1 power coming from the farm, basically variables that
2 describe the farm. Whether the turbines are off-line, on-
3 line, that sort of information. And a lot of this may be
4 getting away from interconnection and into the kind of
5 issues I think Rob was leading to, like for example
6 operation of the farm.

7 One of the things you see being developed now is
8 wind forecasting tools, and a lot of those sort of tools
9 need information from the sites to be able to do those sort
10 of forecasts.

11 So what you may need to put into this is thought
12 into variables that are not in typical plants. I mean you
13 don't get wind direction and wind speed out of a coal-fired
14 plant, but you may need to work that into the SCADA of a
15 wind farm.

16 MR. POOLE: I guess you're looking at a control
17 area, or a reliability coordinator. I don't know what they
18 would do with it if they had it.

19 MR. POURBEIK: Just to have the tools to be able
20 to do it.

21 MR. QUIST: The issue we have is the forecasting,
22 because once you have it, how well did your plant meet your
23 forecast. Okay?

24 The other thing we see, and it's an issue that
25 Public Service New Mexico and others have run into, and that

1 is these wind plants, unless there's something in your
2 interconnection requirements, and somebody smart enough to
3 put this in up front and it's been filed with FERC, these
4 wind plants when they come on line can ramp very quickly in
5 a very short period of time to the point that the on-control
6 generators that a utility might have online cannot ramp
7 downward to counteract them.

8 So what you're going to have is area control to
9 area ACE violations, and you're going to have frequency
10 problems. So if we're going to get into exactly this kind
11 of thing where we talk about what is that interface between
12 the utility and the wind plants, this needs to be taken into
13 account because it truly is a reliability issue.

14 MR. CALDWELL: And all we're saying is, is it
15 appropriate to include in the interconnection standard the
16 band width and the capability to exchange this level of
17 information, that many of those issues that you talk about
18 belong maybe somewhere else in a transmission usage
19 agreement or something along those lines. But what we're
20 trying to say here is, as a matter of interconnection there
21 needs to be the physical capability to transmit this data
22 back and forth and to have this functionality.

23 Otherwise, you're not able to do those things
24 down the road that you need to do, or want to do, in the
25 transmission usage agreements or whatever the interconnected

1 operating agreements look like.

2 So that's why the SCADA belongs here. And again,
3 SCADA is a two-way street. I mean, you know, it's fine for
4 the wind farm to put this, you know, to have this capability
5 and so forth, but it has to go somewhere. And somebody has
6 to be answering at the other end.

7 So there needs to be these set of standards in
8 the interconnection agreement.

9 MR. POOLE: When you say "standards," are you
10 talking about the ability to collect all the data and send
11 it somewhere?

12 MR. CALDWELL: Correct.

13 MR. POOLE: As a maximum, everybody's got to
14 collect all this and send it? That doesn't necessarily mean
15 there will be somebody over there that will be able to do
16 anything with it.

17 MR. CALDWELL: Well I think the one--you know, to
18 see what these things actually look like in their full-blown
19 thing, you might want to look at the California Independent
20 System Operator, CAL ISO Interconnection Standards where,
21 again, the reason why they had to develop these standards
22 was because of the nature of the fact that the people at the
23 other end are doing forecasting, and are sending out
24 schedules, and they need this data in real time.

25 Therefore, they spend a lot of time coming up

1 with, as an interconnection standard, the SCADA capability
2 in order to support that functionality down the road. And
3 that's all we're saying, and that's why we want to put it in
4 the Interconnection Agreement that we need to think about
5 this at the front end, not wish we'd have put in one more
6 line, or one little bit more broad bandwidth and then
7 prevent ourselves from doing things down the road.

8 MR. POOLE: But I guess my question is, in
9 writing some sort of interconnection policy, does that mean
10 that we need to make sure that there's a scoping meeting and
11 all this is done early and everybody agrees on it?

12 MR. HOCHHEIMER: Yes.

13 MR. QUIST: The issue we had with the wording
14 that AWEA had in their document was they tied all this to if
15 the transmission provider could demonstrate through
16 violations of the Reliability Criteria that they needed to
17 have; that this is more of a supply-side planning issue than
18 a reliability.

19 Yes, if it causes your ACE violations and
20 frequency violations, you know, as it ramps up, then it
21 becomes a problem with the Reliability Criteria. But the
22 need for this is much more of a supply-side issue than it is
23 a reliability issue.

24 MR. POOLE: A reliability issue would come in
25 more once the operator begins to see how it affects his

1 system and operation?

2 MR. QUIST: Exactly. And if there's not the
3 capability in there to control the ramp rate of these
4 facilities as they go up, then we could have reliability
5 issues surfacing.

6 MR. POOLE: Does that change with the
7 intermittency nature? Some days if you've got a lot of
8 wind, is it going to be different than days when you've got
9 less wind?

10 MR. QUIST: Typically when this happens is when
11 you get like a front coming through, or you're at minimum
12 generation levels and all of a sudden the wind changes.
13 Those are the kinds of things.

14 We talked to Public Service New Mexico about it.
15 They says, yes, they're seeing it. They're seeing at times
16 within a minute, or two minutes, going from minimum
17 generation to maximum generation much faster than any
18 thermal units can ramp down because you have a limited
19 number of thermal units on control.

20 MR. MILLER: Could I comment to make sure that
21 we're not talking at cross purposes, though? I'd make a
22 distinction in the SCADA question here, which is exchange of
23 information is not the same as control actions. Okay?

24 Craig has just described anecdotally and
25 correctly a looming--"looming" is too strong a word--but an

1 operational issue that could conceivably have reliability
2 impacts.

3 That is sort of my point here about we've got to
4 recognize that this is an evolutionary thing. At some
5 point, we're going to have to wrestle with these active
6 power controls, which include curtailment, ramp up, ramp
7 down, a whole bunch of other stuff. I would argue that we
8 aren't anywhere near. We aren't there yet. And to propose a
9 standard of performance related to ramp rates, curtailment
10 functions, and other things is premature.

11 In my opinion, we are clearly going to end up
12 there as an industry as penetration goes higher and higher,
13 but that is next gen.

14 MR. QUIST: We just raised that because now that
15 the whole issue, now that we have broached the subject of
16 this interface, this is just one of the things that wasn't
17 included with that interface issue.

18 MR. SAYLORS: These control functions, though, in
19 areas like Denmark, have become implemented. And they've
20 been required by the transmission authorities over there.
21 And we've been incorporating them into our improved versions
22 of the SCADA systems, also.

23 So we see it. And ultimately I think it might be
24 a sooner rather than later situation where the desire to
25 have these control capabilities, and it might be more

1 limiting because of the liability issues involved of when
2 the transmission operator wants to take control of this
3 resource or pass that order to actually take implementation
4 of the action here to the wind park operator.

5 I think it is going to be more of a legal issue
6 that moves that along than a technical issue at this time.

7 MR. POOLE: Since we are getting close to the
8 lunch hour, I am going to ask the group here. Are there any
9 questions that we didn't get that you feel you want to ask
10 them real quick?

11 MR. AGARWAL: Yes, I do have a question on power
12 factor and low voltage ride-through capability. How
13 expensive those capabilities are?

14 MR. HOCHHEIMER: They're pretty darned expensive.

15 MR. AGARWAL: Let's say for 100 megawatt wind
16 farm. If you had to put in a low voltage ride-through
17 capability, would it be 10 percent of your project cost?
18 Would it be 50 percent of your project cost?

19 MR. SAYLORS: It's about 5 percent of the project
20 cost.

21 MR. QUIST: The number we've heard, if you had to
22 go back, if there was a retrofit and you guys can correct
23 me, if there was a retrofit to a turbine, it was about
24 \$10,000 per turbine to retrofit that in there.

25 The power factor actually comes down to, are you

1 able to put in shunt capacitors to fix that. Or if it's
2 dynamic, there's a certain dollar-per-megaVAR that's higher
3 for dynamic.

4 MR. SAYLORS: The difference between switch
5 elements and dynamic elements is about five times. I mean
6 the dynamic elements cost about five times what it takes for
7 the material cost of the switch elements. So that's why
8 it's very important to developers to focus and try to
9 minimize the initial costs here for these farms and try to
10 find out what it absolutely takes to meet the requirements
11 here, and what can be provided by the dynamic elements to
12 maintain system reliability, and which then we can move on
13 and provide it with the switch elements in that manner.

14 Or if indeed we really need to, if we're
15 connecting to a strong grid, we don't necessarily need to
16 have any elements in that. It might be the case.

17 Also along the line there is the case of switched
18 elements--well I hate to say I've lost my train of thought
19 here; I've had about three hours of sleep.

20 MR. AGARWAL: Would it be fair to say that so far
21 the dynamic, or the reactive voltage support is concerned
22 for a transmission provider is a matter of quality, and for
23 product developers it's a matter of cost? Would that be a
24 fair characterization?

25 MR. HOCHHEIMER: Well for operators, too, it's a

1 matter of cost. Now let me ask a question. \$10,000 a
2 turbine, Craig? What was that for in your mind?

3 MR. QUIST: What someone had told me was that if
4 you had XYZ manufacturer's turbine and you need to go in and
5 add on the low voltage ride-through capability on an
6 existing platform, if the platform could be upgraded, it was
7 about \$10,000 a turbine.

8 MR. HOCHHEIMER: It's more than that for putting
9 on a new turbine, so a retrofit would have to be much more
10 than that.

11 MR. POURBEIK: I think the answer is--

12 MR. CALDWELL: Let me try. I think from your
13 standpoint, Kumar, I think the answer depends on how the
14 rule is written; that the more fractionated you do--and this
15 is one where flexibility tends to run against you, and the
16 more sort of thing where you are saying I don't have a
17 standard, that I'm doing this thing each time I'm doing this
18 one-off, or if I'm trying to retrofit something that's
19 already existing, and that something that may already
20 existing may be a turbine that is in somebody's warehouse to
21 be done, it's not necessarily just something that's already
22 in operation, the more you do that, it becomes hugely
23 expensive to do that on a retrofit basis.

24 If you set the standard and that becomes the
25 standard that covers 95, 99 percent of the cases, then it

1 will be built in from the beginning in the manufacturer's
2 factory and it will be factored into all of the product
3 development efforts, and it will turn out to not cost very
4 much at all.

5 So that again when we were writing these things,
6 these transition rules, it has a lot to do with not only how
7 much they cost but how effective they are.

8 MR. ROONEY: We need to get this cleared up, too,
9 about what Order 2003 would be, in both rulemakings large
10 and small. This rulemaking would be based on what is coming
11 forward as opposed to--like existing contracts would be
12 grandfathered, for example.

13 So with regards to retrofits, I'm not sure that
14 that is as much of an issue as one might think.

15 MR. CALDWELL: Well as I say, it depends on what
16 you mean by "retrofits." Because, you know, right now, I
17 mean I was down at the GE facilities the other day and
18 there's 126 completed turbines sitting in the yard. Now
19 I'll guarantee you that none of those 126 turbines meet this
20 exact low voltage ride-through standard that we're talking
21 about here.

22 And so if you said that this must be taking place
23 tomorrow, you've just thrown away \$126 million worth of
24 equipment.

25 MR. ROONEY: We understand that there's existing

1 inventory out there.

2 MR. CALDWELL: So there are these transition
3 rules that are not necessarily dependent upon technology as
4 much as they are the pipeline and where things go. So a lot
5 of the effort that went into us writing this code had to do
6 with those transition rules and making sense out of the
7 transition rules as it did anything else.

8 MR. ROONEY: Again, I'm just trying to make clear
9 that if you've got an existing agreement it is grandfathered
10 under the rulemakings.

11 We also recognize that there are some of the
12 units, for example, in inventory and we need to be thinking
13 about that, as well.

14 MR. POURBEIK: One other comment on retrofitting.
15 I mean, understand you can't make some of the laws
16 retroactive because the units already in service, some of
17 them just by the shear physics of it, it's not possible to
18 go in and put low voltage ride-through. So this \$10,000
19 number doesn't necessarily apply to those sort of turbines.

20 MR. SAYLORS: This is the issue of --

21 MR. QUIST: Where that number came from is this
22 had to do with a turbine that had the capability to be
23 upgraded. Maybe it's not \$10,000, maybe it's \$15,000, but
24 there was some number if somebody came to them and they
25 said, yeah, this is what we would quote. Maybe it's changed

1 since then.

2 MR. POOLE: Let's break for lunch and we will be
3 back at two o'clock.

4 (Whereupon, at 1:05 p.m., the meeting was
5 recessed, to reconvene at 2:00 p.m., this same day.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 AFTERNOON SESSION

2 (2:05 p.m.)

3 MR. POOLE: We will get started. I would just
4 like to thank Commissioner Brownell for being here. She
5 came down for a little while.

6 We will use the same format we did this morning
7 and try to hold everybody to five minutes. So we will just
8 start with Eric.

9 MR. LAVERTY: Hello. I am Eric Laverty from the
10 Midwest ISO. I am the Technical Lead for the
11 Interconnection Engineering Group.

12 I would like to thank the Commission and AWEA for
13 working together to put this on. My comments are going to
14 be directed at the high level towards the questions you had
15 proposed. Specifically, the ones for the afternoon session
16 here.

17 Before getting into that, just real quick, you
18 had asked in the morning session about other technologies.
19 We have experience with the hydro technology that works a
20 lot like a wind farm. I would be happy to answer questions
21 on that later, if you want.

22 You asked in your questions about how should any
23 special interconnection requirements be related to the size
24 of the facility. We would like to caution on that. We have
25 in our old Attachment R, the original interconnection

1 procedures, we had special requirements and procedures for
2 smaller, under 20 megawatt facilities, and the behavior that
3 drove was a number of 19.9 megawatt requests at roughly the
4 same point of interconnection. When you look at them in
5 aggregate, it's just like having a big one.

6 What is of equal importance is the location,
7 voltage level, that sort of thing, as discussed earlier
8 today. So size is important, as is the location.

9 The reliability and safety implications of AWEA's
10 proposal: When we looked at the technical specs on there at
11 the Midwest ISO, we were pretty happy with the proposal.
12 Our concern, our biggest concern, was with the requirement
13 to waive the requirements not deemed necessary by the study,
14 for a lot of the reasons that were mentioned this morning.

15 Jim had said that, you know, if that needs to be
16 reworded then that's fine, and we would like to see that
17 reworded.

18 One thing that wasn't touched on this morning,
19 though, is in the processing of these requests, if you leave
20 that in just at face value, you can have a higher-queued
21 project raise questions about each and every study
22 assumption, practice, you know, was this really necessary,
23 was it not, and hold up subsequent ones.

24 Our practice is, whenever that environment
25 presents itself, it is invariably the smaller developers

1 with PPAs to get harmed in that type of environment. So we
2 have some room. We expect that that can get resolved. We
3 would be open to something like: here's a minimum
4 requirements; here's a maximum requirement. If the minimum
5 doesn't work, move towards the maximum. If that doesn't
6 work, then we have to look at a network solution to solving
7 the issue.

8 As for self-study and the Feasibility Study, we
9 already allow in our compliance with Order 2003A that a
10 developer can elect to skip the Feasibility Study, so we
11 have no problem with that.

12 As far as self-study, we do make base cases
13 available. You can get them on our Extranet. There's a
14 process to get certified to get them.

15 We do caution, though. In our experience when
16 people have done this, the assumptions used in the self-
17 study are different than what we would have done. And we
18 end up in conflict there at times. So it's there. Use it
19 with caution.

20 For overall enhancements, we have our planning
21 subcommittee that's an open forum meeting and we invite any
22 kind of developer to come, or stakeholder, state
23 commissions, federal commissions, to come and work with us
24 to improve the overall process.

25 We talked a little bit this morning about models,

1 and I would like to echo that these are getting better over
2 the last few years. We've even seen a case where it's
3 really too good. The thing is so detailed that the
4 simulation times, the actual nuts and bolts running the
5 simulation, that time has tripled and that cascades because
6 you have to do a number of them.

7 So we encourage continued work with not only the
8 developers working with the software vendors, but also with
9 the consultants and transmission providers and utilities
10 that are actually using these to kind of smooth over those
11 issues.

12 And then as far as special design information for
13 models needed to conduct the interconnection studies, we
14 have an overall kind of mindset there in MISO. We would
15 like to ducks pretty much in a row before you enter the
16 queue.

17 Now that said, we don't need exact distances
18 between turbines. But given the models that are out there
19 to provide a good model for stability, you need to know the
20 size of the farm, how many feeders you're going to have, how
21 many turbines on each feeder.

22 And if that changes a little bit, we can deal
23 with that. We can go back and take a look. Do we need to
24 re-study or not? We've been flexible on that in the past
25 and we're continuing to do so. But we do need some of the

1 work done before you get into the queue.

2 With that, I would like to again thank you for
3 the opportunity to be here and turn it over.

4 MR. POOLE: Mike, did you have comments you
5 wanted to give?

6 MR. JACOBS: Yes. Thank you very much, Bruce,
7 and Commission. My name is Mike Jacobs. I'm the Eastern
8 Representative for American Wind Energy Association. Prior
9 to coming to the Association, I worked for six years in the
10 wind energy with a SCADA manufacturer. So if we want to get
11 back to that topic, I would be happy to help with it.

12 Let me address the proposals in general terms.
13 The proposals that we made follow lessons learned. The
14 first is that policy on new technology is needed now before
15 another gigawatt of wind power is built.

16 Asynchronous generation is different, and the
17 Commission is right to look at the interconnection needs of
18 new technology relying on asynchronous generation.

19 The Commission has heard the wind industry's
20 response to the Blackout last summer. When we went through
21 our process to come to this point, we reviewed the range of
22 issues that have come up in the process of interconnecting
23 new wind farms and the potential added cost to comply with
24 the standards that we are proposing.

25 We have tried to reach a balance, and we thought

1 that a continued rulemaking on interconnection was the
2 appropriate place to present this range of issues.

3 We contemplated this proposal to be for a large
4 interconnection. We are pushing our technological
5 capability with the standards that we have proposed here for
6 low voltage ride-through.

7 As you have heard or seen, perhaps, we have
8 policy constraints on our business that differ from other
9 generation, and a construction cycle that is much shorter
10 than other generation.

11 These cycles are actually in some synchronicity
12 right now and we expect a big year for new wind coming up
13 ahead. So gain, the use of standards now would be a chance
14 to capture some of the improvements before, like I said,
15 perhaps another 1000 megawatts is out the door.

16 But we seek to do this. We want to bring our
17 product to market to meet the demand of state portfolio
18 standards and the increasing interest in a stable energy
19 price in this date of volatile oil prices.

20 We need national standardization on some basic
21 interconnection issues. These standards will require our
22 manufacturers to stretch what they have been doing, and
23 implementation will have to be justified by the site
24 conditions.

25 The questions asked for today reflect the bigger

1 picture of the interconnection process and the different
2 circumstances for wind. We propose not only the technology
3 standards discussed earlier to improve integration and
4 reliability with the grid, but also propose to process
5 standards and improvements in modeling wind generation. We
6 think those topics are ripe and appropriate for this
7 agency.

8 In particular, we are confident that our proposal
9 is an improvement in grid integration and reliability in
10 what has been past practices, and in particular we think
11 that interconnection studies need to have pertinent
12 information.

13 We have heard some discussion already about the
14 engineering models. The engineering models for current
15 generation technology has been difficult in the past for
16 transmission providers and for project proponents to obtain.
17 There's confusion. The rapid evolution of technology and
18 the unfamiliarity of the several parties has contributed to
19 this confusion.

20 So we're hoping that by this process we will get
21 some direction or some encouragement for all parties to seek
22 a recognized clearinghouse for updated information on
23 generator characteristics.

24 We have suggested a forum that is interested and
25 involved in wind utility integration as a starting place,

1 and more broadly we have proposed--or we have made our
2 proposal with the idea that it is a starting place, with the
3 sense that we're going to be building wind farms steadily;
4 that we need to set up standards to begin with. And as
5 things improve, we have a starting place rather than have no
6 starting place.

7 So in this current environment, we appreciate the
8 Commission's taking an interest in this and for helping to
9 focus attention on our industry. I look forward to
10 questions.

11 MR. POOLE: Bill.

12 MR. WHITEHEAD: Thank you. Bill Whitehead,
13 General Manager for Transmission Interconnection Planning at
14 PJM. I am responsible for all the transmission planning and
15 interconnection activities.

16 I very much appreciate the opportunity to
17 participate on this panel, in particular because wind has
18 become a much bigger part of our interconnection queue in
19 the last year or so. While we only have a couple hundred
20 megawatts in service, there are over 3000 megawatts of
21 active wind projects in the queue right now in various
22 stages of the queue.

23 The evaluation of interconnections, and
24 specifically wind, is done through our integrated regional
25 planning process, which was a process we put in place in

1 1997 to integrate the reliability needs of the planning with
2 the real-time needs of operations and the economics
3 associated with markets to basically put together an
4 integrated plan that looks at all the various aspects and
5 integrates those into a single plan for the PJM region.

6 The interconnections are one piece of the plan.
7 We do a number of other assessments, and we get a number of
8 other market-based requests and public input, but the
9 interconnection is one of many drivers that we try to
10 integrate into the plan and that we try to balance the needs
11 of.

12 The objectives of the interconnection process,
13 and one of the things that we have been talking about during
14 this morning's session, is really to maintain comparability
15 among developers. But all requests are treated equally, and
16 particularly the decisions are based in an equivalent time
17 period that result in comparable treatment.

18 I'll talk a little bit about the feasibility
19 studies. A feasibility study is not just a technical study,
20 but it also gives the developers an idea of the location on
21 the transmission system, is it a good location, are there
22 other projects that may have an impact on their project, or
23 in turn is their project going to have an impact on other
24 projects.

25 So it is more than just the technical study, but

1 there are also the needs of other projects that are involved
2 as well. And, you know, the need to pull all this
3 information together we feel is a pretty important part of
4 the process, particularly as you move along through the
5 process into the impact study stage and onto the facility
6 study stage. It's an important point for the developer.

7 We have a single process for all
8 interconnections, generation, merchant transmission, and
9 demand-side management as well. We feel that is important
10 because we feel that that is the best way to maintain the
11 rights for all projects, and essentially maintain the
12 equitability of the rights for all projects.

13 Generators, transmission, and demand side are
14 actually competing for the same transmission, and in some
15 cases limited transmission capabilities. So it is important
16 that when we establish a queue process, and as we did
17 through 2003A, that we keep the general queue process
18 working the way it is because it is important again to keep
19 the various rights of the different projects and the
20 developers.

21 We have also touched a little bit on the small
22 generation. Small generation is a part of the single
23 interconnection process. We handle projects 20 megawatts
24 and less through an expedited small generation process.
25 That process recognizes the unique attributes of small

1 projects and is able to accommodate scheduling needs and
2 also is able to expedite projects without necessarily
3 adversely impacting other projects, or adversely impacting
4 the rights of other projects.

5 And we have just recently completed a process
6 where we developed a subset of that process for distributed
7 generation less than 2 megawatts, which is based on the IEEE
8 1547 standard, and I think it is a good example of where an
9 industry technical standard was able to be integrated into
10 an existing process with the right stakeholder input and
11 with the right process in place.

12 And, you know, there are a few folks here that
13 participated in that through the year this year.

14 Small generation, again, we feel has become
15 almost 40 percent of the small generation requests in our
16 queue are wind projects, so we understand the needs of the
17 small generation wind projects as well as large generation
18 wind developers.

19 Essentially in summary, we believe strongly that
20 all potential solutions for transmission must be integrated
21 through a single process, and that we need to maintain
22 essentially the sanctity of the queue process in order to
23 maintain everyone's rights, and maintain the equity between
24 the projects.

25 We feel very strongly that legitimate technical

1 differences can be accommodated within the process, and we
2 also feel very strongly that unique attributes of either
3 small projects or new technologies can be recognized within
4 that process as well.

5 I look forward to answering the questions later,
6 and thank you again for the opportunity to participate.

7 MR. POOLE: Patricia.

8 MS. ARONS: My name is Patricia Arons, and I am
9 the Manager of Transmission and Interconnection Planning for
10 Southern California Edison.

11 I appreciate the opportunity to participate in
12 FERC's Technical Conference Regarding Technical Requirements
13 For Interconnecting Wind Generation.

14 SCE has substantial experience in interconnecting
15 wind generation in the Tehachapi and the San Gregorio areas
16 of our system. Tehachapi is an area up near Bakersfield,
17 California. The San Gregorio is down near Palm Springs.
18 Our experience began back in the 1980s interconnecting wind
19 generation as qualifying facilities.

20 In 2003, Edison's wind generation purchases were
21 2559 gigawatt hours. That is nearly 2.6 billion kilowatt
22 hours. Currently, SCE is participating in the developing of
23 a transmission plan to integrate wind generation to help
24 meet the State of California's directive that renewables
25 comprise 20 percent of the total investor-owned utility

1 procurement by 2017.

2 I look forward to discussing reliability issues
3 in the areas identified in AWEA's Request For Technical
4 Conference. SCE believes it is important for FERC to hear
5 the technical issues associated with wind generation
6 interconnections before establishing unique interconnection
7 requirements for wind.

8 For almost 10 years now, SCE has been requiring
9 that wind generating facilities, which include generator
10 installations and collector systems, abide by the same power
11 factor requirements included in Order 2003A for nonwind
12 generators.

13 SCE has long recognized that induction wind
14 generators, which are typically the choice of wind
15 generation developers, lack the capability to internally
16 generate reactive power, and instead consume reactive power
17 resulting in degradation of voltage support in the area.

18 This being the case, SCE has required that wind
19 generation developers provide external reactive resources
20 within their wind park facilities to accommodate their own
21 reactive demand and compensate for losses within their own
22 collector systems, and to be able to deliver a .95 power
23 factor lead at the point of delivery.

24 Without such reactive power requirements, grid
25 reliability is jeopardized. In the Tehachapi Wind Park,

1 incidents of uncontrolled voltage degradation leading to
2 widespread tripping of wind generation and occasional
3 tripping of customer load have occurred and persisted even
4 after SCE completed upgrades that were designed to
5 accommodate the wind generation in Tehachapi.

6 Further investigation showed the lack of reactive
7 resources within the wind facilities accounted for
8 significant deficiencies of voltage support in the electric
9 system.

10 Induction generators which have historically been
11 the choice of wind generators for over 20 years now are by
12 no means new technology. Power factor requirements should
13 be imposed on the installations that are the same or
14 equivalent to the requirements for synchronous generator
15 installations and for all generator installations.

16 SCE's experience with wind generators indicate
17 that power factor is very critical for large-scale induction
18 generator applications. The general case for SCE is that
19 wind generation developments are in remote areas and occur
20 in large quantities over a wide area.

21 SCE has about 1000 megawatts of wind generation
22 with about 300 megawatts on 166 kV system in particular;
23 another 400 megawatts on 115 kV system; and about 300
24 megawatts connected to 220.

25 SCE notes that on the 166 kV system, voltage

1 degradation had been experienced due to lack of reactive
2 resources, and that only about a one percent reduction in
3 the reactive resources--which is about 3 megaVARs in the
4 wind parks relative to the power production of 300 megawatts
5 could trigger such voltage degradation, leading to dropping
6 of wind generation through undervoltage protection on the
7 units.

8 AWEA also suggests that its proposals, if adopted
9 by the Commission, and other aspects of Order 2003A
10 applicable to wind facilities comprise standards that, if
11 met, presumptively entitle a utility--a facility to be
12 interconnected.

13 This does nothing more than prevent the
14 transmission provider from addressing impacts and trying to
15 protect its system, its customer, and other generators,
16 leaving neighboring utility systems.

17 SCE notes that in the Antelope Valley and Kern
18 County area we have projected over 4000 megawatts of new
19 wind generation in the State of California to be developed
20 to meet the Renewable Portfolio Standard according to Senate
21 Bills 1038 and 1078.

22 AWEA appears to be saying that, even though
23 studies have not been completed to determine the effects of
24 such magnitude and concentration of induction wind
25 generation, there should be no further requirements for wind

1 facilities, and this is of serious concern to Edison.

2 FERC has already specified policies covering the
3 system upgrades and direct interconnection facilities, and
4 all interconnections are subject to review in California by
5 the ISO, by the developer, and require filing at FERC.

6 This policy should be preserved and applied to
7 all generators. We do not agree that the power factor
8 requirements should ever be waived because systems change,
9 generation is added, this waiver creates problems between
10 generators, and who bears the burden to control voltage?

11 Also wind generators frequently repower to
12 increase production which can have a direct bearing on
13 system performance. We recommend that a requirement be
14 added indicating that generators must be able to actively
15 control either a scheduled power factor or voltage in
16 addition to the described power factor range.

17 By establishing a reduced standard for wind
18 generators, you provide a me-too incentive for synchronous
19 machines to reduce their performance requirements as well.
20 This is a dangerous trend for reliability.

21 I see that I've run out of my time, so I will
22 conclude my remarks. I do have some other things to say
23 about power system stabilizers in particular that will
24 probably come out in comments.

25 MR. POOLE: Chuck.

1 MR. MATTHEWS: Thank you. I appreciate the
2 change to participate in this Technical Panel discussion.
3 My name is Chuck Matthews. I work at Bonneville Power
4 Administration. I am a process manager in network planning
5 assigned to--I assign and direct study work for requests
6 that are in our queue.

7 Of course BPA is a Federal Power Marketing Agency
8 under the Department of Energy. We market wholesale power
9 from 31 federal hydroelectric projects. Our territory is in
10 the Pacific Northwest, including the States of Oregon and
11 Washington.

12 We have some system in Idaho and western Montana,
13 and in small parts of four other states.

14 We provide approximately 45 percent of the
15 region's power, and approximately 75 percent of the region's
16 high voltage transmission.

17 Presently, BPA has five wind projects totalling
18 approximately 325 megawatts connected to our system. This
19 is not as high a penetration as other systems. There's
20 approximately 25 wind projects which constitutes over 4000
21 megawatts of generation in various stages of study in the
22 BPA interconnection queue. The size of these requests in
23 our queue are anywhere from 25 to 600 megawatts.

24 We do agree that there are differences in wind
25 technology that justify convening this Technical Conference

1 to get all the parties together to talk about the issues.

2 We are strongly committed to supporting wind
3 generation. Things we have done include facilitating study
4 work by providing feasibility information to developers
5 sooner rather than later under the old process. In the new
6 process we'll be following 2003A as close as possible.

7 BP is a little unique as a power marketing agency
8 in the federal government that we do have to meet the
9 National Energy Policy Act, along with the studies that are
10 outlined in the FERC Order.

11 We are also investigating expanding our secondary
12 grid management to help facilitate some interconnections.
13 On the other hand, care needs to be taken due to locations
14 where wind is typically integrated and the technology used
15 as far as maintaining grid reliability.

16 We are learning more lessons as time goes on
17 about the modeling and studies to better understand what the
18 potential problems are.

19 We are learning more that these are dependent on
20 the farm layout as well as the generator models, that sort
21 of thing.

22 We are being more careful in analyzing
23 requirements for voltage control. One example that we have
24 had was generation tied into a weaker system tapping a line,
25 and existing customers on the line, and using shunt

1 capacitor banks to regulate the voltage because the output
2 from the wind generation changes so quickly. The timing of
3 course of shunt capacitors is a little slower than voltage
4 regulators downstream, so a lot of customers' voltage
5 regulators and other equipment are getting a lot more
6 exercise now than they used to. So we are learning about
7 that and trying to deal with those types of issues.

8 The bottom line is, we need to maintain grid
9 reliability. To achieve this, the transmission provider
10 through the transmission study needs to define what the
11 system performance requires for the grid, and then
12 applicable technology to meet this performance at the points
13 of interconnection.

14 Of course the performance at the point on the
15 grid is dependent on the size of the wind farm and the
16 strength of the system at the point of interconnection.

17 As far as low voltage ride-through, there's two
18 issues that we had with the low voltage ride-through. In
19 the Northwest, we rely on remedial action schemes for
20 tripping of generation to help support transmission
21 capacity, and that stuff. And if these generators trip off
22 inadvertently without us actually knowing about it during a
23 major system disturbance, then we could actually over-trip
24 generation and get into some other issues with maybe into
25 under-frequency load shedding type of stuff.

1 And then of course the loss of generation in the
2 local area causes more stress on the system, as given in the
3 PNM example earlier today.

4 So BPA is strongly committed to supporting
5 integration of wind. We are supportive of having all the
6 entities get together to work through the complex issues at
7 hand. That's it.

8 MR. POOLE: Thank you. Wayne.

9 MR. HAIDLE: Wayne Haidle, Engineer with Montana-
10 Dakota Utilities, abbreviated MDU.

11 MDU appreciates the opportunity to provide
12 comment at this Technical Conference. MDU is a small,
13 vertically integrated utility serving customers in portions
14 of North and South Dakota, Montana, and Wyoming.

15 MDU service territory is located in a high-wind
16 resource area. It has been projected that more than 10,000
17 megawatts of wind generation can be located in North Dakota
18 alone. Because of this MDU has frequent contact with wind
19 developers.

20 MDU acknowledges that expectations of generators
21 set forth in FERC Order 2003A may be overly comprehensive.
22 To that end, MDU would be in favor of modifications which
23 prescribe performance criteria in lieu of generator
24 criteria.

25 If modifications were made, here is some verbiage

1 for consideration:

2 "The requirements for any given generator or
3 aggregate of generators wishing to interconnect should meet
4 certain conditions both at the point of interconnection and
5 the realm of direct regional impact.

6 "In general terms, all intended modes of
7 operation of a generator should:

8 "(1) Maintain pre- and post-contingency steady-
9 state voltage criteria:

10 '(2) Maintain industry standard voltage flicker
11 criteria;

12 "(3) Maintain ride-through capability for
13 disturbances which would otherwise become a regional
14 security risk;

15 "(4) Implement manual and/or automatic
16 mitigations not to exclude generator tripping;

17 "(5) Demonstrate appropriate benevolence to
18 small-signal damping if the lack thereof could lead or
19 contribute to a breakup of a transmission grid;

20 "(6) Provide real-time telemetry and control
21 deemed reasonable and necessary for maintaining system
22 reliability;

23 "(7) Mitigate other impacts which are not in
24 conformance with good utility practice."

25 Concerning matters of self-study, the

1 availability of refined and comprehensively validated models
2 are not common, especially in coordinated sets of power flow
3 short-circuit and stability data.

4 Further adding to this complexity is the
5 incredible AWEA expectation that these model sets should be
6 available off the shelf with the implied suitability for any
7 voltage class on any operating or planning horizon.

8 Parties wishing to investigate such feasibilities
9 may have to rely on the best available modeling data and may
10 need to tailor the models for their own purposes. In no
11 situation should such feasibility studies be exempt from ad
12 hoc review if the generator is seeking approvals toward an
13 interconnection agreement, nor should a generator be
14 absolved of their obligations to system reliability
15 regardless of the feasibility study results and/or the
16 expiration of the period for comment on the study results.

17 MDU is geographically located in a low-population
18 area with concentrations of significant generation and long
19 transmission lines. Reliable operation of a transmission
20 grid currently relies on various mitigations which range
21 from manual operating procedures to automatic generator
22 tripping.

23 These mitigations are generally established for a
24 given expected use of a transmission grid. If the
25 utilization of a transmission grid is altered appreciably by

1 new generation and/or market use, the outcome of such
2 mitigations may be unpredictable without additional
3 extensive restudy.

4 The transmission operating challenges of today
5 are formidable even with dispatchable forms of generation.
6 A proliferation of nondispatchable generation without
7 substantial transmission upgrades will most assuredly
8 degrade system reliability.

9 Any form of generation which routinely relies on
10 real and reactive reserves of other resources certainly
11 should not be given special concessions for interconnection.
12 Furthermore, expectations of these intermittent forms of
13 generation to ride through disturbances certainly should not
14 be construed as an acknowledgement of their contribution to
15 the system reliability.

16 On the contrary, these expectations should be
17 construed as their obligation to system reliability so other
18 dependable resources of real and reactive operating reserves
19 are not further strained or exhausted entirely.

20 FERC has a responsibility to provide a
21 nondiscriminatory access to the grid, promote reliability,
22 and not favor a particular type of generation. The AWEA
23 request for special exemptions must be denied.

24 MR. POOLE: Thank you. Jeffrey.

25 MR. CONOPASK: Good afternoon, ladies and

1 gentlemen. I am Jeffrey Conopask, Senior Economist of the
2 District of Columbia Public Service Commission, and I am
3 representing the National Association of Regulatory Utility
4 Commissioners, which I shall refer to as NARUC.

5 NARUC appreciates the opportunity to provide
6 comments at this conference. I will also suggest that our
7 interest here is to put our policy position forward, and we
8 do obliquely address the questions for this afternoon's
9 session.

10 We have had a long-time interest in all of the
11 direct and indirect issues discussed here. NARUC and the
12 States have three main areas of concern:

13 That the reliability of the transition system be
14 preserved;

15 That a large selection of renewable resources be
16 available to interconnect to the electric system at a
17 reasonable cost;

18 And that the Interconnection Agreements for small
19 projects be consistent with the best practices already
20 established and in use in several states such as Texas,
21 California, Idaho, Ohio, and New York.

22 On the local and sub transmission systems, the
23 level of reliability provided to customers is directly
24 related to the cost to provide that level of reliability.
25 If the probability of an outage or disturbance is low enough

1 under normal operations and the cost to avoid the problem is
2 significant, often states have found this to be an
3 acceptable risk to customers. This is the portion of the
4 system where most wind generation is interconnected today.

5 However, the AWEA proposal is targeting
6 interconnection rules for wind farms 50 megawatts and above.
7 We are increasingly seeing wind farm interconnection
8 requests for 200 to 300 megawatts and more.

9 This moves the interconnection point of these
10 large facilities up to the bulk transmission system. The
11 bulk transmission system operates, out of necessity, on a
12 much more strict set of reliability rules.

13 A major outage on the bulk system cannot be
14 allowed to trigger the outage of any additional members of
15 the system. Consequently, reliability of the bulk
16 transmission system is an absolute in the sense that we can
17 only tolerate one element going down for the system's
18 redundancy will allow the remainder of the system to
19 continue to function. To do otherwise is to tempt blackout
20 situations.

21 NARUC has demonstrated their support for both
22 system reliability by joining NERC and FERC in the call for
23 legislation that mandates adherence to NERC Reliability
24 Criteria which applies to the bulk system.

25 That said, NARUC has repeatedly endorsed the

1 development and interconnection of renewable resources such
2 as wind. Renewables are good for the environment.
3 Renewables are good for fuel diversity.

4 Fourteen states have established some level of
5 renewable portfolio requirements. New York, for example,
6 has set a target of having 25 percent of their load served
7 by renewable resources.

8 California is calling for a 30 percent target.
9 These requirements are ambitious, a challenge for system
10 integrity, and an opportunity for developers of renewable
11 resources.

12 Ambitious in that these portfolio requirements
13 call for development of new technologies, techniques, and
14 rules to accommodate these facilities.

15 A challenge in that there may be system limits as
16 to how much wind energy, for example, can penetrate at any
17 one time given current system control technology.

18 An opportunity for developers? Well, that's
19 obvious.

20 We must start from the premise that new additions
21 to the transmission system must not compromise the existing
22 level of reliability. Developers should understand that
23 reliability rules apply equally to all generation resources
24 regardless of the impact on the economic feasibility of the
25 project.

1 On the other hand, system planners and operators
2 need to acknowledge that most existing reliability criteria
3 have been drafted from the perspective of a system
4 containing similarly designed machines.

5 When the new wind and other technology projects
6 proposed to interconnect on the transmission system, the
7 appropriate criteria should be whether at the point of
8 interconnection the same level of reliability is being
9 provided as would be required from a traditional plant
10 regardless of what is taking place inside the developer's
11 fence.

12 Having said that, we believe that if a wind
13 resource generation developer can demonstrate the ability to
14 satisfy equivalent reliability criteria, we should give them
15 that opportunity.

16 Even though the AWEA's standard proposes
17 standards to be applied to 50 megawatt plants and above,
18 FERC has set this conference to examine the interconnection
19 requirements for all wind and new technologies. We note
20 that interconnection of smaller projects are handled
21 routinely and require some customization depending on the
22 design of the local sub, transmission, and distribution
23 system.

24 The NARUC Model Interconnection Procedures and
25 Agreement For Small Distributed Generation Resources was

1 designed to encompass these types of installations based on
2 the best practices currently in use in several states.

3 This concludes our remarks. Thank you.

4 MR. POOLE: Thank you. Paul.

5 MR. LEHMAN: Thank you. I am Paul Lehman of Xcel
6 Energy, and I am pleased to be here today on behalf of the
7 Edison Electric Institute to provide some perspectives on
8 these critical safety and reliability aspects of wind
9 interconnection.

10 At the outset I wish to state clearly that EEI
11 and its member companies have as their first priority the
12 safety and reliability of the production and delivery
13 network. EEI member companies take this responsibility
14 seriously, as exemplified by the round-the-clock service
15 restoration efforts in the Southeastern States in the wake
16 of the three major hurricanes during the past month.

17 Another example includes the entire electric
18 industry's strong support for the broad range of initiatives
19 now underway at the North American Electric Reliability
20 Council, or NERC, and the NERC Regional Councils.

21 This includes the development of comprehensive
22 reliability and planning standards through the ANSI-approved
23 standards setting process adopted by NERC two years ago.

24 The EEI Board has stated its unanimous support
25 for these initiatives as critically needed elements for

1 maintaining grid reliability in the future. And since we've
2 talked about NERC, EEI will be contacting NERC leadership at
3 the conclusion of this conference to convey to them the
4 importance of the issues we have addressed today.

5 EEI and its member companies all support the
6 development of a broad range of efficient generation
7 resources, including wind resources. As the Commission
8 knows, several EEI member companies have made and are
9 planning to make significant commitments to both large and
10 small-scale wind projects. This includes Xcel Energy who is
11 considered a leader in the receipt of wind energy resources.

12 EEI and its members also strongly support the
13 Commission's interconnection initiative during the past two
14 years. A broad range of member company personnel, including
15 myself, labored long and hard in participating in these
16 good-faith efforts to establish standardized procedures and
17 agreements which will contribute to making generation
18 interconnection more efficient and fair in the future.

19 In light of the current and compelling needs to
20 satisfy both of these goals, I introduce my more detailed
21 remarks by acknowledging that wind interconnection requires
22 careful planning and decision making in the sense these
23 resources impose several unique challenges in terms of
24 ensuring network reliability.

25 The proposal by the American Wind Energy

1 Association offers specific examples of several of them.
2 EEI has not formally responded to the proposal and does not
3 at this time intend to take a formal position. Because of
4 this, and because of the comprehensive comments of the
5 panelists of this morning and the panelists here this
6 afternoon so far, I will just hit some of the highlights as
7 it relates to some of the issues that are identified.

8 First is with respect to power factor. Dynamic
9 voltage control is an important part of generation
10 operation, and the level of need will change over time. The
11 ability to control voltage through varying the power factor
12 dynamically is more important than a specific power factor
13 setpoint.

14 Being able to operate at any and all points
15 within the .95 leading/lagging range as needed dictated by
16 voltage control is the important part of the standard, as
17 opposed to just being able to meet a point within that
18 range.

19 With respect to the low voltage ride-through
20 capability, the growing high concentrations of wind energy
21 are reaching levels where lack of voltage ride-through
22 result in these farms becoming the largest outage in the
23 region, requiring more spinning reserve and more
24 supplemental voltage control equipment.

25 For any transmission interconnected generation,

1 ride-through capability is important when significant blocks
2 of wind energy are being installed.

3 We have touched on, or several panelists have
4 touched on small wind issues, and I just want to re-
5 emphasize a couple of those.

6 Due to the radial nature of the distribution
7 system where these small wind generators tend to be
8 interconnected, there is the risk of islanding of the load
9 with generation connected to it. And damage hazards to
10 consumer equipment from voltage swings and/or frequency
11 deviations and safety hazards to utility personnel and other
12 customers are of concern.

13 A few other issues:

14 It is important to analyze transmission
15 capabilities on a regional basis versus the one-generation
16 interconnection request at a time.

17 Wind generation should not receive any special
18 treatment or relaxing of standards just because of the
19 technology being used to generate electricity.

20 All generation should have similar standards
21 regardless of the technology or fuel type.

22 Thank you.

23 MR. POOLE: Thank you. Ken.

24 MR. DONOHOO: Good afternoon. My name is Ken
25 Donohoo. I am Manager of System Planning with ERCOT. I

1 have been with them since 1996. I have a little bit over 22
2 years' experience in the industry.

3 It is very interesting hearing all the comments
4 from all the panelists here today. I would like to
5 compliment you on receiving all of this input. I think that
6 is a key to you solving what is happening. That is what we
7 have done in ERCOT. We maintain an open, fair, and honest
8 process to incorporate all these opinions and viewpoints
9 both in transmission planning and hooking up generators.

10 We have several examples of that:

11 Our open planning process that's on a regional
12 basis;

13 Our generation interconnection procedures that's
14 fair to all generators and clearly lined out;

15 Our reactor standards that were recently approved
16 last year that was a culmination of over four years' worth
17 of effort.

18 The biggest thing I think we've got to do is,
19 rather than focusing on the problem I think we need to focus
20 on the solution. There are many options to solving all of
21 these problems.

22 The big key is: Is it cost effective and fair to
23 all parties? That's a big factor. Plus, maintaining
24 reliable service to load.

25 We have a significant portion of wind generation.

1 Back before 2000, we didn't have a whole lot. In 2000 it
2 got very exciting in West Texas, and we have significant
3 growth. Right now we have over \$150 million of transmission
4 underway to incorporate the wind generation that is there in
5 place.

6 We also have another \$150 million of capital
7 planned if we have any more additions within that area. The
8 plan is already in place. We are still having people come
9 to request interconnection at various locations. It is
10 good. It is still healthy. All types of generation are
11 still coming to ERCOT to request generation interconnection.

12 We have a healthy reserve margin, and wind energy
13 is an important part of that. Some of our major concerns
14 that we've had over the past years, which we are working
15 through with the stakeholders, with the customers, and with
16 the wind generation owners are:

17 How much peak capacity do we plan for? That's a
18 big problem. It's a seasonal production. The diversity,
19 the time of day that it peaks. Most times it peaks early in
20 the morning in the spring. We don't have a whole lot of
21 load out in West Texas at that time.

22 Another big concern is trying to build in advance
23 of known need. That is a big factor and a big discussion
24 right now. That is a public policy question. That is not
25 really a technical question. We can come up with a plan

1 that will solve the levels. I think the big key is getting
2 the cost recovery back to the people who are building the
3 transmission and also serving the public good.

4 Another key thing that I think everybody has
5 brought out is the stability effects of wind turbines. They
6 are changing. They change quite often. We have a Blue
7 Northern come in in West Texas, they all peak at one time.
8 We've had as high as 200 megawatts in six minutes' ramp up
9 of wind turbines when that affects. That is going to
10 increase the need for regulation in ancillary services.
11 That is a factor, but there may be cost-effective solutions.

12 Voltage control seems to be a big concern. It
13 has been a problem in ERCOT. We've worked through that. We
14 now have the Implementation and Compliance of Reactive
15 Standards. There are some specific items there for the wind
16 turbines. There were no-bus generators in those standards
17 which includes installing many SVC statCOMs or some type of
18 dynamic devices to solve that, and they can contribute to
19 pay for part of that.

20 One of our biggest things is it may be critical
21 for keeping the renewable in service. You don't get the
22 benefit of the green power unless it's in service serving
23 load. So we want to keep them on time and try to optimize
24 the power output from those wind turbines.

25 High voltage is still, during off-peak

1 conditions, is still a major concern. Fault ride-through
2 capability--in other words, voltage sustainability. Another
3 factor you may need to consider is what happens during
4 under-frequency events?

5 I think you heard a lot about our Model
6 Development Project that was started several years ago.
7 It's going very well and we're continuing with it with
8 NIREL.

9 Some of the other big factors:

10 Getting and maintaining data from the turbine
11 manufacturers and the owners of the wind farms. These
12 things do change. New turbines do come out. Keeping those
13 factors and keeping those data points correct in our models
14 is a key to having good development of planning.

15 Also, developing and maintaining the stability
16 models. We started with a set. There's no technologies.
17 We're going to need new models. Essentially, we have joined
18 the utility wind interest group's effort and are supporting
19 their effort on the technical basis as continuing model
20 development. It's a collaborative and open process. We
21 think it is a very good process with all parties, including
22 the manufacturers in it.

23 We are also coordinating with other RTOs and ISOs
24 in these efforts now.

25 That essentially concludes my comments.

1 MR. POOLE: Thank you.

2 Does anybody have some questions to start off
3 with?

4 (No response.)

5 MR. POOLE: Well I will just, then, get into the
6 ones we had identified for this afternoon. Most of them
7 were relative to reliability. That goes again to the
8 discussion I guess of the low voltage ride-through, the
9 SCADA connections, and data taking and reactive.

10 I guess I would just like to know from the people
11 representing the ISOs and the Coordinating Councils who all
12 has detailed requirements set for those specific areas? And
13 are they specific for wind?

14 MR. LAVERTY: We are still in the process of
15 developing that stuff. We haven't--you know, SCADA, we had
16 some stuff down here--you know, what's required is we own
17 reactive power, open and close status of the breaker, and
18 megawatt hours delivered, megawatt hours received on the
19 load side, and that's independent of the tied to generator.

20 MR. POOLE: You don't have anything special for
21 the wind units?

22 MR. LAVERTY: (Nods in the negative.)

23 MR. POOLE: Do you think you will have? Are you
24 planning on it?

25 MR. LAVERTY: If our stakeholders come to us with

1 a need for it, yes, we'll work towards that.

2 MR. WHITEHEAD: We've got, as far as the SCADA
3 goes, anything larger than 10 megawatts regardless of what
4 fuel or wind or otherwise, anything larger than 10 megawatts
5 is required to have SCADA.

6 The information similar to MISO, the megawatts,
7 megaVARs, you know, status, that type of stuff is
8 telemetered back to, sometimes to the transmission owners,
9 or sometimes directly through the transmission owners
10 directly to PJM, or directly to PJM.

11 We don't have any real specific other
12 requirements for wind. We have started to talk about the
13 low voltage ride-through. That is part of an effort to look
14 at a couple of areas where we have concerns about losing
15 large amounts of generation where we haven't typically
16 planned before.

17 Low voltage ride-through is one of them. We
18 really haven't had a problem up till now because the wind
19 hasn't been as concentrated and we haven't had as much, but
20 it's coming. Even to the extent of, you know, like loss of
21 a gas pipeline effecting a large amount of generation, you
22 know, that's fed off the same pipeline.

23 So those types of things are kind of on the
24 horizon for some discussion within PJM, but not necessarily
25 specifically related to wind but just to events that could

1 take a large amount of generation off at one time.

2 MR. LAVERTY: If I could jump back in on the low
3 voltage ride-through, our experiences on that have been
4 varying. We do have the density. Of the 51 active projects
5 we have right now, I believe 35 of them are in Minnesota. I
6 know well over 30 are in the MAPP Region and are highly
7 concentrated in the southwest corner of Minnesota.

8 But what we also ran into is comparability
9 factor, but this time in the other direction. If you
10 already have generation in the area that have remedial
11 action schemes, can you require the wind generation to stay
12 on line when the coal, or the gas, or what have you, is not
13 required, or under certain circumstances can trip off? So,
14 you know, we hit that.

15 In the Maine Region, you know, we do run into
16 NERC Category B where for a single outage you're not
17 supposed to trip a generator. I mean if it's hanging on a
18 radial line, clearly, you know, the generator will go much
19 the same as if you fault a step-up transformer. But there
20 to comply with NERC Category B you do often need some low
21 voltage ride-through capability, and that varies, you know,
22 on the system.

23 MR. MATTHEWS: Chuck Matthews, BPA. I'm a member
24 of the WECC Reliability Subcommittee and they're in the
25 process right now of developing a low voltage ride-through

1 standard to include in the WECC Standards. It is currently
2 in the due process phase, and so we're collecting comments
3 right now on what our proposal is.

4 I believe that we've tried to contact industry
5 experts, and AWEA, and others to try and solicit comments
6 from them on the proposal. So mainly looking at the low
7 voltage ride-through from system standpoint and meeting
8 criteria for outages and that sort of stuff. I just wanted
9 to make that comment.

10 MR. POOLE: Ken.

11 MR. DONOHOO: We don't really have anything
12 specific for wind farms on voltage ride-through. We do have
13 some general ones in our reactive standards. We are
14 actually watching the WECC effort right now and the AWEA
15 effort to see how that comes together.

16 So far it has not been a problem. We haven't had
17 a whole lot of faults out in the area to cause it. But
18 again we're monitoring and watching to see what the effect
19 is. We may have to develop one, but we are kind of seeing
20 what is going to happen to WECC and the AWEA effort here.

21 MR. POOLE: Patricia, does CAL ISO have anything
22 specific for wind?

23 MS. ARONS: What the CAL ISO has done is they
24 have taken the interconnection requirements of the three
25 main participating transmission owners and they did so with

1 the intent of creating a single interconnection document.
2 But they haven't really proceeded far enough down that path
3 to get to the issues associated with wind. But I believe
4 that that will eventually be a part of what they see them
5 doing, which is a single interconnection requirements'
6 document.

7 MR. AGARWAL: Some of you said that you do have a
8 reactive standard. Do those standards go beyond plus-minus
9 .95? To the entire panel, some of you said that you do have
10 reactive standards--oh, you don't?

11 MR. DONOHOO: One thing I would like to clarify,
12 on ours we do plus-or-minus .95 but it's at the transmission
13 bus, not at the generation terminals.

14 MR. AGARWAL: Oh, it's the transmission high side
15 of the transformer?

16 MR. DONOHOO: Right. The interconnection to the
17 grid.

18 MR. AGARWAL: Okay. And do you also specify the
19 static versus the dynamic VAR, or is it silent about that?

20 MR. DONOHOO: Right now on generators we assume
21 that they're going to have some dynamic capability
22 available.

23 MR. AGARWAL: Okay.

24 MR. DONOHOO: Now for wind farms, a little bit
25 different nature. It could be a mix of that. We have

1 various options that could provide that capability. We have
2 certain reactive reserve margins that we have to meet in the
3 area. So that's how we address that.

4 MR. AGARWAL: Okay.

5 MS. ARONS: If I could comment on that question.
6 Another thing that WECC is working on right now is a voltage
7 stability methodology that would go in and assess kind of a
8 breakdown between what can be affixed, a switchable type of
9 device, and what has to be dynamic because of the nature of
10 the dynamic voltage performance issues.

11 So they are developing a methodology from which
12 they will eventually develop a performance criteria
13 requirement.

14 MR. POOLE: If I were to put out the question and
15 just let everybody give me an answer, on low voltage ride-
16 through I guess I don't have a good feeling yet. Is the
17 AWEA petition the right format? Do we need it? Do we not
18 need it? Do we need something different? How should we
19 find out those answers?

20 MR. WHITEHEAD: From our viewpoint, to a certain
21 extent that is a characteristic or something that a wind
22 developer could offer, right now could offer to PJM. We
23 don't require it. What form it takes, you know, we don't
24 really have anything to base it on other than what we've
25 seen through the AWEA proposal.

1 So at this point that's the best thing we have to
2 go on. But I think how we look at it right now, it would
3 certainly be a voluntary thing, not a mandatory thing.

4 MR. POOLE: Do you think that that would be then
5 more of a situation of the local area where they're getting
6 the interconnection, what kind of penetration you would
7 have, and the operational characteristics of whether you
8 would require that or not?

9 MR. WHITEHEAD: Well I think as we go forward and
10 as we see how wind starts to develop in the region, in our
11 region, it may become a requirement if we see an area that
12 has a problem. Again, we're looking at some kind of maximum
13 disturbances where you might lose a lot of generation in an
14 area for various reasons, and one of them might be the loss
15 of a lot of wind generation. So I think it might become a
16 standard if we get to that point where we think it's a
17 problem in a certain area.

18 We try to take the approach that we look at the
19 system and we try to determine the needs for the specific
20 areas. Certain areas obviously, you know, need more
21 reactive support than other areas. Certain areas need, you
22 know, other types of support more than others. So we try to
23 take a look at the system and determine the needs based on,
24 you know, sub areas within the system, and then use the
25 right criteria in the sub areas within the system, rather

1 than, you know, than just to sort of apply a standard across
2 the whole system.

3 MR. POOLE: Well PJM covers quite a few
4 Coordinating Councils and NERC. Do you see any efforts in
5 any of those that would be leading to try to come up with
6 some of these specifics?

7 MR. WHITEHEAD: Off the top of my head, I don't
8 see any--no real active--I mean, again, there's been
9 discussion of it. I don't know that there's any real active
10 efforts to determine anything right now.

11 MR. POOLE: No other people have suggestions?

12 MR. LAVERTY: In MISO, in some areas,
13 particularly in the Maine Region, we found the low voltage
14 ride-through to be more of a de facto requirement. You
15 know, you say there's criteria violation, we don't want you
16 tripping off. If you stay on, it's resolved. We could
17 install a FACTS device, or you could put on low voltage
18 ride-through, and the low voltage ride-through makes more
19 sense on the system for economics.

20 So required or not, it's been the best idea in a
21 number of our situations.

22 MR. POOLE: Other comments? Patricia?

23 MS. ARONS: We definitely support the idea of a
24 low voltage ride-through standard. In the example I think
25 that was provided this morning, it is not the situation that

1 Edison faces. That is, that it isn't important in an area
2 where you have a small control area in a tightly coupled
3 system.

4 Our area is a very large geographic area. In
5 fact, all of California is largely under a single control
6 area. And the areas where we have a lot of wind generations
7 are really two main wind generation regimes, and we
8 currently do not have the amount of megawatts connected in
9 those wind regimes that exceed what we call our single
10 largest spinning reserve.

11 But with the projected development of procurement
12 of renewable generation in particular, the potential for
13 4000 megawatts of wind generation in Tehachapi, it's very
14 feasible that we could potentially create a single
15 contingency that could drop that amount of generation
16 because it would all be likely on at the same time when the
17 wind is blowing, and electrically tightly interconnected to
18 the network so the default affecting one generator would
19 likely affect all generators in the Tehachapi area.

20 So the studies that we currently do on our
21 transmission grid, we have a standard where we're not going
22 to trip generation, or we plan our system around a single
23 largest contingency that is no greater than the amount of
24 spinning reserve that you carry on the system. So there is
25 a limit there that has to be met.

1 And until you get into wind regimes where you
2 exceed that spinning reserve, it really is not a
3 requirement. However, you might be at 999 megawatts but
4 that next 1 megawatt comes on that's larger than your
5 spinning reserve and all of a sudden you have a requirement
6 that you haven't met on 999 megawatts and the 1000th
7 megawatt that you have that standard on may not necessarily
8 preserve your system performance as you interconnect
9 additional wind generation as time goes by.

10 So I think to me I believe it's a standard that
11 should be applied to all generators at the outset.

12 MR. POOLE: Wayne, did you have a comment?

13 MR. HAIDLE: The only thing that comes to my mind
14 here is sometimes whole area of depression can be a
15 transient stability issue which can be far from the source
16 of his turbines itself and may not even be fault-related on
17 an AC grid.

18 In the case of North Dakota, maybe it's not MDU's
19 transmission but two DC lines leaving the state going to
20 Minnesota, the larger of which trips a large coal-fired
21 plant. Even so, the way that is designed is to allow the DC
22 to restart. However, if it fails to restart, there's been
23 an awful lot of inertia on the system in the meantime in a
24 short, you know, 280 milliseconds.

25 So consequently, all the power trying to move out

1 of the area is going across the remaining AC grid, and the
2 transient undervoltages occur far from the DC--or the
3 station which it was tripped.

4 And incidentally, if where that transient
5 undervoltage occurs happens to be right in the prime area of
6 wind development, or desired development, if there was lots,
7 hundreds, thousands, whatever, megawatts in that area which
8 tripped off as a result, well now you've lost not only a
9 huge coal plant, you've also lost hundreds, whatever, of
10 megawatts of generation otherwise.

11 So now you suddenly have perhaps thousands of
12 megawatts' deficiency on the grid. Hopefully it won't
13 cascade any further. So, anyway--and if it does have
14 voltage support, and it's going to hold that transient
15 voltage, undervoltage up, I mean if the wind farm does, so
16 it would be strictly a benefit to keep it on in
17 circumstances like that.

18 However, there might be cases where you want to
19 trip it off if it was causing thermal overloads and things
20 of that sort. So it depends on the situation. And it
21 doesn't necessarily pertain to the voltage class, either.
22 Every situation is unique.

23 MR. POOLE: Would you get all that out of your
24 studies? Would you have to do enough studies of all
25 different contingencies to figure out whether you would want

1 it or not?

2 MR. HAIDLE: Yeah, there's quite an extensive
3 fault library, disturbance library, up in northern MAPP and
4 coordinated between North Dakota, Manitoba, and Minnesota.
5 The Minnesota-Wisconsin interface is also involved. And
6 that's, if I recall correctly, and Ron Major from Manitoba
7 is in the room and he can probably correct me if I'm wrong,
8 but it seems to me that that is limited by small signal
9 instability. So there's all kinds of damping issues. In
10 northern Minnesota there's SVCs that I think has recently
11 been retuned for small signal instability.

12 So the amount of studies that go on in the
13 operating review working groups are extensive to keep the
14 system in a reliable state. And sometimes there's numerous
15 operating guides that come out on a weekly basis which are
16 dealt with by the area utilities, and it sometimes takes the
17 joint efforts of the area utilities, because the security
18 center may not have all the vital facts to decide how things
19 are going to behave on certain equipment for certain prior
20 outages and that sort of thing.

21 So there's a great deal of expertise retained in
22 the field, so it's very important that we work together on
23 these things. And if proliferation of wind farms--I mean if
24 we get run over, steamrolled, I'm just afraid of what's
25 going to fall out of it. It needs to be looked at very

1 carefully.

2 MR. POOLE: Bill?

3 MR. WHITEHEAD: Just to expand a little bit. I
4 think obviously when we do planning studies, and we're doing
5 planning studies five years out, you know we have the
6 benefit of being able to sort of create the perfect world.
7 So the planning studies, particularly where voltages and
8 reactive are concerned may not be the best measure of how
9 much reactive you need on a particular day.

10 You know, you go to an operating day and certain
11 units are out of service, or certain conditions exist on the
12 system, they have to deal with the conditions that exist on
13 that particular day.

14 So I think what we're wrestling with and, you
15 know, what I think are one of the reasons that we prefer a
16 range of power factor requirement rather than any specific
17 power factor requirement is that on a particular day you may
18 need additional reactive, or you may need actually someone
19 to absorb reactive because you have high voltages on the
20 system. So the concept of a range of power factors, or some
21 of the other concepts we talked about this morning, I think
22 it's not necessarily that it's on a particular--you know,
23 that you need a particular power factor, but you need the
24 ability to operate over a range of power factors to take
25 into account things that happen on a day-to-day basis.

1 So I think that is the difference between. You
2 know, we can certainly create a single power factor for a
3 planning study, but from the standpoint of integrating that
4 with real-time operations that may not be the best way to
5 integrate it with real-time operations.

6 MR. POOLE: Mike, when AWEA was developing their
7 petition, a gentleman said you mainly took it from a German
8 standard, or pretty close to a German standard. Could you
9 explain the rationale for why that was done?

10 MR. JACOBS: Sure. First, let me explain that
11 the standard we looked at from the various overseas wind
12 development areas, or grids for that matter, is the low
13 voltage ride-through standard.

14 What we were seeking to do was, to a large
15 extent, provide some stability to the manufacturing sector
16 in our industry so that if they were trying to meet an
17 existing standard that it would be useful in other markets.

18 In particular, the German E.ON, E.ON standard, is
19 one utility standard that's being adopted across the
20 European Union. So this was a large market, and it was
21 something we looked at and considered other alternatives but
22 this seemed to satisfy the various requirements that we had
23 both for the sort of international standardization but also
24 for the, you know, finding something that could feasibly be
25 done but with emerging technology and would be a great

1 contribution to the grid requirements that people have been
2 describing here.

3 But let me just follow up. It was a little bit
4 unclear actually from what Bill just said about a single
5 point of reactive, or a range. What I understand we're
6 talking about is an upper limit of leading and lagging, and
7 in between those limits we would operate, that we wouldn't
8 be stuck or rigid at a single point. Perhaps I misspeak.

9 MR. AGARWAL: As I understand your proposal, you
10 are saying you want a standard for low voltage ride-through
11 capability, but at the same time you're saying that it
12 should be studied in every single case. So is that really a
13 standard?

14 MR. JACOBS: Well that is a reasonable question.
15 What we are trying to establish is a presumptive level that
16 our manufacturers can build to.

17 If the utility can demonstrate that something
18 beyond that is required, that is going to become a special
19 case that would be outside what the manufacturer would have
20 ready and available.

21 We aren't trying to limit the utility's ability
22 to make that finding, or make that requirement; only that we
23 shift the burden to them to demonstrate that there is such a
24 need.

25 MR. AGARWAL: Well let's say there are ten wind

1 projects that were allowed to get installed without any low
2 voltage ride-through capability, and we go all the way up to
3 999 megawatt and then we hit the last 1 megawatt as in
4 Patricia's example, and lo and behold it becomes a
5 contingency and the spinning reserve isn't enough on the
6 system to carry the loss of that 1000 megawatts. So there
7 are only two ways to do it.

8 Either we go back and require all of them to
9 install a low voltage ride-through capability, or carry some
10 kind of backup generation or reserve. So which solution
11 would work better?

12 MR. JACOBS: I would prefer that we try to answer
13 that in writing after I confer with the members, because the
14 question you asked essentially asks us sort of between the
15 first round of installations and the second round of
16 installations, and you can imagine for our members that
17 would be a contentious point.

18 MR. LEHMAN: One thought that you should keep in
19 mind is that part of the reason why the system is able
20 to--potentially able to add a resource without the need for
21 a certain performance characteristic as I understand the
22 proposal is asking studies to determine whether those
23 performance characteristics are needed.

24 One of the reasons that you might find that today
25 you don't need that is because of the standards being met

1 for a series of resources being added over the years. And
2 so a given resource added today may be able to piggyback on
3 all those standards being met by all of the resources that
4 preceded them. And to exempt that one and let them utilize
5 the capability of the system is probably not a wise thing to
6 do because we know that down the road, even though there may
7 not be a need for it today, it will be needed.

8 MR. AGARWAL: Thank you.

9 MR. JACOBS: If I could ask for a little bit of
10 clarification, there's a certain element, at least in the
11 areas I'm familiar with, where the study sets the
12 interconnection requirement for that generator and
13 conditions changing after that point are not brought back to
14 the generators that have already passed through their
15 interconnection process.

16 Conditions always will change on the system, and
17 all of this is a forecast of future needs, but there is a
18 different allocation of costs when conditions change after
19 the interconnection.

20 MR. AGARWAL: You're asking me a question?

21 MR. JACOBS: I'm sorry, I guess I was responding
22 to the man from Xcel.

23 MR. AGARWAL: Actually, I think he clarified your
24 question already that somehow the newer generators can
25 piggyback because there's excess reserve. So the first few

1 ones can piggyback on the existing systems. We have to
2 ensure that the new ones that would come would meet their
3 fair share.

4 MR. JACOBS: And one thing is that's always the
5 case in the interconnection queue, that the consumption of
6 thermal capacity is consumed by the people who come first,
7 and it is never assigned--a cost for upgrade of transmission
8 capacity is never assigned to the parties who have already
9 interconnected just because conditions change later and more
10 capacity is needed either for new generation or a new load.

11 MR. AGARWAL: I guess your answer is probably to
12 the terminal capacity and our answer is more to the voltage
13 and the N minus 1 contingency.

14 MR. JACOBS: Right. The N minus 1 is something
15 different. I mean when you do interconnection studies, when
16 you do the voltage as part of the interconnection study
17 along with thermal, my understanding is the idea of the
18 queue is to allocate the costs in some sequence. So you
19 normally through the queue process manage this problem of
20 who comes first, and those who come later may have a
21 different set of costs because the conditions are different.

22 MR. AGARWAL: I guess that's why we are here to
23 discuss this and find ways to do that.

24 MR. POOLE: Ken?

25 MR. DONOHOO: I think another option here is you

1 may have 1000 megawatts there that doesn't have low voltage
2 ride-through capability. You could put a stat COM or some
3 type of dynamic device to keep them on line during that
4 voltage event. That's another options.

5 These are all options that we deal with every
6 day. This is part of planning. This is part of analysis.
7 They key is how do you allocate the costs, and who pays?
8 There are technical solutions for all of these problems, and
9 that is just the planning environment. And it is constantly
10 changing. It will never be static. And that is the
11 environment we are in today, and we have been in for many
12 years.

13 MR. JACOBS: And, Ken, can you clarify? Is that
14 special to wind, or is that the circumstances we all face?

15 MR. DONOHOO: It could be for other generators,
16 also. Right now we're looking at it for wind. We've got
17 some statCOMs in other places around the grid that maintain
18 voltage for other reasons. So that's just part of the
19 planning environment, and the studies we do, and the
20 technical options we have available to solve those issues.

21 MR. LAVERTY: You know, I'd like to kind of echo
22 something Bill said earlier, and Paul said just a few
23 minutes ago, and maybe put it a little more explicitly than
24 has been done.

25 When we do these studies which are supposed to

1 determine the need for this requirement, we're looking at
2 two, three, maybe four snapshots in time, specific snapshots
3 in time, over the next say five-year period. And these
4 facilities are being installed with, what, a 20-, 30-, 40-
5 year life span.

6 So to say well you didn't need it in these three
7 specific instances, which we do try to look at the worst
8 cases but that's not an exhaustive list of cases, and when
9 you get into an off-peak day with some maintenance outages,
10 you know, yeah, you're checking the thermal capability and
11 you redispatch accordingly, but you can monitor that in a
12 steady-state type study in real-time. It's a lot more
13 involved to go in and look at the transient voltage response
14 of each generator for every possible fault under that
15 specific set of conditions for the upcoming day, or half
16 day, or what have you. So I just wanted to make that
17 statement with regards to this.

18 MR. ROONEY: But that's for synchronous and
19 nonsynchronous, as well, isn't it?

20 MR. LAVERTY: Oh, true, true.

21 MR. ROONEY: I mean that's not just wind--

22 MR. LAVERTY: Right.

23 MR. ROONEY: --or any other set or types of
24 generation.

25 MR. LAVERTY: Right, and that's--yes, exactly.

1 MR. POOLE: Here's a general question. If we
2 require that the low voltage ride-through characteristics
3 that are in the AWEA proposal must be able to be met by all
4 equipment, and then we provide though that the transmission
5 provider as a result of the studies will identify whether
6 you use it or not in the local area, would that be an
7 onerous position?

8 MR. JACOBS: I can't really speak for the members
9 on this kind of thing at this point. In some sense, you
10 know, we had to go through quite a bit to come to this point
11 and I need to go back to really give you an answer.

12 MR. WHITEHEAD: I think that is one of the things
13 that we typically do now in many other studies, is we
14 determine what the system needs are, and I think that's one
15 of the bases of IEEE, the IEEE 1547 Standard is there's kind
16 of a standard package of things that gets applied, and you
17 may not need every single one of them, but it's a standard
18 package every time. So from the manufacturer's standpoint,
19 you know, it's more standard so therefore it's cheaper to
20 produce.

21 We will through the studies determine what needs
22 to be used out of that package. So I think it's similar to
23 that. I mean I think it's a similar kind of thing. You
24 know, that's kind of what the whole purpose of the
25 interconnection studies is is to determine the needs.

1 MR. POOLE: Further comments? I saw Jack shaking
2 his head back there. Am I getting it all wrong?

3 MR. HOCHHEIMER: Well these things are going to
4 cost extra if you order them, because they're add-ons.

5 MR. POOLE: Can you give us an idea of what kind
6 of dollars we're talking about?

7 MR. HOCHHEIMER: I'm sorry, I don't have a
8 current price proposal in front of me, and they do change
9 frequently. I guess if we wanted to put Vestas or GE on the
10 spot, maybe they could give us some price quotes, but
11 they're fairly expensive. I mean it's not a trivial couple
12 of thousand bucks per turbine. On a new turbine, it's
13 probably \$15,000, plus an extra cost per park, per wind
14 park. So on a large project, you're talking several million
15 dollars.

16 MR. SAYLORS: The question was asked in the
17 morning about maybe a 100 megawatt farm. You're going to
18 need about plus or minus sixty megaVAR capacity there, so
19 you're talking about \$3 million for a one-project solution.
20 Those are the kinds of dollars you're talking about. So
21 when we say it's not trivial dollars we're talking about--
22 and again, this is a very large impact on the overall cost
23 of the project.

24 For a hundred megawatts, it's roughly a million
25 dollars per megawatt installed, so there's a hundred

1 megawatts to put in three, four million dollars, it's
2 getting to be a significant percentage of the overall cost
3 of the project.

4 MR. POOLE: But again, if we're looking to the
5 future and we know that there's going to be a lot more wind
6 coming on, do we need to go ahead and set the standard?

7 MR. QUIST: I'm Craig Quist, again. A comment
8 was made that jeeze, if we don't put the low voltage ride-
9 through standard into a turbine that we can come along later
10 on and put in a statCOM and fix it. That won't happen.

11 That won't fix it. Studies we've done and Public
12 Service of New Mexico did indicated that if there's a
13 problem with low voltage ride-through tripping a turbine,
14 that the only way you're going to fix that is to go fix the
15 turbine problem; that we've gone in with our technical
16 studies and put in large statCOMs and they're still going to
17 trip.

18 So you've got to go in and you've got to fix the
19 problem at the turbine if you want that problem to go away.
20 You can't just go put a bandaid on it later on. It's not
21 that easy. This is very complex, very technical. We've
22 seen them go off in studies, and we talked to Public Service
23 New Mexico about they saw the exact thing in their studies.

24 MR. ROONEY: Are you saying, is that for
25 retrofitting existing?

1 MR. QUIST: No, what we're saying is that if--
2 it's fine if you have existing turbines and you can retrofit
3 them with a low voltage ride-through, great, you're fixing
4 it in the turbine. But if you turn a blind eye to fixing it
5 at the turbine and think you can come on later on and put a
6 statCOM device someplace in your system to stop these low-
7 voltage depressions, we've seen many situations where that
8 will not stop the tripping; that you actually had to go back
9 in and fix the problem at the turbine.

10 They saw this at Tieband Mesa in New Mexico, that
11 it was so bad that they had to bring GE back in and they had
12 to fix the problem. We've seen it in Wyoming.

13 MR. SAYLORS: Just adding the low voltage ride-
14 through package may not solve your problem. Adding the
15 statCOM may not solve it. It may be a combination of the
16 two. Certainly a combination of the two can reduce the size
17 of the reactive solution here, a statCOM on the SVC to the
18 point where it may become much more economically justifiable
19 for the project to move ahead then.

20 MR. POURBEIK: Pouyan Pourbeik, ABB. To comment
21 on both what Craig and Steve said, we studied both those
22 cases. The issue with Tieband Mesa was you're talking about
23 the doubly fed units. There the issue with low voltage
24 ride-through is protecting the power electronics on the
25 converters. You cannot protect power electronics with

1 statCOM and SVC. You have to make turbine control
2 modifications.

3 With technologies like conventional induction
4 generators, the issue again, the physics behind that, is not
5 allowing the unit to go beyond this breakdown. So it is a
6 combination of low voltage ride-through and dynamic VARs.
7 So you need the combination of two sometimes. Sometimes one
8 is enough. Sometimes you need both. It depends on the
9 weakness of the system.

10 So I agree with Craig that you can't go backwards
11 in time and fix the problem. And I also agree with Steve
12 that it's not just one or the other; it's sometimes a
13 combination of both.

14 MR. MILLER: I'll try and mention the other
15 manufacturer in the room. Jack's right. It's extra cost.
16 From the perspective of a manufacturer, we would like to see
17 a level playing field and not a proliferation of different
18 offerings in different markets. That drives the net cost
19 down. It's very unlikely that adopting this standard will
20 result in turbines that end up in exactly the same price
21 level as if we didn't have it, but you can bet, speaking for
22 GE, that the difference in price between having it and not
23 having it when we have two model winds will be noticeable
24 and somewhat painful.

25 I guess the flip side of this, too, is that one

1 of the things that we're talking about is the floor of this
2 low voltage ride-through requirement. That came out from
3 lots of work in Europe on E.ON, a lot of head-banging
4 together with all the manufacturers on the Continent to set
5 a floor below which becomes a real steep curve.

6 We, GE, are not particularly enthused about the
7 notion of having the standard get ratcheted to something
8 even tighter, which is 'you shall not trip no matter what we
9 do on the transmission system, including a voltage fault at
10 the point of interconnection.'

11 That last little bit is a doozy, and this comes
12 back to an earlier point about comparing alternatives. You
13 can reduce the level of impact by putting the standard as
14 recommended by AWEA so that way down the road with high
15 penetration the area impacted by a single event is
16 tolerated. So there is a bit of compromise going on here.

17 I guess the only other point I wanted to make,
18 too, is one I made earlier: Don't lose sight of the fact
19 that in many of these applications the dynamic performance
20 is better from these nasty faults than it is for the
21 generation that you've got now.

22 So, yes, maybe not quite so good for these
23 faults, but better for other aspects. So let's have a
24 little flexibility.

25 MR. POOLE: Are there other comments?

1 MR. WHITEHEAD: Just to clarify my earlier
2 comment. The Appendix G, the proposed language in the
3 Appendix G that's attached to this request for rule making
4 says nonsynchronous wind generators shall demonstrate the
5 ability to remain online during normal nominal voltage
6 disturbances. So I was just taking from that language that
7 the proposal was to require everything going forward to have
8 the low voltage ride-through capability.

9 And again from our standpoint, from the
10 standpoint of the transmission provider, we will do as we do
11 with all other interconnections. We will determine what is
12 necessary to make the system reliable. And if that is
13 necessary, you know, we can certainly indicate that it's
14 necessary. Again, I was just reacting to what was proposed
15 in the standard, which is 'it shall demonstrate the
16 ability'.

17 But, you know, that's not unlike what they did
18 with the IEEE 1547 Standard.

19 MR. POOLE: Are there any other questions for the
20 panel on the details of this, or something else?

21 MR. DENNIS: Bruce, I don't know--this is the
22 lawyer who is going to ask sort of an engineering question--

23 MR. POOLE: There are no dumb questions here.

24 (Laughter.)

25 MR. DENNIS: We heard a lot this morning about

1 low voltage ride-through perhaps being more harmful than
2 good in certain situations. I think distribution level was
3 one of them.

4 I don't know if MISO or PJM or even ERCOT can
5 maybe just address that a little bit. I think that it would
6 just be another perspective on that. I don't know, and I
7 can't say off the top of my head how much distribution level
8 is under your control, even.

9 MR. LAVERTY: We've had applications in our queue
10 of the 115 total wind requests that we've had over the last
11 three years, we've had from less than a megawatt on the
12 distribution system up to the 300 or so on the transmission,
13 and I would tend to agree with the comments this morning
14 that at times low voltage ride-through is not desirable if
15 it's down there.

16 And, you know, getting to the comment I made
17 earlier about size and location with the interconnection
18 requirements, if you've got a single turbine being located
19 down on the distribution system, I don't really see a need
20 to do transient stability studies on that, especially if
21 you're on a radial distribution system, because the fault
22 that it's going to trip off for is probably going to knock
23 off the whole distribution feeder.

24 So I would tend to say that, yeah, I agree with
25 the comments this morning.

1 MR. WHITEHEAD: I will also agree with that, that
2 the needs on the transmission system are much different than
3 the needs on the distribution system, and particularly where
4 you have a unit connected to radial distribution, the
5 likelihood of it--you know, the possibility of it staying
6 online may actually be worse than having it, you know, trip
7 off and then put the system back. So I think I would agree
8 with that.

9 And it is a much different situation than the
10 transmission system.

11 MR. CALDWELL: Let me just make the comment that
12 we're not talking about a reliability problem here. Just
13 because you have low voltage ride-through capability doesn't
14 mean that you actually have to use it. You can certainly
15 set your voltage trips wherever they needed to be for the
16 particular circumstances.

17 So the issue is, there are many circumstances
18 where it is not a reliability question but where that extra
19 cost to the extent there is an extra cost for the low
20 voltage ride-through, it doesn't make any sense to have
21 incurred that cost. That may be very well one of the places
22 where you may want to set some of the turbines that are in
23 inventory now that don't have that capability and then not
24 have either any economic or reliability impact. But it's an
25 economic question; it's not a reliability question from that

1 standpoint.

2 MR. POOLE: Can some of the other panel members
3 address that same question?

4 MR. DONOHOO: The one thing I think I agree with
5 everybody else here, distribution is a completely different
6 environment. It's also a much smaller level of generation
7 than what we're dealing with with transmission
8 interconnections, much smaller. So it tends to be more
9 diverse. It is radial in nature. That's the big factor
10 there; it's a different environment.

11 I also agree with Jim. We've got it there. Set
12 a standard. We can always turn it off or change it. Again,
13 it's more studies, more environment.

14 I also agree, we don't have to do training
15 stability studies for a one megawatt wind turbine connected
16 up to distribution. It's not going to make a big factor.
17 So again, we tend to look in ERCOT about the 20 MVA level is
18 where we start considering stability effects. But most
19 distribution is usually 10 megawatts or less because that's
20 about all that a distribution feeder can handle.

21 MS. ARONS: I'm not entirely convinced that it's
22 a real problem that's being identified. On a radial
23 distribution circuit where you have a fault, it's hard to
24 imagine that you can have a wind generator down the line
25 with a load where it's not going to see very, very low

1 voltage. So I think that your floor is going to be violated
2 in that situation, but as Jim pointed out if you can disable
3 that low voltage ride-through capability in that particular
4 instance, I wouldn't have a problem with that.

5 The problem is that when you get a lot of wind
6 generators in a single regime where you don't get a--you
7 can't discriminate between what's on a distribution circuit
8 versus what's on a transmission because all of a sudden
9 you're going to drive everybody to a desired distribution
10 interconnection. So I think you've got to have some kind of
11 a rationale on how you're going to coordinate this standard.
12 Because a distribution circuit is not really going to
13 distinguish between a fault on a 66 that caused a low
14 voltage condition versus a fault on a distribution circuit
15 that maybe caused the same low voltage problem, but if those
16 turbines are in the same wind regime and that's a very large
17 wind regime, they really all--you know, you've got to find a
18 way of coordinating that problem.

19 My thinking is that because you have so many
20 developers that have an incentive to develop large wind
21 parks, that if they're going into like the Tehachapi area
22 you're not going to give them a distribution connection; you
23 make them go to a higher voltage connection, and that's the
24 way that you can manage that particular problem. You don't
25 allow a 12 kV or a distribution feeder circuit when you're

1 in a very large wind regime because they're trying to avoid
2 the expense and cost of meeting a distribution ride-through,
3 or the low voltage ride-through standard.

4 So I think there's common sense. But as an
5 isolated turbine out at the end of a distribution circuit,
6 I'm not sure that I can see it as a real problem.

7 MR. SAYLORS: I would just say that these low
8 voltage options are that, just options, and they are
9 something you have to order with the turbine because we put
10 in things, like I said this morning, at UPS we harden the
11 rotor converter system and that sort of thing.

12 So the standard machine will be designed to set
13 up for it, but it will take the customer to order these as
14 optional. So they won't come--every one of them is not
15 going to come with the low voltage option already. So it's
16 not something you will turn off necessarily here. You will
17 order it when you need it.

18 We think that most likely the large part of the
19 market will--large connections to the bulk system here is
20 definitely going to embrace the concept.

21 MR. ROONEY: Just to make sure I understand,
22 then, if you have a wind project with a low voltage
23 capability, that's less of a problem on both transmission
24 and distribution? Does everybody agree with that, or
25 disagree?

1 MR. JACOBS: No, I think if it's on a radial
2 feeder you don't want to have that low voltage ride-through
3 active and working if the line is tripped. You would have
4 islanding.

5 MR. ROONEY: No, I understand. All I'm saying is
6 if you had that option. You don't have to turn it on, but
7 if you have that option. That was my question.

8 MR. JACOBS: You wouldn't want to pay for it if
9 you were never going to use it.

10 MR. POOLE: You can't have it both ways.

11 (Laughter.)

12 MR. SAYLORS: You have to pay for the option when
13 you purchase the turbine. That's the point.

14 MR. MATTHEWS: I wanted just to mention and
15 reiterate the islanding. If they're online and with load
16 with enough capacitors, you get this self-excitation
17 problem. So there could be other issues on the distribution
18 system that you need to worry about.

19 MR. JACOBS: Bruce, I have to follow through
20 because I'm not sure we're talking about the same thing now.
21 When we talk about a standard for low voltage ride-through
22 and we talk about feeders, we would not be installing
23 equipment that we knew (a) was never going to be used; and
24 (b) if it were used would create a safety problem.

25 So I think the idea the standard is there doesn't

1 mean it's going to be installed.

2 MR. POOLE: I guess what I was understanding--and
3 maybe I misunderstood--was that we were looking for a
4 standard for the manufacturers, and that if we said you're
5 going to be on a transmission system at a certain voltage,
6 each machine has to be able to do this. You can turn it off
7 or turn it on, but it has to be designed to do this. And
8 that would mean that they all have to be made that way.

9 MR. JACOBS: And I'm not contesting that.

10 MR. POOLE: Okay. But that's where the money
11 then would come in, right, at the manufacturers? And that
12 would be priced down to the people who buy the machines?

13 MR. JACOBS: Where we ran into each other was
14 with lower--

15 MR. POOLE: I'm not saying that you would have to
16 use it. You know, you would turn it off on the distribution
17 machine, okay, if you don't want it to do that.

18 MR. SAYLORS: You could order the optional
19 package.

20 MR. POOLE: Okay. Okay.

21 MR. POOLE: Patricia? And we are being webcast,
22 so please try to use the microphones.

23 MR. KELLY: So if you speak from the audience and
24 you think you can be heard, unless you speak real loud they
25 won't hear you in Oregon.

1 (Laughter.)

2 MS. ARONS: We have a distribution system in
3 Tehachapi, and we have some small wind parks that are
4 connected to distribution voltage levels. The majority of
5 the wind parks in Tehachapi are connected at what we call
6 sub transmission voltages, 66 kV.

7 A 66 kV fault that would affect that entire area,
8 both the 66 kV connected as well as the 12 kV connected, if
9 you don't have low voltage ride-through all of the machines
10 in that area, irrespective of how they're connected, could
11 potentially be simultaneously lost without low voltage ride-
12 through.

13 If you say, well, if you want to connect up to a
14 distribution voltage and you won't have to buy low voltage
15 ride-through capability, all of a sudden in Tehachapi you've
16 created a stampede for connection and distribution, yet the
17 entire area is subject to potential low voltage problems.

18 So you have to be very thoughtful in how you
19 create the standard so that you're not creating an incentive
20 to connect at one voltage or another, but you recognize that
21 there are wind regimes, and there are large wind parks, and
22 there are small wind parks, and that a single uniform
23 standard may not necessarily apply in all instances.

24 I happen to think that you can avoid and set up a
25 distribution circuit in such a way that you are not

1 isolating customer load with distribution connected wind
2 generators. You try to avoid that co-mingling of customer
3 and wind turbine.

4 Distribution circuits tend to be relatively
5 shorter than transmission lines, so you might be able to
6 require a connection back to a sub station and then require
7 that wind turbine to have low voltage ride-through
8 capability. But, you know, just be thoughtful in terms of
9 how you set up this standard, because what is required as a
10 result could potentially create a movement or a desire to
11 avoid costs, and I think that is an undesired outcome, as
12 well.

13 MR. POOLE: I guess I would think that that would
14 be caught by these studies that the transmission provider
15 would do, and so they would do those and if they need it
16 they would have it; if they don't want it, they could not
17 have it. Is that right?

18 MS. ARONS: Yes.

19 MR. KELLY: Earlier, Ken Donohoo, you made the
20 point that your requirement for the dynamic reactive power
21 capability plus or minus .95 was imposed at the point of
22 interconnection but not for each generator, and that's a
23 distinction I didn't make in my mind during the discussions
24 this morning where some people said you ought to have a
25 requirement, you ought not have a requirement. I was just

1 wondering if, first of all, Ken, if you had anything to add
2 to that to elaborate. But then if other panelists found
3 that would be adequate for their needs on the one hand, or
4 on the other hand still too onerous if it increases your
5 investment cost?

6 MR. DONOHOO: And where that .95 of the
7 transmission level came out from was originally we had a
8 requirement at the generator terminals. We had people
9 putting in very low-cost transformers. It actually took
10 more reactive to serve the plant, and this was not a wind
11 farm, this was actually a regular plant. So that's when we
12 brought it forward to the transmission interconnection point
13 rather than the plant.

14 He can do anything he wants behind the
15 transmission interconnection point, but he's got to meet
16 that requirement. And if the requirement was at the
17 generation terminals, there were some cases where we
18 wouldn't have .95 at all. In some cases we wouldn't have
19 .98 even because of what he put in in between, or even the
20 load that might be connected to his auxiliary bus. So
21 that's why we put it back.

22 We really don't care what he does behind the
23 scenes, or behind the interconnection; it's now at the
24 transmission level that we measure that .95.

25 MR. KELLY: Thank you. And I was wondering if

1 that was a standard that others would find a nice
2 compromise, or if there are still objections to that
3 approach for both sides. Comments from anybody who cares
4 to.

5 MR. LAVERTY: Our requirements before Order 2003
6 were .9 lagging to .95 leading at the generator terminals,
7 and we worked with the wind developers to the extent we
8 could because that wasn't always possible.

9 In the 2003 stakeholder process, at one of the
10 meetings, we sat down with pencil and paper and drew out the
11 circuit, and said, look, if we require .9 lagging at the
12 generator terminals, with some standard-size GSUs that we'd
13 seen, does it really make a difference to requiring .95
14 lagging at the point of interconnection?

15 And we found that -- not to be glib here, but
16 close enough. And we said, okay, we said in our filing,
17 unless the transmission owner has a consistently-applied
18 criteria that's more stringent, we would accept that. We
19 thought it worked well.

20 MS. ARONS: Edison has gone through something
21 similar, historically, over the last 20 years. In fact,
22 there was a point in time that we had a great deal of fear
23 of self-excitation, and what that would do to customer load,
24 so we were limiting installation of switchable capacitors
25 within the wind park to no-load requirements.

1 And what we concluded over the years is that it's
2 really a better standard to establish it at the point of
3 connection to the utility, because then it imposes
4 responsibility on the wind developer to look at the
5 efficiency of how they distribute their power codes within
6 their collector system.

7 So they can do loss compensation; they can study
8 how their voltage profiles -- they can do what they need to
9 do to avoid the risks of self-excitation on the equipment,
10 and we found it works good enough. At one point in time, we
11 had a standard that was applied to the terminals; now we are
12 simply focused on the point of interconnection.

13 I think that we've seen developers become much
14 more sophisticated about how they manage their VAR resources
15 within their wind park, and so I think today we see it
16 working out pretty well.

17 MR. WHITEHEAD: We apply everything at the point
18 of interconnection, as well, all the requirements at the
19 point of interconnection, again, so that regardless of wind
20 or any other type of generation -- and essentially that lets
21 the developer of the project to do what they need to behind
22 the point of interconnection to make their system work for
23 them, things like the auxiliary equipment, you know, what
24 they do with the auxiliary equipment and how they power the
25 auxiliary equipment and everything.

1 So, you know, we use the point of
2 interconnection.

3 MR. POOLE: Nick?

4 MR. MILLER: Nick Miller, GE. We also agree with
5 this point of interconnection. It's functional, drives the
6 ability to do things within the plant.

7 There is one nuance that I made reference to in
8 my handout this morning that I want to bring up, because I
9 didn't say it very well.

10 And that is, we worry, as designers of wind farms
11 and builders of equipment, about what we refer to as the
12 corners. Interconnection normally requires the ability of
13 your power plant to operate anywhere between, say, plus or
14 minus five percent voltage as your normal on your grid at
15 the point of interconnection.

16 Also, if you overlay that with plus or minus .95
17 power factor, you get to a condition, if you are strictly
18 interpreting the requirement, to say the wind farm must be
19 able to deliver .95 over-excited, into the grid when the
20 voltage is high.

21 And that creates a real problem on the collection
22 system and on the individual machines. It's crazy; it's not
23 something that is good for the grid or good for operations,
24 but it's a nuance that needs to be, if we're going to adopt
25 this standard as something that's cast in concrete, we've

1 got to cut those corners off. Both delivery VARs to very
2 high-voltage condition, and consuming VARs at very low
3 voltage condition, aren't good for anybody and they could
4 drive lots of costs to no one's benefit.

5 So, it's not a box; it's a box with the corners
6 cut off.

7 MR. JACOBS: Nick, can you put that in writing,
8 so that it gets filed?

9 MR. MILLER: That it's a box with the corners cut
10 off?

11 (Laughter.)

12 MR. JACOBS: Only you know what you said.

13 MR. POOLE: Do others have questions?

14 MR. HINRICHS: Yes. I'd just like to get some
15 comments on the notion between one large farm and many
16 smaller ones that are all proximate, and how some of the
17 dynamics of that work. Patricia, this might be something
18 that relates to the experiences Tehachapi, but it's open to
19 anyone. MS. ARONS: I'm not sure I completely understand
20 your question. Are you thinking that there's something
21 particular about how we plan the transmission system?

22 MR. HINRICHS: Yes, and also some of the
23 operational challenges and design challenges that might come
24 up when one looks at either many small farms that are
25 proximate, or one large one, and the notion that I'm

1 thinking about is how it relates to how we look at large
2 farms and small farms.

3 MR. DENNIS: Proximate but separate?

4 MR. HINRICHS: Yes.

5 MR. DENNIS: But separately interconnected?

6 MR. HINRICHS: Yes.

7 MR. DENNIS: Okay.

8 MR. HINRICHS: Close in location and close within
9 the topology of the grid, but not the same.

10 MS. ARONS: I guess that the one comment I would
11 make is, when you're dealing with multiple wind parks and
12 the same wind machine and connected electrically very close
13 to each other, as is the case for us in Tehachapi, it is
14 really hard to find the bad actor when you have a problem.

15 And it is really hard to find what the nature of
16 the problem is that you're having. We have gone through,
17 over the years, experiences with under-voltage conditions
18 where customers get tripped, wind parks get tripped, and
19 diagnosing and finding the deficiencies, whether it's a VAR
20 deficiency or someone has gone in and done a re-power and
21 improved the performance, but created a more heavily loaded
22 condition, those things are very hard to find.

23 So, I think that having clear standards and
24 consistent standards that don't change according to the next
25 study that you do, because we are continually processing

1 generation interconnections, and to have a whole set of
2 requirements that are then imposed on the next
3 interconnection that may not have gotten imposed on the
4 prior connection or re-power or whatever configuration
5 change you're dealing with, and Tehachapi becomes a real
6 moving target in managing a continually reliable, solidly
7 performing system.

8 And if you have a single large wind park, it's a
9 lot easier to go in and diagnose what's happening there.
10 But we have so many wind park interconnections in Tehachapi
11 that we don't know exactly what a particular line is loading
12 at, or what a low-voltage condition may have been or where
13 it occurred, and we operate blind and we rely very heavily
14 on our studies.

15 And we have programs where we go in, and we
16 verify that there are sufficient VARs installed. There was
17 a period of time where we saw that capacitors weren't being
18 maintained and were allowed to degrade, and so there were
19 problems that cropped up.

20 And so it is like -- it's just a continual,
21 ongoing moving target, and the more participants you have in
22 the problem, the more difficult it is to manage and maintain
23 problems when they do come up. That would be the comment I
24 would have in that respect.

25 MR. JACOBS: If I could add, I'm only somewhat

1 familiar with the Tehachapi region, and part of the problem,
2 I think, stems from our continuing issue about generator
3 models. I know there's a range of generator technology in
4 the Tehachapi area, and this contributes to this particular
5 issue.

6 It's just an example of how we have another
7 variable, and our proposal here today is aiming to try to
8 straighten that one out, too.

9 MS. MCKINLEY: I have a question, and that has to
10 do with this concept of relative size of large and small.
11 Ed Torrero gave an example this morning of a small coop
12 being asked to interconnect a fairly large wind project, and
13 that being overwhelming for that entity.

14 And on the other hand, we have SoCal Edison,
15 which has some distribution lines that are actually pretty
16 huge compared to other distribution systems. So, FERC is in
17 the position, I think, of having to make some decisions
18 about what is relatively large and small.

19 Do we have -- are there any recommendations for
20 you, from the panelists, on how FERC should relegate that
21 size differential, or are there any guidelines on what is
22 relatively large and small in terms of entities
23 interconnecting?

24 MR. WHITEHEAD: Well, in our tariff, we
25 differentiate based on what was in Order 2003-A, where

1 essentially small is less than 20 and large is bigger than
2 20. The size on the distribution system, for the most part,
3 tends to take care of itself in the study process, because
4 if the project is too big for the size of the distribution,
5 then it just doesn't fit, you know, the number of upgrades
6 that are required may be outrageous or it just may not be
7 possible to make the interconnection, so it tends to take
8 care of itself in the interconnection study in terms of the
9 actual size.

10 But we used the size more for really the
11 processing of it, more than the differentiating between a
12 large project and a small project in terms of, you know, the
13 interconnection, the physical interconnection. We used the
14 size more to differentiate in the process, because 20
15 megawatts and less tends to have less of an impact.

16 MR. LAVERTY: We've run into a -- we also use the
17 20-megawatt cutoff. We have since we were approved as an
18 RTO.

19 And what we get sometimes is someone will come in
20 with, say, a 10- or 15-megawatt request, and say, hey, look,
21 can you expedite me? Your tariff says you're going to
22 expedite me.

23 I say, well, it says we'll try to expedite you,
24 but I've got three other 100-megawatt requests at roughly
25 the same point of interconnection, as you describe here,

1 that I have got to process first, because they were here
2 first.

3 And, you know, we get that issue. If they are,
4 indeed, isolated, you still go through a lot of the same
5 steps. You might cut out some stability, you might --
6 you're going to narrow the scope of what you look at,
7 because the scope of what this particular generator affects
8 is narrowed, and that's where you see the big difference.

9 In the small-gen NOPR, what I noticed was that
10 you tried -- I thought, anyway, you tried to take that into
11 account, that, look, if it's very small, try to speed it
12 through. And then you had another level.

13 If you can't really speed it through, try to
14 speed it through with a little slower method, and if that
15 still doesn't work, kick it over to the large generator
16 procedures, and our experience has been that that's
17 appropriate.

18 MR. CALDWELL: Jim Caldwell, PPM. There's a
19 couple of sort of historical accidents that I think sort of
20 help us here, and one is that a lot of the rural
21 distribution networks that exist in this country, were
22 designed by the same person at the same time.

23 You know, the Rural Electrification
24 Administration back in the '30s and '40s, had sort of a
25 standard design for this sort of thing, and they went

1 through the same sort of process here, and rather than do
2 everything sort of trying to precise-up everything, they
3 designed them all pretty much about the same.

4 And if you look around, I mean, 20 megawatts
5 doesn't turn out to be a bad number, just because of that
6 historical accident, and I agree with Pat, you know, in the
7 sense that what we don't want to do is set up something
8 where you're incentivized to go to somewhere else, simply
9 because of that cost.

10 However, I think every standard or everything is
11 -- I mean, they used to say the QFIQ test was, why would you
12 ever want to build anything over 49.9 megawatts, you know,
13 because there was a 50-megawatt cutoff for some of these
14 things. So, we're always going to run into that, but I
15 don't think that in this case, for this instance, that as
16 long as we stick with this 20-megawatt cutoff, that we're
17 going to get into huge trouble everywhere.

18 Sure, it's going to be an issue in some cases at
19 the margin, but it's not going to be a big deal, and that's
20 a strike accident of the REA in many cases.

21 MR. POOLE: Okay, it's -- oh, we've got one more
22 question out here.

23 MR. QUIST: I was talking with our contracts
24 guys, and if they had druthers, they'd like to lower that
25 down to ten, just because there are enough requests that if

1 the number was moved down to ten, it would make it so that
2 from ten on, it would be a fairly smooth transition, but
3 below ten, actually you start hitting the point where those
4 would actually be distribution.

5 So, I just want to make that point, that there
6 are some who would like to see it dropped a little bit.

7 MR. POOLE: Okay, I'm just going to open it up to
8 other people in the audience, other than just the speakers.

9 MR. MORRISON: Thank you very much. I'm Jay
10 Morrison, NRECA. A couple of things: One, I thought Jim's
11 comment was interesting, since there are hundreds of
12 cooperatives out there built, according to the REA
13 standards, that are under 20 megawatts total peak capacity,
14 so 20 megawatts is awfully big for a huge percentage of the
15 cooperatives.

16 Not all of those are jurisdictional to the
17 Commission, but some of them are. So, what's big and small,
18 is really going to be comparative to the system. So, a 20-
19 megawatt wind farm near a substation on a large transmission
20 system, is not a big deal, but it's going to be enormous for
21 an already-stability-limited, long, radial facility.

22 So for the Commission -- the Commission needs to
23 be careful when it says small doesn't need to do X, just
24 because it's small, because small, somewhere in the country,
25 is actually going to be huge.

1 The other thing is, I agree with Jim that there
2 are funny incentives. One of the other standards in PURPA
3 is 80 megawatts. And there's an awful lot of 79.95
4 megawatt QFs out there.

5 We want to be careful that we don't wind up with
6 somebody putting in 12, 19.95 megawatt wind farms in the
7 same area, instead of one good-sized one. It's not
8 efficient, but it might wind up being cheaper, if the
9 Commission comes up with a standard that if you're under X-
10 size, you just don't have to do these things.

11 But when you've got 12 of them, you really do
12 need to have those standards to protect the system. So,
13 we're uncomfortable with hard-and-fast size cutoffs on
14 anything.

15 On small-gen NOPR, we've expressed a great deal
16 of concern with the two and the 20. We're not sure that
17 those are necessarily always system related. In this same
18 context, we need to be careful with specific cutoffs as to
19 what is a large or a small system, just so we don't wind up
20 getting all sort of unintended consequences.

21 MR. POOLE: Yeah?

22 MR. WHITEHEAD: I'd just like to quickly respond
23 to that. At least the way we apply the process, the 20
24 megawatts is really more of a process related cutoff. The
25 requirements are what they are, whether they're 20 megawatts

1 or 50. It's more a case of the processing of it in terms of
2 whether the processing gets expedited or not.

3 So I think that your concern about, you know,
4 what the requirements are, I think, is based -- you know,
5 the requirements are based on what they are, and I think it
6 gets back to the earlier question of whether we had, you
7 know, ten 19.9 megawatt projects or one 200 megawatt
8 project, the difference would be really in the way it gets
9 analyzed, because if there are ten projects, there are going
10 to be ten queue positions, and you'll analyze the projects
11 and if you can accommodate all 200 megawatts, you can do it
12 whether it's a single farm or ten separate ones.

13 If you can't, then, you know, if you can
14 accommodate five of them, the other five will get, you know,
15 higher interconnection requirements, so I think it's --
16 again, I think the queuing process and the way it's set up,
17 takes care of the concerns about how they are analyzed.

18 MR. POOLE: Yes?

19 MR. MAZOR: My name is Ron Mazor, and I'm from
20 Manitoba Hydro, maybe one of the few Canadian utilities here
21 today. I'm not sure.

22 (Microphone fails.)

23 MR. MAZOR: It's just that cold weather from up
24 north, that froze it up.

25 (Laughter.)

1 MR. MAZOR: By the way, wind turbines stop at
2 minus-30.

3 (Laughter.)

4 MR. MAZOR: As I said, I'm not going to -- I'll
5 probably provide some written comments, but I'd like to talk
6 about a couple of things that maybe were just very briefly
7 mentioned and emphasized.

8 Manitoba Hydro has about 5600 megawatts of
9 connected generation, 99 percent of which is water,
10 hydraulic powered. I have an IOA signed for a 100-megawatt
11 wind farm that we've spent about the last year and a half
12 doing iterative studies with the developer on, and I guess
13 that's one of my comments.

14 There's been a lot of talk about feasibility
15 studies and the need to have perfect data when the request
16 comes in. I guess the question to some of the people that
17 have connected hundreds of megawatts is, is that really a
18 need? I see kind of an iterative need in the feasibility
19 study.

20 We like to look at high level. Is this thing
21 going to work? Is it the right spot?

22 I don't think I need models that tell my damping
23 needs fixing or anything like that. And, you know, maybe
24 instead of changing the process, fix the requirements in
25 terms of the different levels of study.

1 Secondly, we do have a transmission system
2 interconnection requirement posted. It's on MISO's web page
3 under MHEB. It does address to some extent, some wind
4 issues.

5 Maybe I'm going to change it after what I heard
6 today, but -- I guess I'd like to talk a little bit about
7 power system stabilizers. Obviously you can't put one on
8 something that doesn't have an excitation system.

9 But I guess I would say that if the situation is
10 such that a damping problem is enhanced or degraded, and we
11 do have damping problems -- I know Wayne mentioned earlier
12 in his discussion -- there are ways to fix it, and it
13 probably needs to be the responsibility of the generators
14 causing it.

15 And you can fix it by supplemental damping
16 signals on FACTS devices. There's more than one solution,
17 and I don't know if anyone has experience in going in that
18 direction.

19 We fixed a partial damping problem of putting
20 some signal onto an SVC at one of the major stations on our
21 500 KV line. So, I think that has to be a point.

22 Enough is said about low-voltage ride-through,
23 but it was briefly mentioned, maybe voltage ride-through or
24 over-voltage. Wayne, I think, mentioned DC converter
25 blocks, and when our 2,000 megawatt one blocks, I can tell

1 you we'll have 1.3 per unit over-voltage for a couple
2 hundred milliseconds before the controls are designed to
3 pull it down.

4 We do not like to see, you know, 100 or 200 or
5 500 megawatts of wind farm drop out, you know, after we
6 already lost 2,000 megawatts. It's an essential
7 requirement, if you're going to connect to hydro, and we
8 have about 1200 megawatts request in a connection queue,
9 just like everybody else.

10 I don't know how many will come to fruition, but
11 there's a lot out there. One other thing that I think needs
12 to be considered -- and maybe it was mentioned briefly, is
13 you need to look at over- and under-frequency as well,
14 because you will get under-frequency situations about
15 generation loss, and you want to be able to have any
16 generator, not only wind generators, withstand that sort of
17 requirement, so don't forget frequency.

18 Finally, maybe a last point, and the rest of
19 them, I'll relegate to written comments, is that we talked
20 about SCADA. One of the things that it's nice to have
21 maximum plant output. I guess our operators will dispatch
22 these things, so we need to have wind forecast information,
23 and we agree with some of those proposals.

24 We also probably would like to say that we need
25 some voltage set point or power factor set point

1 adjustments, and that's something not mentioned, so I guess
2 I'll stop there, and be interested any comments,
3 particularly on the need for detail at the initial
4 feasibility stage. Thank you.

5 MR. LAVERTY: Could I comment here briefly on the
6 need for the data on the feasibility? Ron makes a good
7 point. In a feasibility study, it's almost a fatal flaw
8 analysis. Is this a really good idea or not?

9 But one of the lessons we learned in the late
10 1990s with the rush of gas generation, was, you need a drop-
11 dead date for your best design at the moment.

12 As stated earlier, it is subject to change. You
13 take a look at it and see if the changes are material or
14 not. But what we saw was, while waiting for this data which
15 in some cases never came, you ended up with a clogged queue
16 backlog that snowballed, and that doesn't benefit anybody.
17 So, you know, if not at sort of the feasibility study, then
18 definitely by the start of the system impact study you do
19 need to know which manufacturer to be tested, and as I
20 stated that drives what is needed for that model, which is
21 at least a pretty good preliminary design.

22 MR. MILLER: Nick Miller, GE. Great straight man
23 over here. I want to answer a couple of his points real
24 quickly.

25 Power system stabilizers is something we've

1 worried about, and I kept making references that there's
2 some aspects of wind generation that's superior to
3 conventional generation? That's one of them. At least the
4 technology that GE builds do not like to oscillate with
5 system. We have a paper at the next IEEE meeting showing
6 some of that. Power system stabilizers? Don't need 'em.
7 Performance is substantially better, more stable, and
8 especially in these long skinny nasty systems like we're
9 going to get in Montana and Dakota.

10 High voltage? Absolutely. The manufacturers,
11 including us, have these high voltage trip points in our
12 specs. The good news is that sucking VARs down is pretty
13 much duck soup for everybody. So pulling the voltage down
14 to keep the machines from tripping is really quite easy, but
15 nevertheless ought to be standardized.

16 And the final point, absolutely, on the
17 frequency. But since I saw everybody's eyeballs roll back
18 when I talked about the box with the corners cut off,
19 there's another degree of freedom which is frequency. So
20 it's really a cube with corners lopped off. We don't like
21 high frequency; we don't like low frequency and high
22 voltage, but I'll leave that for another day.

23 MR. POOLE: Do we have other commenters?

24 MR. WHITEHEAD: Just one quick comment on the
25 feasibility studies. I agree with Eric. I think the point

1 of a feasibility study is more or less a go/no go. And one
2 of the things that you get out of the feasibility study is
3 whether you are being influenced by other projects in the
4 queue or whether you are influencing other projects in the
5 queue.

6 You know, that's one of the most important pieces
7 that you get out of the feasibility study. So I think it is
8 important to keep in mind that, you know, we don't require
9 all of the detailed information at the feasibility study,
10 and I don't think--well I know MISO doesn't, as well.

11 It's more or less, you know, the high level
12 study. The detailed stuff really comes at the system impact
13 study stage, and at that point I think, as Eric said, you
14 have to have a pretty good indication of what the project is
15 in order to keep the queue process moving forward.

16 MR. ROMANOWITZ: I'm from a warm climate, not the
17 cold ones. I am Hal Romanowitz. I am president of Oak
18 Creek Energy and president of the Kern Wind Energy
19 Association. Kern Wind Energy Association is home of
20 Tehachapi, and so we've had lots of experience with the
21 issues and so on.

22 We very highly support what's being done here and
23 feel it is urgently needed. The transparency issue is
24 extremely important, and I think that our recommendation
25 would be to go quite a step farther; that the results of the

1 studies should also be widely available so that the entire
2 community that is connected to the grid can benefit from the
3 work that is done incrementally, and that studies need to be
4 released and need to be widely available in order to have a
5 good transparent system.

6 In Tehachapi, we have gained significantly over
7 time by working heavily with Southern California Edison
8 where the transfer capacity out of Tehachapi has been about
9 doubled over a period of less than ten years by the industry
10 and the utility working together and enhancing and
11 retrofitting to increase transfer.

12 Secondly, these rules are necessary so as to not
13 benefit large generators in California as a result of the
14 energy crisis. All of the contracts that were let went to
15 large, in many cases inefficient fossil generators. Wind
16 energy was largely excluded to a large extent because of
17 perceived unreliability, and these rules are necessary in
18 order to keep the market going and to give wind generators a
19 fair shot long-term.

20 The other thing is that reactive energy and
21 reactive control, as Nick Miller has pointed out, can be as
22 good or better than an SVC or in that same order of
23 magnitude. And while wind turbines may not today be fully
24 capable of doing all of those same things, the inherent
25 capability is there and it is important to set the standards

1 and the specifications now so that as you go forward that
2 capability is there and it is far more efficient to not
3 duplicate equipment to more effectively utilize the
4 equipment that is already in place and have a single capital
5 investment rather than multiple investments.

6 And you will have a better result and a long-term
7 grid. So the importance of including dynamic performance
8 specifications in the standard I think is really important.

9 Thank you.

10 MR. POOLE: Do we have other questions or
11 comments?

12 MR. HAIDLE: Just one. I assume the wind farms
13 cannot generate VARs unless they're turning.

14 MR. JACOBS: I don't believe that's true. They
15 can. It depends on technology. If you would like us to
16 brief you on that, both directly and in this docket, that's
17 something we'd definitely like to communicate.

18 MR. HAIDLE: Okay.

19 MR. POOLE: Patricia?

20 MS. ARONS: During the energy crisis in the year
21 2000, toward the end of the year, we were in the process of
22 studying tens of thousands of megawatts of generation that
23 wanted to connect up to the grid and solve the capacity
24 crisis that existed in California.

25 That crisis, in retrospect, was probably a price

1 crisis not a real capacity shortage, but there are capacity
2 needs in California in the future that will provide an
3 incentive for new generation connections. And to the extent
4 that we can get a very clear study process and get the data
5 from wind generators as early in the process as we possibly
6 can, that will improve our ability to provide other
7 generators that might be behind them in queue with better
8 information about what their requirements are.

9 One of the things that we saw going through the
10 process, we were having to do re-studies again and again for
11 generators as changes to other units that were earlier in
12 the queue changed conditions, that subsequent projects
13 faced, and I believe that the wind community should really
14 take the lead in making sure that the models are good; that
15 the utilities are provided with the best data available, and
16 that the burden doesn't reside with us to go out and chase
17 down these models.

18 Make sure that you're giving us the best data
19 that you've got. I have to believe that it's out there.
20 It's just we're dealing with people that don't want to step
21 up to the plate and do the work necessary to support the
22 interconnection process.

23 So I really do encourage the wind community to do
24 the best job that they can in giving us a clean application
25 right at the outset, even as we're doing feasibility studies

1 because it affects others that are connecting in queue
2 behind you.

3 MR. PORTER: I am Kevin Porter with Exeter
4 Associates. We are a consulting company in Columbia,
5 Maryland. Just two things:

6 First, a commercial. Mention was made of the
7 Utility Wind Interest Group. They meet twice a year. They
8 are meeting October 27th and 28th in Albany, New York. I
9 know Ken will be there.

10 The second thing is, in listening to a discussion
11 of the AWEA proposal, and I heard concerns about
12 comparability of other generators versus the AWEA proposal,
13 I am wondering particularly with the--and I'm not
14 technically proficient so the leading and lagging indicator
15 really doesn't mean anything to me--but I'm wondering in
16 particular on that and voltage, whether the AWEA proposal
17 should be treated as a rebuttable presumption?

18 So in other words, rather than the burden being
19 put on say the transmission provider to show that anything
20 less than that, or more than that--pardon me, more than
21 that, is required, that maybe it is treated as a rebuttable
22 presumption, and then the interconnection agreement comes to
23 FERC, or they work it out and it comes to FERC and you bless
24 or not bless as the case may be.

25 It's just a thought from hearing some very good

1 comments today.

2 MR. KELLY: Kevin, there was a question I was
3 going to ask the panel earlier and then I dropped it, but
4 you've kind of put half of it on the table, which is that
5 AWEA has in some sense put this out as a 'don't require low
6 voltage ride-through unless it's shown to be needed.'

7 And in the comments of Pacific Corp, they had
8 kind of the opposite theme going of don't be hard and fast
9 and require everything, but presume that a large wind farm
10 should behave the same as any other unit unless a case-by-
11 case study shows that it's not needed.

12 You might argue those two positions aren't that
13 far apart because neither one is dogmatic; each allows case-
14 by-case studies. But I kind of wanted to, in a sense,
15 expand your questions say between those two views, which is
16 a preferred view, if you were going to ask any of the
17 panelists to comment on it.

18 (No response.)

19 MR. KELLY: And if not...

20 (Laughter.)

21 MR. POOLE: Any comments?

22 MR. LAVERTY: Well, it seems the low voltage
23 ride-through is one--this has been said several times--is
24 one tool among many to solve criteria violations on the
25 transmission network. So the question is: Do you require

1 the capability up front and then see if you need it? Or do
2 you not require it and then require the transmission
3 provider to go to the developer and say: Do you have this?
4 Can you get it? Can you meet this? It's a question of
5 what's more efficient, I think. That's my opinion based on
6 having done a few of these.

7 You know, you get some time delay and you go back
8 and, you know, can I meet this profile, can i not? If not,
9 then we're looking at FACTS devices, or maybe a third line
10 brought into an area.

11 MR. JACOBS: Well I think Eric actually sort of
12 hit upon it in a way. The interconnection study process
13 identifies what upgrades are needed to keep the system from
14 degrading. That's what I think we mean to say.

15 If you need something to keep the system from
16 degrading, that's part of the outcome of these studies. We
17 don't reconduct every line because a generator is added to
18 it. It's an outcome of the study.

19 MR. WHITEHEAD: I think I would just agree with
20 that and just expand a little bit, because as you do the
21 study, you know, as Mike pointed out, you're incrementally
22 adding generation or transmission or whatever, you're
23 incrementally adding to the transmission system. And at
24 some point your reliability criteria area violated. At that
25 point, you have to decide what is the solution. And the

1 more solutions you have in the tool box the better off you
2 are as far as being able to solve it in the most efficient
3 way.

4 So I don't think you want to preclude any
5 solutions in it, but I don't think you necessarily want to
6 force any solutions, either. So I think it is the idea that
7 you go through and determine what the needs are, and then
8 make them happen.

9 MR. POOLE: Well if there are no other questions
10 or comments, I would like to thank everybody, and
11 particularly the people who were on the panel and came in
12 for this.

13 I have a couple of other items. I just wanted to
14 remind you that we would like to have all the written
15 comments in within 30 days, or about October the 25th, that
16 Monday.

17 We are also, although we didn't really--today we
18 mainly discussed wind, we are interested in any other
19 alternate technologies that somebody might identify that
20 might need some sort of special presentation in the
21 Interconnection Agreements, and we would like to have any
22 comments on that.

23 If there are no other things, we are adjourned.

24 (Whereupon, at 4:25 p.m., Friday, October 24,
25 2004, the meeting was adjourned.)