

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FEDERAL ENERGY REGULATORY COMMISSION

TECHNICAL CONFERENCE

IN RE:

CONNECTICUT INFRASTRUCTURE

OCTOBER 13, 2004

LEGISLATIVE OFFICE BUILDING

300 CAPITOL AVENUE

HARTFORD, CONNECTICUT

1 . . .Verbatim proceedings of the Technical
2 Conference of the Federal Energy Regulatory Commission,
3 In Re: Connecticut Infrastructure, held October 13, 2004,
4 at 9:00 A.M., at the Legislative Office Building, 300
5 Capitol Avenue, Hartford, Connecticut. . .

6 P R O C E E D I N G S

7 MR. DOWNES: Good morning, ladies and
8 gentlemen. Before we begin today's proceedings, I want
9 to do some quick housekeeping with you, if I might.
10 First off, in the interest of safety, I would like to
11 ask you to note the location of the exits from the
12 hearing room. The two doors from which you entered are
13 the emergency exits, and are marked with the appropriate
14 signs. In the event of an emergency, please walk
15 quickly to the nearest exit. As for having exited the
16 room, proceed to the main stairs or follow the exit
17 signs to one of the fire stairs. Please quickly exit
18 and follow any instructions from Capital Police. Do not
19 delay, and do not return unless and until you are
20 advised it is safe to do so. And now messages brought
21 to you directly from our friends with Capital Security
22 Group.

23 And for panelists and people who are on the
24 diocese, it will be important that you have your
25 microphone in the on position when you wish to speak.

1 In front of you there is a button marked "microphone".
2 Please press the button and the light will come on and
3 that means your mike is live. These proceedings are
4 being taped by the Connecticut Television Network.
5 They're also being simulcast live for us; all the
6 offices in the legislative office building, and the
7 state capital building. So please try and remember to
8 use your microphone when you're speaking, and please
9 turn them off when you are finished. Those who have
10 cell phones are requested to turn the cell phone off or
11 put it in a silent mode. And to the extent that people
12 find it necessary to maintain conversations, we
13 appreciate it if you would kindly take them outside.

14 Okay. With all the housekeeping done, good
15 morning everyone. My name is Don Downes, I'm the
16 Chairman of the Public Utility Control Authority and the
17 head of the Department of Public Utility Control. On
18 behalf of Governor Rowland and the general assembly, we
19 are pleased to host the commissioners of the Federal
20 Energy Regulatory Commission, as well as the chairmen of
21 the Maine, New Hampshire, and Rhode Island public
22 utilities commissions on this technical conference of
23 New England and Connecticut public utility issues.

24 This event would not have been possible
25 without the help of a variety of people that I'm going

1 to pause briefly and thank them. For openers, David
2 Cumanchca with my office and Sarah McKinley from the
3 FERC staff have done an outstanding job putting this
4 together, and we thank them. Our friends in the general
5 assembly have been instrumental in putting this
6 together, particularly Kelly Gilbert, Clerk of Energy
7 and Technology, Sue Kien, Clerk of Appropriations, and
8 our friend, Chief Phil Morgan, of the Capital Police.

9 We're very pleased by the broad turnout for
10 this event. While there is not time to recognize
11 everyone, we have with us, among others, acting
12 commissioner, Jane K. Stahl, of the Department of
13 Environmental Protection who's been one of our chief
14 partners in developing utility policy through CEAB. We
15 also have a number of distinguished legislators and
16 representatives of various executive and legislative
17 agencies, and I want to thank all of you for coming.

18 At this time it's my honor and pleasure to
19 introduce my friend and colleague, the distinguished
20 House Chairman of the Energy and Technology Committee.
21 Terry Backer has represented the 121st District in the
22 city's Stratford and the General Assembly for some six
23 terms -- a real double threat. Representative Backer is
24 recognized as an authority not only on energy issues,
25 but environmental issues as well. In his real life,

1 Terry can generally be found out on the water performing
2 his duties as Long Island Sound Keeper. I'd like to
3 introduce my friend, the honorable, Terry Backer.

4 MR. BACKER: I'd like to stand these mikes
5 after a long time. I know they the don't lend
6 themselves to standing. You can never hear it.

7 First, I want to say that the Senate Chair,
8 Melanie Peters, is away handling business along with the
9 Ranking Senate Member, Tom Hurley, who has another
10 family issue, so you won't be seeing them today.

11 I want to start out by saying we're really
12 proud to be able to provide this venue for this
13 technical conference.

14 Connecticut is challenged in so many
15 challenges and so many ways in our dealings with energy.
16 We're challenged by either misconceptions or we're
17 challenged by real things that we haven't been able to
18 sort out because of the political process that we have
19 here. Everything becomes politically bound to the point
20 where we can't sort through what's real and what isn't
21 real anymore. This conference may help us do that. It
22 may help us find out what we're allowed to do, who has
23 authority over us, and where we can go. So with that,
24 we're going turn it over to the guys who are running the
25 show. Thank you.

1 MR. DOWNES: Thank you Terry. I should
2 point out before we move further down the road, that
3 there is an overflow room, which is room 2E, in the
4 event that this becomes more crowded. People can start
5 moving there, and we'll be simulcast there as well.

6 At this time let me do some very brief
7 introductions of my colleagues from our surrounding New
8 England states. To my right, my friend and colleague,
9 the Dean of New England Commissioners, Tom Welch, is the
10 Chairman of the Maine Public Utility Commission. Tom
11 Getz is the Chairman of the New Hampshire Public Service
12 Commission, and is the sitting President of the New
13 England Conference of Public Utility Commissioners.
14 Elia Germani is the Chairman of the Rhode Island Public
15 Utility Commission, and representing Chairman of Funds,
16 his general counsel and chief aid is Ron LeComte from
17 the great state of Massachusetts -- excuse me. The
18 Commonwealth of Massachusetts -- pardon me.

19 Also on the dais, our distinguished guests
20 include Attorney General Blumenthal, who I guess I
21 haven't actually seen yet, but he will be here, I
22 promise. And Gordon van Welie, the President and CEO of
23 the New England Independent System Operator. Also on my
24 left are the members of the Connecticut Public Utility
25 Commission. From your left to right, Commissioner Anne

1 George, Commissioner Linda Kelly, and Commissioner John
2 Betkoski.

3 When Chairman Wooden and Commissioner
4 Brownell called me to talk over the idea of a technical
5 meeting here in Connecticut, I frankly jumped at the
6 chance. We face a number of challenges with our
7 electric system here in Connecticut. Our transmission
8 and generation resources need to be improved and
9 upgraded, and as the industry and the government move to
10 meet these challenges, public interest, and frankly
11 concern, grows very quickly. Proposals like the
12 electric transmission upgrades in Fairfield County have
13 brought these issues into sharp focus, and our citizens
14 look to their public officials, both executive and
15 legislative, for answers.

16 It so happens that Connecticut faces these
17 issues today. A number of other states are fortunate
18 and are in somewhat different positions with less
19 critical problems than we face, but make no mistake,
20 every state will face these issues sooner or later. On
21 a broader scale, regional authorities like ISO New
22 England, NEPOOL, and the new regional state commission
23 working with our federal partners at FERC, have been
24 working to create a true New England electric market.
25 These two efforts are inextricably linked together, and

1 without an adequate physical generation transmission
2 distribution system we cannot have reliability or a
3 single-functioning market. Without a true single-liquid
4 market where all generation can serve all load, the
5 economic inefficiencies and the rate payer benefits
6 promised by a market system will not materialize. And
7 without rate payer benefits the political consensus that
8 supports restructuring will collapse, and we'll face the
9 nightmare of trying to reregulate this industry.

10 All of us regional and state and federal
11 officials have been working hard on these issues for
12 some time, and now it's time for us to turn to the
13 public to understand these issues and hear the differing
14 approaches for meeting the challenges. I want to extend
15 our thanks to FERC for providing the forum that will
16 give every interested citizen the opportunity to see
17 that here are some of the most knowledgeable experts in
18 the field to discuss these matters. And now, at long
19 last, let me introduce the Chairman of the FERC, my
20 friend, Pat Wood, who will introduce his colleagues and
21 preside through the rest of today's proceedings.

22 Chairman Wood and the FERC commissioners
23 have one of the toughest jobs in America, and they
24 perform it with great dignity, authority, and poise. It
25 may come as a surprise that not every region of the

1 country has enthusiastically embraced electric
2 restructuring. Speaking on behalf of the Connecticut
3 Public Utility Commission, FERC has provided the example
4 and the guidance that's brought us to the creation and
5 the operation of a real electric market in New England.

6 While Connecticut and the FERC have not
7 always agreed on every single last issue, our
8 relationship is a very strong and positive one because
9 we agree on the underlying goals and the underlying
10 principles, and we work toward the common resolutions
11 with good faith, each toward the other. It's my
12 pleasure at this time to turn the chair over to my
13 colleague, Chairman Pat wood.

14 MR. WOOD: Thank you, Don, and thank you all
15 for being here. Representative Backer, thank you for
16 your comments. I can't frame it anymore succinctly than
17 you did that the point of what today is to talk about
18 misconceptions in reality and try to distinguish between
19 the two.

20 I'd like to, before going into the
21 backgrounds today, introduce my friends and colleagues.
22 Nora Brownell, a Commissioner here at FERC and Suedeen
23 Kelly, who's our newest commissioner at FERC as well,
24 and we're glad to be up here today. Thank you and the
25 members of the Connecticut Commission for your

1 leadership of the past energy issues in this state, and
2 we're glad to be here among you.

3 The FERC's role is two-fold with regard to
4 electric power. First, it's to oversee the wholesale
5 power markets, the sales for resale, which is, I guess,
6 an upstream role -- upstream of the retail companies
7 that serve the users here in Connecticut. As the
8 wholesale regulator, we oversee the interconnected grid
9 on the transmission side, which is the second role that
10 we play. Those two things come together very cleanly in
11 New England where you have six states coming together
12 under a common grid that has operated for a number of
13 years relatively coherently and succinctly as a single
14 grid and as a single marketplace. That effort has,
15 under the leadership of the ISO New England and the
16 NEPOL, two multi-state organizations that include a lot
17 of the market participants here, done a number of things
18 to improve the workings of this power market.

19 One of the things that we've identified --
20 certainly not us alone, but practically everybody in
21 almost every pleading before our commission as we talk
22 about everything from rates to proper terms of service
23 to credit worthiness -- is the status of the
24 infrastructure. And that's really the bulk of the focus
25 today, is focussing on this particular part of New

1 England and looking at the status of the Connecticut
2 electric transmission infrastructure and the importance
3 that that very critical piece in this nation's grid --
4 and, I mean, here you are at the corner of New England
5 and not shouting distance away from the New York power
6 grid and the from the PJM -- Pennsylvania, New Jersey,
7 Maryland power grid -- coming together right here on the
8 eastern side of New York City, our largest energy market
9 in the country, and so the infrastructure issues here
10 are of not only state significance but regional and
11 national significance.

12 So in recognition of that in the hope that
13 we won't make the same mistake twice as was done in
14 California, before commissioner Brownell and I joined
15 the commission, we thought it was very important to come
16 up here and just focus on the facts, find out what it is
17 about the Connecticut issues we need to know more about,
18 what are the pros and cons of different sides, and then
19 get to a point with the decision makers here in the
20 state -- and there are some very capable ones here -- to
21 focus on the issues related to transmission
22 infrastructure and to some extent on the generation
23 infrastructure because at some stage those become
24 interchangeable. In some states they're not, but I
25 think we'll explore some of that today.

1 It's our hope, certainly, as we have seen
2 elsewhere across this great country, that people of
3 goodwill can come together and, again, focus on the
4 facts and make decisions that while not popular are
5 important to be done for the long-term future and for
6 the betterment of the citizens not just today, but for
7 the foreseeable future. That's what leadership is
8 about, and we want to be focused on that today.

9 I want to thank, again, Chairman Downes for
10 your leadership and your kind invitation to come here.
11 I want to thank, the legislature for the use of this
12 nice space, and at this time, I would like to -- before
13 we pass it over the Miss McKinley to MC the rest of the
14 day -- I'd like to introduce two gentlemen from our
15 reliability division at the Commission, the head of that
16 division, Joe Maclelan, who's down here on the
17 audience's left, and next to him Sied Faraplay, who's
18 one of our senior engineers. The format for today,
19 again, for the panel up here, if we just want to pepper
20 the people, the participants here with questions,
21 probably, you know, as -- again, informal as we can be
22 just to try to find out facts, not necessarily great
23 diatribes, but just make some point and try to elucidate
24 the record.

25 This is being recorded today on television

1 and with a transcriber, so this record will be included
2 in FERC's docket of the ELO-14, and that will be used to
3 inform any decisions that may come before our commission
4 on issues relating to the transmission; to the rates, to
5 the market rules of New England. I understand that
6 Attorney General Blumenthal is here and would like to
7 make a statement. Welcome, Mr. Attorney General.

8 MR. BLUMENTHAL: Thank you Mr. Chairman,
9 Chairman Wood. I want to thank you for being here, and
10 so graciously with other members of the Commission and
11 your staff from Washington making the trip to be here
12 and, of course, Chairman Downes for your leadership in
13 helping to organize this event today -- which certainly
14 is historic in Connecticut's energy development. And I
15 just want to thank everyone who is here in this very
16 distinguished group, both on this side of the room and
17 in the audience, because the citizen participation and
18 involvement of the public as well as interested parties
19 is certainly critical to the intelligent and enlightened
20 development of energy and transmission and generation in
21 Connecticut. And I just want to make very clear that we
22 are here with a common purpose, although we may disagree
23 from time to time as we have done, I think there's a
24 clear consensus that we need to upgrade our
25 infrastructure here in Connecticut to improve the

1 reliability and efficiency of transmission and
2 generation.

3 There is absolutely no question, and I want
4 to say very emphatically, no question in my mind that
5 those upgrades are absolutely necessary. The real
6 question is how and where, and on that point, there is
7 more than ample room for legitimate disagreement. We
8 will continue to fight for undergrounding as much as
9 possible of all of the segments of this line because it
10 is Connecticut's law, and our legislature, in fact,
11 deliberating in this very room has taken that position.

12 We will continue to fight for
13 regionalization of costs because the entire New England
14 region really benefits from upgrading infrastructure,
15 even when it is underground or, most especially, when it
16 is placed in ways that is -- that are environmentally
17 sensitive, responsive to health needs, as well as to
18 other values. And we will continue to also fight what
19 we regard as unwise and unwarranted intrusions on our
20 consumer interests and our state interests such as
21 LICAP, Standard Market Design, the RTO Expansion,
22 because they raise costs for consumers and enhance
23 industry revenue without tangible benefits for our
24 consumers and our citizens.

25 And I want to thank the Federal Energy

1 Regulatory Commission for coming here and really
2 listening to us -- which is so important for any agency.
3 I know very often agencies in Washington tend to view
4 problems from 10,000 feet and see the big picture. We
5 welcome your coming to the trenches and seeing what the
6 problems are on the ground, so to speak, what people's
7 concerns are, and I think that step is very, very,
8 important.

9 Let me just close by saying that there has
10 been delay in the infrastructure upgrades, particularly
11 as they affect the third and fourth segments, Phase 2 as
12 it's known. I think it has to be recognized that that
13 delay in no way has been caused by opposition from local
14 communities or recalcitrants on the part of the state.
15 It is very directly the result of mismanagement by the
16 applicants and by ISO New England, and I say that very
17 reluctantly and apologetically, but I think it needs to
18 be on the table here. It needs to be a subject of
19 debate.

20 We are 10 months into this case, and we
21 still do not have a final proposal that the applicants
22 are willing to stand behind and submit for scrutiny; a
23 specific route that can be evaluated by the siting
24 council. Others have expressed similar frustration with
25 those delays. 8 months into this case, we were informed

1 for the first time that the Third Harmonic Standard
2 would be the applicable standard, just as another
3 example of the kinds of delays that we have seen in this
4 case. So we still await the decision from the
5 applicants and from ISO New England as to what the
6 specific proposal is, but we are ready and willing and
7 able as a state to move forward with infrastructure
8 improvements that are necessary to the entire region and
9 needs of the country. They are absolutely essential for
10 the economic, as well as electricity and power benefits,
11 of the entire region, and, again, Mr. Chairman, thank
12 you for giving me this opportunity and for coming here
13 to Connecticut, and for arranging for all of the parties
14 to be together on this very, very, important occasion.

15 MR. WOOD: Thank you, Mr. Attorney General.
16 We appreciate you being here and your time today. At
17 this time I'd like to ask our lead for this conference,
18 Sarah McKinley -- who's sitting over here in the purple
19 dress -- to introduce our first panel and kick off the
20 day's events.

21 MS. MC KINLEY: Thank you, Mr. Chairman.
22 Our first presentation today is by John Schnagl from the
23 Office's Energy Projects at FERC who will present an
24 overview of infrastructure needs in Connecticut and the
25 region.

1 MR. SCHNAGL: Thank you. This morning I'd
2 like to present an overview of the energy infrastructure
3 of Connecticut. Focusing primarily on electric
4 transmission infrastructure, but touching on generation
5 and the fuels that fire that generation.

6 Over the last 10 years, Connecticut's energy
7 use has increased approximately 1 percent per year. But
8 if you look specifically at southwest Connecticut, that
9 energy use has increased 2 percent per year, double the
10 amounts of the rest of Connecticut. 2 percent is pretty
11 much on par with the rest of New England, and it is in
12 excess of that of the national average. Let's take a
13 look specifically now at the electric generation
14 infrastructure.

15 Since the year 2000, a great deal of new
16 capacity has been added in terms of electric generation
17 capacity in New England and Connecticut. Approximately
18 9,500 megawatts of new generation capacity has been
19 built. 18 percent of that has been built in
20 Connecticut. These bars show the new capacity in the
21 green and the retired capacity in the pink and the red.
22 One can see that the new capacity far exceeds that which
23 has been retired. However, if one looks into the
24 future, one sees that in 2005 through 2008 virtually no
25 additional new generation is being planned at this point

1 in time. However, we are hearing more and more that
2 additional retirements are going to be occurring during
3 that period of time.

4 The new generation has been almost
5 exclusively fired by natural gas. This is a trend that
6 not only occurs throughout New England, but also the
7 rest of the country. Currently, natural gas, as one can
8 see here, is the increase in new generation and
9 corresponds to the increase in the amount of natural gas
10 fire in this area right here. In New England we have
11 roughly a third of the generation supplied with oil. A
12 third of the generation is fired by natural gas. We
13 look at electric generation output, since 2000 --
14 between 2000 and 2003, there has been a significant
15 increase in output in electric generation for new
16 England as a whole, roughly 21 percent increase. But
17 for Connecticut, there has been an actual decrease of 7
18 percent.

19 Okay. So we talked a little earlier about
20 the fact that energy use in new England has been
21 increasing year by year. But this shows that electric
22 output in Connecticut has actually dropped. So where's
23 the difference being made up? Connecticut is
24 increasingly using generation generated in other states,
25 and bringing it in through the interties that are

1 indicated in red that are on this map. There are other
2 interties that are much smaller. One thing is -- to be
3 noted is that these interties are clearly remote from
4 the area in southwest Connecticut that I said was using
5 so much of the electricity. We took a look at the
6 overall electric transmission system, and looked at it
7 for three different factors. Distribution, the ability
8 to distribute the generation produced in the state, the
9 size and the robustness of the interties, and load and
10 stability. In terms of distribution, the existing
11 electric transmission system cannot distribute the
12 electricity that is currently produced within the state.
13 In other words, some of the newer electric generation
14 facilities must throttle back their production because
15 of transmission limitations.

16 In terms of the interties, the interties
17 allow approximately 2,000 megawatts to be brought into
18 the state. Looking into the future, this limitation
19 will not meet Connecticut's future demands. And in
20 terms of load and stability -- well, I mentioned that
21 the energy that is being brought in through these
22 interties are fairly remote from where it's actually
23 used, so the energy that comes in must traverse much of
24 the existing grid to get down to its point of use. This
25 adds additional congestion to the system, and in deed,

1 Connecticut has one of the most highly congested
2 electric transmission systems of anywhere in the
3 country.

4 Stability, it's an old system that's been
5 through upgrades recently. A recent study by the ISO
6 identified greater instability than they had originally
7 anticipated. There are several proposals to add new
8 transmission to be able to move generation to load.
9 This slide shows the tan areas here are the load
10 centers, the urban load centers in the state, and the
11 dotted lines indicate some of the proposed transmission
12 lines, certainly these lines would help to move the
13 generation to load. But these proposals must be
14 converted from proposals to operational projects before
15 they're going to help solve the problem.

16 We've heard a lot over the last several
17 years about merchant transmission projects. Five
18 merchant transmission projects have been proposed for
19 the northeast. Yet only one of these projects has been
20 built and is operational and able. Two additional
21 projects, the Empire Nation and the Neptune Project,
22 have received recent interest in the trade press and
23 investors are now looking more favorably at those
24 project and they may actually be built. And even if
25 those projects were built, they will have no direct

1 affect on electric transmission in Connecticut.

2 Let's take a look at the fuels that fire
3 electric generation. Since 1997, the greatest single
4 increase in use of natural gas in this region has been
5 to fire electric generation. In deed natural gas has
6 become the fuel of choice for electric generation.
7 There's no native supplies of natural gas in New
8 England, so all natural gas must be brought into the
9 area either through interstate natural gas pipelines or
10 in the form of L and G. This flow diagram is what we
11 anticipate the flows will be into the region in January
12 2005 -- actually coming up fairly quickly. The green
13 arrows indicate the source of the supply, from western
14 and eastern Canada, the eastern United States then
15 coming up all the way from the Gulf of Mexico, and this
16 one is in the form of L and G coming into the Everett
17 facility in Massachusetts. The supply has been
18 distributed through the interstate pipeline system and
19 intrastate pipeline systems that are not shown on this
20 map throughout the region. One thing that we do note is
21 that no new intrastate/interstate pipelines are proposed
22 between now and 2008. This is problematic.

23 During the winter, natural gas demand comes
24 dangerously close to exceeding capacity of the existing
25 pipeline system. Demand is projected to exceed pipeline

1 capacity beginning in 2007, and one place here in
2 Connecticut already knows during a cold snap this year,
3 the system did exceed the capabilities. We've heard an
4 awful lot about new L and G facilities, and these are
5 just some of those that could affect the Connecticut
6 market. If all of them were constructed, they would add
7 an additional 8.5 billion cubic feet per day in terms of
8 new supply for the region. This is in comparison to the
9 existing maximum, roughly 1 BCF per day that is being
10 provided at the Everett facility. However, even if all
11 of this additional supply becomes available, as I
12 mentioned earlier, during the winter the existing pipes
13 are full so there will need to be a new natural gas
14 pipeline infrastructure built in order to move this
15 supply to where it is actually consumed.

16 Oil has historically been an important
17 source in this region. It fires roughly 30 percent of
18 the electric generation, and is very important for home
19 heating. We expect it to continue to be a very
20 important source of dual fuel capability for electric
21 generation. Meeting Connecticut's electric demands
22 requires concurrent actions in multiple areas. As
23 you've seen, there's no one silver bullet here.
24 Certainly the transmission system has to be made more
25 robust so that it can move generation to load. The

1 interties need to be upgraded so that Connecticut can
2 take advantage of some of the surpluses in its
3 neighboring states, and move more of that generation
4 to -- into Connecticut where it's needed.

5 Once the transmission system is made more
6 robust, then they can strategically locate and size new
7 generation within the load pockets that I showed you,
8 and in order to fire that new generation, new natural
9 gas pipeline infrastructure is going to have to be
10 built.

11 And last, the demand response programs
12 should be upgraded in order to be able to meet demands
13 most economically. Demand response programs can help to
14 insure that infrastructure is not overbuilt. Thanks
15 very much.

16 MS. MC KINLEY: Thank you John. (SMALL
17 PORTION MISSING DUE TO NO SOUND ON COMPUTER) -- you're
18 paying congestion costs even if you don't see them, and
19 they do have a growing impact.

20 MR. VAN WELIE: Right, I don't have a number
21 off the top of my head. We could probably do a
22 collation, but basically congestion is when you're
23 running more expensive generation inside a transmission
24 constraint when there's less expensive generation
25 available outside of the constraint, and what we've seen

1 actually is that congestion has been somewhat evaded
2 recently because of a high natural gas price, so it's
3 actually made oil relatively less expensive than natural
4 gas. So it depends which is the marginal fuel for
5 generation. Which is going to be setting the price of
6 electricity. In general, though, when you look at
7 Connecticut relative to the rest of New England, it is
8 by far the most extensive, or has the most extensive
9 impact both at the wholesale level and retail level when
10 it comes to congestion costs. So it stands out amongst
11 all of regions in New England with respect to congestion
12 costs.

13 MS. MC KINLEY: Thank you. Our next
14 presentation is by Kevin Kirby, Vice President of
15 Marketing Operations for ISO New England, and he will
16 give a presentation of infrastructure needs specifically
17 in connect.

18 MR. KIRBY: Good morning. I'd like to thank
19 FERC for inviting ISO New England to speak at this
20 conference. My presentation today -- I'll be providing
21 a preview of the electricity situation in Connecticut.
22 Especially the states in the southwest area, which per
23 cap rate, it is one of the nation's top ten reliability
24 risks. New England overall has sufficient capacity to
25 likely meet peak demands, but only for the next few

1 years. Building off some of John's points and in
2 looking at this chart, you can see that the net
3 generating capacity which is a total of installed
4 capacity with typical adjustment for the units that are
5 not available at any given point in time, starts to
6 approach deficiency by the year 2006. Although we've
7 added 10,000 megawatts of new capacity in New England
8 since the beginning of the market in 1999, we do see
9 little net change in new additions over the next several
10 years. At the same time we're seeing increases in
11 demand. That's in spite of and in reflection of the
12 demand-side programs. We are looking to increase those,
13 but even with that, we're still seeing a trend, an
14 upward trend in demand.

15 The upper red line is -- represents the
16 higher than expected load case, but I would point out
17 that we've hit that three times since the opening of the
18 markets in 1999. So it's a very realistic point for
19 planning purposes that we need to prepare to meet. Some
20 of our major concerns that we're seeing at ISO New
21 England, first, the situation even more tenuous in
22 certain areas of the region, the transmission investment
23 for major upgrades has lagged the investment in the
24 generation that we have seen over the past years,
25 northwest Vermont, Greater Boston, and Connecticut,

1 particularly southwest Connecticut, have turned to
2 project the transmission constraints to result in load
3 pockets, meaning areas where you have constraints and
4 difficulty in serving the existing load. The load
5 pockets threaten not only the local reliability, but can
6 expand to threaten the reliability at a regional level.

7 In addition, certain resources are critical
8 for reliability within those areas; both to serve
9 demand, but also to provide contingency coverage and to
10 allow for construction and maintenance outages of
11 existing facilities. Even with the planned transmission
12 upgrades that we've been talking about, the additional
13 resources over and above the existing will be needed to
14 offset anticipated retirements as well as meeting the
15 demand growth. Current revenues are not sufficient to
16 sustain all the existing facilities or attract
17 investment in the market. Because of that, the
18 existing -- the continued availability of some of those
19 existing resources is by no means certain.

20 Additionally, if we have an increasing dependence on
21 natural gas-fired units, as John had mentioned, the
22 infrastructure of the gas delivery system in the L and G
23 systems are limited in New England and has put some of
24 the region's capacity at risk particularly during the
25 peak winter hours. So our ability to maintain a diverse

1 mix of resources is an important part of our ongoing
2 system reliability.

3 Turning to Connecticut, even today
4 Connecticut's capacity is not adequate to serve demand
5 and meet reliability requirements without special
6 measures. We're using emergency resources and operating
7 procedures to keep the lights on now in southwest
8 Connecticut. And the outlook is not much better.
9 Existing generation is needed to provide the bulk of our
10 system support, but more than 2,000 megawatts of
11 capacity in Connecticut has been proposed to
12 deactivation, and has been deactivated or is operating
13 under -- what we term as a "reliability agreement" with
14 ISO New England in order to maintain those units in an
15 active state. This amplifies in a capacity situation in
16 Connecticut.

17 The state's net generating capacity is about
18 6,000 megawatts. Meanwhile, the demand is more than 8,000
19 megawatts, but looking at this existing capacity
20 situation doesn't tell the full story. It does not
21 reflect the fact that a transmission system within
22 Connecticut is not adequate to move that power from
23 where it's needed. That's important because a
24 difference between a demand and net generating capacity
25 in Connecticut is covered by imports from out of state.

1 The transmission constraints limit the imports to about
2 2,000 megawatts as you heard earlier. The remaining
3 capacity needed for reliability comes from the emergency
4 resources that I mentioned a moment ago. There are
5 reinforcements to the 345 A/V transmission lines that
6 will be needed in Connecticut as well as Massachusetts
7 and Rhode Island to provide reliability over the longer
8 term.

9 Turning more specifically to the southwest
10 Connecticut situation, it's more severe than the rest of
11 the state, but about half of the demand met through
12 imports in and as I mentioned those imports to the
13 state, into the -- between the other regions of the
14 state and southwest Connecticut are severely limited.
15 The situation is more discouraging because there are
16 limits on the ability to move electricity around within
17 southwest Connecticut, so even if you can get across
18 those transmission constraints to the southwest
19 Connecticut region, the current situation is that we
20 cannot move that power efficiently within the southwest
21 region. That need for the transmission reliability is
22 driving the Southwest Connecticut Reliability Project,
23 that includes the transmission lines to major upgrades,
24 you know, improve the limit coming into southwest
25 Connecticut area by 1400 megawatts, enough to meet the

1 demand over the next several years. It also provides
2 some flexibility for deactivation for repowering of
3 existing units.

4 As we look forward to reliability and that
5 balance, of not only the transmission upgrades to be
6 able to move the power, but to be able to add
7 generation, you need some headroom in the system to be
8 able to deactivate, repower, or to have new generation.
9 It's important that these -- that the projects advance
10 in a timely fashion. And the additional retirements
11 that we're facing could even put more pressure on the
12 system on an interim basis.

13 Another focal point with respect to the
14 generation, half the units are under 10 years old, which
15 reflect some of the major new additions we've had in
16 generation in New England over the past decade, but
17 nearly a third of the generation in Connecticut is over
18 40 years old. And as you can see, approximately half
19 are at least 30 years old. Aging power plants, in terms
20 of their ability to compete, to be maintained, require
21 ongoing investment, and at some point require repowering
22 or replacement. Again, the current infrastructure
23 within Connecticut prevents or provides at least some
24 barriers to that happening on a cost-effective basis.

25 This graph illustrates some of the overload

1 potentials that we're seeing in some of our modeling
2 techniques. The red lines essentially show where there
3 is a prospect of thermal loads under various contingency
4 conditions or both under collapsed conditions that could
5 occur under certain contingencies. It's an example of
6 the risks that are faced within southwest Connecticut
7 and why the infrastructure improvements are so sorely
8 needed.

9 In conclusion, we do face significant
10 challenges in Connecticut. We are faced today with an
11 inadequate system to fully meet the reliability needs of
12 this state. We're depending on special measures such as
13 the Southwest Connecticut Gap RFP for emergency
14 resources, primarily filled by demand-side resources.
15 We have various RMR agreements, a significant number,
16 nearly 2,000 megawatts of agreements for generation
17 within the state. The transmission upgrades are
18 planned, but they -- again, they're two or three years
19 away, possibly we could actually get sited and built.

20 And finally, we need to continue to develop
21 enhancements to the New England Wholesale Market Powers
22 System to encourage specific outcomes -- mainly those
23 would include investment in capacity where it's needed
24 most, in southwest Connecticut. We need new generation
25 resources focused on peaking duty with an eye towards

1 continued fuel diversity. We need to begin
2 consideration for outer repower, or allow repowering of
3 older plants so they can continue to provide from those
4 sites, the needed energy within southwest Connecticut
5 and Connecticut as a whole, as well as increased
6 promotion of the demand response and conservation.

7 Again, those programs have been critical for
8 us in the last year or two in particular within the
9 state of Connecticut, and the dependency on those and
10 the value of those will continue to grow to us to meet
11 the reliability. So at some -- to hit at the high
12 points in the initiative that we're undertaking and are
13 needed and essential for reliability, the timely action
14 on those is going to become important for us to be able
15 to maintain reliability in the coming years, and
16 hopefully this conference will shed some light on that
17 and help facilitate the progress of many of those
18 initiatives. Thank you.

19 MR. KIRBY: -- So it's not just a question
20 of needing the transmission to bring in generation from
21 another state. It's to -- even if you built generation
22 on the grid here, that to move it around over these spots
23 and around these hot spots here, the transmission is not
24 just needed for import reasons only.

25 MR. VAN WELIE: Right. That's correct.

1 MR. KIRBY: Okay.

2 MR. VAN WELIE: Transmission of circuits,
3 for example, and other equipment within the region itself
4 that prevents significant new addition.

5 MR. KIRBY: Explain to me what the red
6 spots on this map mean. What does --

7 MR. VAN WELIE: The red spots really are
8 the areas in jeopardy, going through one of the -- we use
9 a model, power world simulator program, which identifies
10 circuits that are susceptible to thermal overload,
11 voltage violation, in terms of maintaining proper
12 voltages or possibly voltage collapse under various CPC
13 scenarios. And so with that highlight are the margins
14 that without improvement that we could face one of those
15 adverse conditions that would then jeopardize the
16 (indiscernible) if you have to be forced to load release
17 --

18 MR. KIRBY: Is the Phase 2 plan intended
19 to eliminate all of that or could some more focused
20 surgical work be done today to avoid these particular
21 problems in addition to those?

22 MR. VAN WELIE: The Phase 1 and Phase 2
23 together are designed to alleviate most of these
24 conditions.

25 MR. KIRBY: Because they take some of the

1 traffic, so to speak, and put it on a different
2 electrical highway?

3 MR. VAN WELIE: Yes, bring in a 345. Much
4 of this area is not only difficult to do, but it's not a
5 345. It's at a 115-kV level, which is a borderline
6 distribution level.

7 MR. KIRBY: Right.

8 MR. VAN WELIE: And it really just gets --
9 it's not really sufficient to deal with the problem of
10 the power distribution regarding these lines.

11 CHAIRPERSON WOOD: Pat Wood. Could I just
12 add something to that? I think this is a very, very good
13 slide because what it does is it illustrates the problem
14 that we're facing with respect to operating the system
15 every day. That slide shows you something which has been
16 20 years in the making. So I just wanted to say that
17 when we come to the discussion about why is it taking so
18 long to find a viable engineering solution to this, the
19 problem is that we've let the system deteriorate over a
20 period of over two decades to a point now where we are
21 highly constrained. And so what I'm hoping we will get
22 out of this conference is some discussion about how we
23 relieve some of those constraints because in the end
24 you've got to have engineers build something that will
25 work and that will be reliable. And in that situation,

1 you've got to give them some ability to engineer a robust
2 solution.

3 And I think part of what's causing the
4 problem at the moment in terms of finding solutions is
5 that we've got an over-constrained situation. And so
6 part of the process going forward I think is how do we
7 work together collectively to relieve some of those
8 constraints.

9 MR. KIRBY: Thanks, Gordon.

10 CHAIRPERSON WOOD: Would you hit the next
11 slide? The bottom four items there, certainly I know the
12 state's really in the driver's seat on these. But some
13 of these are still on FERC's agenda as well. And I just
14 want to understand that first bullet there, investment
15 and capacity where it's needed most, that would be
16 generation capacity or both generation and transmission?

17 MR. VAN WELIE: That is -- well, these are
18 in terms of the marketing aspect, what I call it. We do
19 need both. This particular bullet was emphasizing on the
20 market side, meaning the generation.

21 CHAIRPERSON WOOD: So that -- so looking
22 back at the slide where you had southwest Connecticut,
23 then you had the net generation bar -- I'll call it being
24 a green colored bar back on Slide No. 5? So you're
25 basically saying increase that bright green line upward?

1 MR. VAN WELIE: Yes. Total -- both in
2 Connecticut as a whole in the long-term and in southwest
3 Connecticut in general we need strength in terms of both
4 supply in the area and generating ability measures as
5 well as the import capability. We'll need to expand
6 those.

7 CHAIRPERSON WOOD: Okay. And maybe, Don,
8 you can you help me on this one. Is it as difficult to
9 build a generation plant as it is transmission plant in
10 this part of the state?

11 COMMISSIONER DOWNES: Perhaps even more
12 so, conceivably. To the extent that -- most of the
13 plants in southwestern Connecticut happen to be on the
14 coast. And the reason is because they need an access to
15 deep water and heavy rail service for fuels. Those are
16 sites which we intend to hold onto. We're a very small,
17 densely populated state. We don't have a lot of options
18 for new sites.

19 To the extent that those existing sites
20 are transformed, we take down the old generation that's
21 not appropriate any longer and build new peaking
22 generation, for example. So, to that extent, the siting
23 process is much easier because you're using a brownfield
24 site and there's already the data behind it.

25 CHAIRPERSON WOOD: Right.

1 COMMISSIONER DOWNES: But in terms of new
2 greenfield site generation, I'd suggest that's very, very
3 difficult.

4 CHAIRPERSON WOOD: Well, he had mentioned
5 -- I think on that last slide, he mentioned repairing of
6 older units. I mean what, from an electrical view -- I'm
7 looking down at Gordon, too. What can be done on that?
8 Because it avoids a lot of the, you know, the
9 environmental and siting issues if you're using a site
10 that's been doing that for 40-plus years.

11 MR. VAN WELIE: Well, let me try and
12 answer it. I think there's two things. The first is
13 Kevin mentioned the concept of head room. So you can't
14 start disconnecting and connecting generation if you're
15 right up against the ceiling of your available
16 transmission capacity. So the first problem we've got
17 today is that it's very difficult for us to even do that
18 because we're so close to the available -- we've passed
19 the limit really of essentially the transmission system.

20 So building out the transmission
21 infrastructure not only -- it solves a number of
22 problems. Not only does it allow you to import more
23 generation, but it allows -- gives you the head room to
24 start the process of repowering some of that 30-40-year-
25 old generation. So that's step one.

1 The other part of the solution is you've
2 got to make it financially viable to be part of the
3 generation. Hence, the discussion around some form of
4 capacity market. So you've got to have both elements in
5 order to solve this problem. This is not something
6 Connecticut can turn away from. It needs both parts of
7 the solution in order to have a robust energy
8 infrastructure.

9 CHAIRPERSON WOOD: I think our intention
10 is to try and begin, as Gordon suggested, by addressing
11 the transmission problem in order to put us in a position
12 to transform the generation. There are really two kinds
13 of problems. As Kevin's slide showed, first we have just
14 a general shortage of capacity. The good news is we have
15 several plants. We have one in Meriden. We have one in
16 Oxford. There are perhaps some others that are partially
17 finished. Those are fairly good-sized, combined-cycle,
18 essentially base load plants.

19 The ones in Fairfield County and the ones
20 along the coast essentially have a different problem.
21 They are mismatched to the load. They are, as a general
22 proposition, giant base load units which in many cases
23 are being run in effect as peakers. We keep them running
24 in 24-hour spinning reserve for months and months and
25 months on end because we might need that power at some

1 point. And it takes us three to four days to bring those
2 plants up.

3 So that piece of it really is a matter of
4 transformation of the existing units down there in
5 Fairfield County. And I think -- I think there are a
6 variety of strategies we can take. I think this is
7 probably going to have to be one of those things where
8 the industry and the government work together in order to
9 find the siting solutions and the political solutions as
10 well. I mean at the end of the day, none of the --
11 Gordon's points are well taken. But the third leg of
12 that stool is any solution has to be one that is
13 politically acceptable.

14 To the extent that we take large,
15 obsolete, fairly heavily polluting base load plants off
16 line and replace them with relatively new, much cleaner
17 peaking units that run much less time -- so to that
18 extent, from the point of view of the residents in the
19 area, it's not a bad trade. I mean nobody wants a power
20 plant in their back yard. But if you're going to have
21 one, let's at least have one that's relatively clean and
22 considerably smaller and runs less time.

23 So I think some of the elements are in
24 place. But it's clearly going to require a forward-
25 looking plan. This is what -- this is basically what the

1 new Connecticut Energy Advisory Board is about; is
2 developing an energy plan assessing the needs and the
3 shortages and then literally going out and finding people
4 to pursue those projects.

5 ATTORNEY GENERAL BLUMENTHAL: Mr.
6 Chairman?

7 CHAIRPERSON WOOD: Yes, Attorney General?

8 ATTORNEY GENERAL BLUMENTHAL: Going back
9 to your thermal overload slide, I think I recognize most
10 of Phase 1 and Phase 2 in the routes here. Would all of
11 these thermal overload problems be solved by the proposed
12 345-kV line, Phase 1 and Phase 2?

13 MR. KIRBY: My understanding is
14 essentially all of them would be.

15 ATTORNEY GENERAL BLUMENTHAL: And this
16 slide says nothing about the specific route of that line
17 or how it's configured or what the rights-of-way are
18 going to be or any of the other characteristics of it.

19 MR. KIRBY: No. The functional capability
20 of the Phase 1 and Phase 2 (indiscernible).

21 ATTORNEY GENERAL BLUMENTHAL: Thank you.

22 CHAIRPERSON WOOD: You mentioned I think
23 on that same chart the Attorney General is talking about
24 -- you've got a time line that assumes Phase 1 was on in
25 -- this is No. 6 -- 2006 and that Phase 2 would then come

1 on in 2008. Is that where the current timetable is for
2 these projects?

3 MR. KIRBY: We're looking at those as the
4 earliest dates that this project -- this stage --

5 MR. VAN WELIE: Let me just jump in there.
6 I draw your attention to the note in the bottom right-
7 hand corner, which is those were the optimistic dates
8 some while back. And so what we've probably shown is the
9 information from our most recent regional transmission
10 expansion plan.

11 Obviously, what's happening is that we are
12 seeing the dates slide out as a result of the
13 difficulties of finding a solution that meets both the
14 reliability and operability criteria. So the point is
15 those dates are at risk and probably are no longer
16 realistic.

17 MR. KIRBY: Just to point out, to expand
18 on that, if you look at the chart, if you would take away
19 the Phase 1, Phase 2, but keep in the emergency -- in
20 those orange blocks, what you could see is we're just
21 barely -- with the use of those emergency blocks we're
22 just barely there in the current years 2006 - 2007.

23 CHAIRPERSON WOOD: So in order to do the
24 swap-out that you're talking about to repower and replace
25 the old, dirty, inefficient stuff with newer, cleaner,

1 more efficient plants, it's going to be -- it's a
2 significant size, it's not going to be til '08, or until
3 phase two is done until you can do the kind of
4 environmentally benign swap-out.

5 MR. KIRBY: Yeah. As a general
6 proposition, Phase 1 is of limited value to us because it
7 runs essentially north and south from Bethel to Norwalk,
8 essentially. It's the Phase 2 piece particularly --
9 well, we don't have a map. But the Phase 2 basically
10 from the Norwalk area up to approximately Milford or so,
11 which is really the key piece of Phase 2 in terms of
12 having something to attach new generation to.

13 CHAIRPERSON WOOD: All right. Okay.
14 Thank you.

15 Go ahead.

16 COMMISSIONER BROWNELL: I think
17 Representative --

18 CHAIRPERSON WOOD: Oh. I'm sorry. I
19 wanted to welcome Representative Kevin DelGobbo here.
20 Appreciate you're being here.

21 REPRESENTATIVE DelGOBBO: Thank you, sir.
22 Just a quick point and a question. The point is to
23 follow on the Attorney General's question. And I'd
24 invite anybody to correct this statement. My
25 understanding is in addition to these infamous

1 transmission projects that there is, in addition to that,
2 an existing substantial program ongoing throughout
3 Connecticut for sort of transportation -- the underlying
4 system improvements throughout Connecticut, which I think
5 in some ways are identified in that sort of hot spot page
6 -- and I just sort of invited comment on that.

7 My more direct question to you, Kevin, is
8 the -- could you characterize for us briefly the regional
9 planning for -- you've focused here just on Connecticut
10 to some -- to a large degree in how you described the
11 generation capacity outlook. One of the issues that we
12 have in Connecticut is -- that's always put in our face
13 is like, yeah, we believe this is the right plan. But we
14 always tried to describe it as it is not just Connecticut
15 that stands alone. Could you give us a little better
16 picture on how we could feel comfortable that is regional
17 planning, too? If we're going to put X amount of
18 generation in Connecticut, that that, in fact, fits in
19 our New England grid forward-looking plan to meet demand
20 and that we can feel comfortable that that's, in fact,
21 happening?

22 MR. KIRBY: I'd be happy to. At ISO New
23 England, the -- we run an original expansion plan that's
24 focused on both transmission and generation sources as
25 well as the demand side resources. And that's a

1 comprehensive plan that's fairly rigorous. It's a very
2 comprehensive plan that looks at the infrastructure
3 throughout New England and it's broken up to quite a few
4 sub-regions for analytical purposes. And that has
5 identified other areas in need of improvement. It
6 identified in the Greater Boston area and action is being
7 taken to improve that situation. It really is, you know
8 -- throughout this year, the Siting Board is acting on
9 some applications there to make a major transmission
10 improvement into the downtown area of Boston, as well as
11 to the North Shore.

12 In northwest Vermont, we have a similar
13 situation. Again, you know, there's a smaller quantity
14 of load up there. But it's an area that needed some
15 transmission improvement.

16 In addition to that, in any given year
17 there are many incremental projects that are done on the
18 transmission system to be able to get more out of -- more
19 capability out of the current infrastructure. The
20 generation supply potential is also examined in that
21 proposal, as well as the demand response resources that
22 are available to us to be able to look at our current
23 situation as well as project the ability to move power
24 throughout New England.

25 REP. DelGOBBO: Excuse me. Just to be

1 clear, what I want to understand is that what you
2 presented to us today -- can we take that as contextual,
3 meaning that these responses in Connecticut are very
4 specifically needed, not just as we look at Connecticut
5 but in the fact -- in the conditions that you foresee for
6 the entire region, in other words, the new generation
7 that you might contemplate throughout the New England
8 region and the transportation issues that are being dealt
9 with throughout New England.

10 So it's, in fact, when you present that
11 conclusion for Connecticut, you're representing that that
12 is in the context of what you foresee happening in the
13 region. Correct?

14 MR. KIRBY: Yes. It is in the context of
15 that overall plan.

16 REPRESENTATIVE DelGOBBO: Okay. Thank
17 you. Thank you, Kevin.

18 MR. GETZ: Mr. Chairman?

19 CHAIRPERSON WOOD: I'm sorry.

20 MR. GETZ: If I could follow up? I guess
21 I have kind of the opposite concern that -- about
22 everything proceeding the way it should in the rest of
23 New England and the concept of what's happening in
24 Connecticut. Could you turn to that Slide A on the pre-
25 contingency violations? I know Gordon raised the issue

1 of there's a problem long time in coming. And you've
2 talked about the importance of timeliness in building a
3 lot of these projects.

4 But putting that aside for the moment,
5 could you speak to how these current reliability issues
6 implicate the rest of New England? Is this a problem
7 that's being current exported that's causing
8 unreliability throughout the whole New England system?

9 MR. KIRBY: Currently for the rest of New
10 England we are able to draw within the reliability
11 criteria. Some of these issues, these post-contingency
12 violations that could occur are handled through responses
13 we have in the Connecticut area and our procedures would
14 work to contain the problem, should it manifest itself,
15 to keep it from cascading to the rest of New England. It
16 becomes more difficult to do that over time, depending on
17 the severity of the problem, to be able to address those
18 post-contingency issues.

19 MR. BOGUSLAWSKI: If I could, Mr.
20 Chairman?

21 Chairman Getz, I think that what Kevin was
22 saying is that we do go through a regional assessment and
23 we do look at the various load areas on a sub-region by
24 sub-region basis throughout New England. And it is not
25 uncommon at all to find these purplish areas in spots

1 throughout New England as you look out into the future.

2 And in your state, New Hampshire, there
3 are several projects that we have built, several lines we
4 have upgraded, several substations we have had to upgrade
5 because of thermal overloads, voltage sags and so forth.

6 So when Gordon Van Welie says that this
7 has been 20 years in the making, I think the context that
8 you need with that statement is really that -- is really
9 one of the world in which we live in. Electricity is
10 really one of the marvels of our day. It is a relatively
11 simple system identified decades ago and, as computer
12 technology advances and our equipment sophistication
13 advances and our customers' equipment sophistication
14 advances, the need for reliability grows and grows and
15 grows.

16 And the modeling capability that we in the
17 industry have today is far more sophisticated than it was
18 even five or ten years ago. And as a result, what you
19 see when you do planning today is you expose where those
20 reliability needs are today and will be tomorrow. And so
21 it is not at all uncommon when you do long-term
22 transmission planning to see that there are problems that
23 are evolving.

24 And I think what everyone in our society
25 wants is they want a system that's not only reliable

1 today but will be reliable tomorrow.

2 MR. WHITLEY: Steve Whitley. I'd like to
3 add a comment, too, as far as the real time operation of
4 the system. We certainly operate the system every day to
5 make sure that we don't have contingencies that overload
6 and cause cascading. And we do that by dispatching the
7 system out of order many times and, if we have to, we
8 will shed load to prevent these overloads from happening.

9 But this is a planning snapshot, like Dave
10 and Kevin have just said, looking at the future and
11 showing us we really have a system that is collapsing if
12 we don't do something about it. And our ability to
13 continue to operate like that, you know, we're running
14 out of room.

15 MR. McCLELLAND: Kevin -- I think I'm on.
16 Kevin, you mentioned that there should be
17 some levels of must-run generation. I think that's an
18 important distinction. How much generation are you
19 talking about and what is the impact to the transmission
20 system?

21 MR. KIRBY: Let me just clarify. In any
22 area, you do need local generation to be running to meet
23 the demand up to -- certainly to cover what you cannot
24 economically import to the area. So the quantity varies
25 hour to hour throughout the year in terms of what's

1 actually on. I refer to what we call reliability must-
2 run contracts, does not necessarily mean that those
3 contracts or those power plants need to run continuously
4 throughout the year, but they need to be available to us
5 certainly during the peak hours or in hours where there
6 might be other outages, transmission outages or
7 generation, where those units need to be run
8 periodically.

9 So it really gets into the standby
10 capability. And as Chairman Downes mentioned earlier,
11 that the -- to the extent that they're being used for a
12 limited number of hours in a given day, what we end up
13 with sometimes is a mismatch between the characteristics
14 of those units and the operating characteristics that
15 would be most efficient or the most cost-effective. And
16 those are paid for through contractual agreements that
17 are approved.

18 MR. McCLELLAND: The studies that I've
19 seen for the contingency analysis -- let me try this
20 again. I'm having a little trouble with the microphone.
21 The studies I've seen for the contingency analysis on the
22 alternatives for the transmission system, they link
23 generation with transmission capabilities. How much
24 generation -- if you could wave the magic wand over the
25 system and you could look at import versus localized

1 generation, how much generation -- what level of
2 generation would be necessary to stabilize the system or
3 to complement the system design? And I'm referring, in
4 particular, to, say, the underground configuration or the
5 underground option.

6 MR. KIRBY: I'm not sure I follow the
7 distinction with the underground option in terms of the
8 question. But the balance in terms of generation, say on
9 a major interface, you need to have sufficient that if
10 that major interface -- one of the lines was out for
11 repair or was forced out due to a lightning strike, in
12 those types of contingencies, that you would have
13 sufficient generation on the constraint side to be able
14 to make up that difference and reliably serve load.

15 Steve?

16 MR. WHITLEY: I'd like to add a point that
17 a lot of folks don't understand, also, about the weakness
18 of this network in southwest Connecticut. It's a 115-kV
19 mesh network that's tightly connected and we're right at
20 the limits of short-circuit availability, along with the
21 circuit breakers there. So we actually have to design
22 one with what you can buy to operate and the safety limit
23 for substation operators to work. And so we really can't
24 take a new generating plant and put it down there unless
25 we get the transmission system that is being proposed to

1 work and get it in place so that we can move some of the
2 generation over essentially to the 345 and then
3 reconfigure the 115 to do what it needs to do.

4 So that's one of the core problems is the
5 inability, even if we had generation that we wanted to
6 locate there, because of the weakness of the system
7 today, it can't be done.

8 MR. KIRBY: I mean just to illustrate that
9 point. We've seen this year in the Milford area, which is
10 right in the heart of this, you know, some of this area,
11 we had some new generation added to that area. And with
12 that new generation, that displaced some of the existing
13 generation because we weren't able to move all of that
14 power to where it was needed. So we ended up with those
15 internal limits on that, not being able to absorb the new
16 plus keep the old.

17 MS. MCKINLEY: We have a comment from
18 Roger Zaklukiewicz.

19 MR. ZAKLUKIEWICZ: In response to Chairman
20 Getz's comments, recognize that the overloaded 115-kV
21 system in Connecticut has an impact on transfers between
22 New England and New York on a minute-to-minute basis. So
23 when the underlying 115-kV systems that are shown here
24 are overloaded, it has a direct impact on the operating
25 capabilities of the New York power pool along with ISO

1 New England and the transfers that can occur minute to
2 minute between New York and New England.

3 So to characterize this as a Connecticut
4 only problem -- I just want to make certain we understand
5 regionally, upon the loss of any two 345-kV ties which
6 carry most of the power between New York and New England
7 -- upon the loss of any one of those, the power then will
8 flow on to the underlying 115-kV and 230-kV systems which
9 interconnect the two areas. And if the 115-kV system is
10 already pre-loaded, then the overall transfer limit has
11 to be much lower than what it would be if the underlying
12 system could handle the overflow for the loss of any of
13 the 345-kV lines between New England and New York.

14 MR. GERMANI: I want to just take a quick
15 second and thank you, Kevin, for your presentation. I
16 know you've got two more speakers before this panel goes.

17 To paraphrase Bill O'Reilly, this thing
18 should stop here. We're not just having this meeting
19 today in Connecticut because it's a nice place to visit
20 or it's the middle of New England. We're having this
21 meeting here in Connecticut because Connecticut has some
22 major, major problems. And, yeah, we are all
23 interconnected, but this is a product of many years of
24 Connecticut not doing what it should do.

25 And I'm not going into political office or

1 I'm not an electrical engineer. But let's inject some
2 reality. This is basically a Connecticut problem which
3 is spilling over into the rest of New England. And it's
4 not because we in Rhode Island, for example, have not
5 done what we should do.

6 CHAIRPERSON WOOD: Representative Vicky
7 Nardello, who is from the House Energy Committee, I think
8 is down here on the dais. I want to welcome the
9 legislators to our forum here and thank you for being
10 here.

11 Kevin, thank you for your presentation.
12 We will probably be visiting with you more during the
13 day.

14 Sarah?

15 MS. MCKINLEY: Thank you very much. Next
16 we're going to hear from Derek Phelps, Executive Director
17 of the Connecticut Siting Council, with an update of
18 their activity.

19 MR. PHELPS: Thank you. Good morning.

20 COMMISSIONER DOWNES: Mr. Phelps, before
21 you begin, may I just quickly interject?

22 Mr. Phelps is the Executive Director of
23 the Connecticut Siting Council. As many of you know, the
24 Connecticut Siting Council has before it a number of
25 matters, including Phases 1 and 2, various stages.

1 Therefore, while we would like to take a statement from
2 Mr. Phelps, it will not be possible for him to answer
3 questions for that Council. Just one speaker, I'm sure
4 he will make a statement and we will have the chance to
5 ask questions later.

6 MR. PHELPS: Mr. Chairman, I extend to you
7 my heartfelt thanks and sincerest appreciation for that
8 opener.

9 COMMISSIONER DOWNES: You only get one
10 free bite, Derek.

11 MR. PHELPS: Yes, sir.

12 Chairman Wood, Chairman Downes, Attorney
13 General Blumenthal, distinguished guests, ladies and
14 gentlemen, I extend to you greetings from Siting Council
15 Chairman Pam Katz. And I thank you for this opportunity
16 to be here today and participate in this important forum.

17 As indicated, my name is Derek Phelps.
18 I'm the Executive Director of the Connecticut Siting
19 Council, an executive branch agency of Connecticut State
20 Government. The Council has jurisdiction to objectively
21 balance the statewide public need for adequate and
22 reliable services at the lowest reasonable cost to
23 consumers with the need to protect the environment and
24 ecology of the state.

25 The Council jurisdiction exists in certain

1 narrowly defined areas involving the siting and
2 development of specified facilities. Such facilities
3 include power generation and electric transmission
4 infrastructure.

5 The good news for you today is I do not
6 have a Power Point presentation. Bad news is I'm perhaps
7 likely to take as long as some of my previous speakers.
8 I intend today to describe for you, for your benefit, in
9 summary, an explanation, a little bit of the history of
10 this and what the Siting Council has done thus far
11 insofar as the projects are concerned that you heard
12 about this morning already. That includes what's known
13 as Phase 1, the Bethel to Norwalk transmission line
14 project, and Phase 2, the status of that docket that is
15 before us right now, where we stand in that process and a
16 little bit of what the schedule is that lies ahead of us.
17 That is the Middletown to Norwalk project that you have
18 also heard about.

19 On October 15, 2001, Northeast Utilities,
20 which I will hereafter refer to as NU, filed an
21 application to construct a new 345-kV transmission line
22 and reconstruct an existing 115-kV transmission line
23 within an existing right-of-way between Bethel and
24 Norwalk, Connecticut. The right-of-way is about 20 miles
25 long.

1 The Council held public hearings to hear
2 local residents' comments in each of the five affected
3 towns during the winter and spring of 2002. Each town
4 became a party in the proceeding and retained legal
5 counsel. Several community groups formed in opposition
6 to the project and also retained counsel.

7 The Siting Council began evidentiary
8 hearings in December of 2002. But in March of 2003, NU
9 and four of the five towns entered what's known as a
10 joint submission which proposed a route design that the
11 utility company and the four towns had agreed to on their
12 own, referred to as Configuration X. This route
13 configuration involved a hybrid design of cross-linked
14 polyethylene -- that's sometimes referred to as XLPE --
15 and high-pressure fluid-filled, HPFF, technologies.
16 Overall, about half of the transmission line design
17 configuration involves underground construction and half
18 is overhead. Again, half overhead and half underground
19 in the Bethel to Norwalk project.

20 The configuration proposed in this design
21 involved a substantial amount of porpoising, a term which
22 denotes a line traversing from overhead to underground
23 and back again. According to testimony contained in the
24 record, this Configuration X design adds 15 to 20 million
25 dollars in additional costs over the initial all-overhead

1 345-kV design proposed by the applicants.

2 The Council rendered a decision on July 13
3 of '03 approving the configuration design with a
4 modification that involved underground construction of
5 one of the existing 115-kV lines in Norwalk. Norwalk was
6 the one municipality not included in the joint
7 submission. And an alteration to the design of the 345-
8 kV overhead structures in an effort to limit visibility
9 to the urban residents in that area in Norwalk. Also,
10 the Council ordered that the 345-kV transmission line be
11 installed underground in the vicinity of the town of
12 Bethel school complex.

13 Nevertheless, the City of Norwalk filed an
14 appeal with the Council's decision to Connecticut
15 Superior Court on July 14, shortly after our decision, on
16 the basis of several procedural issues as they saw it.
17 The Superior Court denied the appeal on August 18 of '04,
18 about a year later. No further appeal was taken by
19 Norwalk, leaving the Superior Court decision as final.
20 That just occurred a short time ago.

21 The final stage of the Council's actions
22 involving the siting approval of transmission
23 infrastructure such as electric transmission lines is the
24 approval of what is known as D&M plans, development and
25 management plans. Such D&M plans serve to address the

1 plan details for construction plans, site designs,
2 including specific environmental mitigation measures and
3 so on.

4 In the interest of efficiency, NU and the
5 Siting Council have agreed to review the D&M details on
6 that Bethel to Norwalk project in segmented stages. And
7 to that end, the Council is currently in the process of
8 reviewing and considering each of those D&M plans and has
9 approved three such plans thus far, including the Hoyt's
10 Hill Road transmission station in Bethel.

11 The Council intends to complete its review
12 of these D&M plans by the end of this calendar year at
13 the latest -- I wish to stress that point -- in order to
14 facilitate the construction of this line as expeditiously
15 as possible.

16 Now, I'll just describe for you a little
17 bit about where the Phase 2 project stands right now with
18 us. NU and UI, the two companies involved in that
19 project, jointly filed an application to construct a new
20 345-kV transmission line and reconstruct existing 115-kV
21 lines within an existing right-of-way between Middletown
22 and Norwalk on October 9 of last year, slightly over a
23 year ago.

24 The application submitted to the Council
25 proposed a design which involved underground construction

1 of the transmission line project from the Norwalk
2 substation in Norwalk to the East Devon substation in
3 Milford. Thereafter, the transmission lines would run
4 overhead to the Scoville-Warrick substation in
5 Middletown.

6 The right-of-way route is 69 miles long,
7 affecting no fewer than 18 Connecticut cities and towns.
8 I think it might be 19. At a minimum. The Council held
9 several public hearings this past winter in strategically
10 chosen locations along the proposed route. Seven, as I
11 recall. Most of the towns affected by the proposed
12 routes -- most of the towns affected by the proposed
13 route are parties in the proceeding with retained legal
14 counsel and several of the community-based groups that
15 were involved in the Phase 1 proceeding are now involved
16 in the Phase 2 proceeding.

17 Evidentiary hearings in this proceeding
18 began in April and are ongoing. We had our public
19 hearings in the communities shortly thereafter in the
20 spring. And we've had evidentiary hearings on this hours
21 and hours and hours, days really, since April. And they
22 are ongoing. We are in the middle of them now.

23 On June 7, Mr. Whitley I think, seated
24 just a couple of seats to my right, Sr. Vice President
25 and Chief Operating Officer of ISO, the region's bulk

1 power operator and a party in the proceeding, submitted
2 prefiled testimony to the Council which stated with the
3 project design that was the subject of the Phase 2
4 application as proposed by the applicants, quote, "will
5 not operate reliably."

6 As evidence to support its concerns, ISO
7 New England submitted a report entitled "Transience,
8 Harmonics Study/Review" dated June 15 of this year. That
9 essentially called for less underground construction than
10 proposed by the applicants in order to, quote, "reduce
11 the capacitance on the system and, therefore, increase
12 the frequency at which resonance is likely to occur to
13 higher order harmonics to which, if necessary, more
14 practical harmonic filters can be applied."

15 Clearly, these developments occurring some
16 seven months after receipt of the utility company's
17 application to the Council resulted in significant impact
18 to the progress of this docket proceeding. In direct
19 response to the occurrence of Mr. Whitley's testimony and
20 ISO New England, an ad hoc committee, including the
21 principal participants in the proceeding, certainly the
22 applicants, began efforts to assemble a project
23 application to the Council that would meet the
24 reliability concerns of ISO New England and reasonably
25 address the siting concerns of the affected communities.

1 This group, known as the Reliability and Operability
2 Committee or the ROC group, has now been meeting with
3 regularity since July.

4 The Council is currently awaiting receipt
5 of a report from the ROC group that will indicate what
6 transmission line design is proposed for review and
7 consideration by the Council. However, as recently as
8 last week, the Council was advised that this report might
9 not be submitted to the Council until some time in
10 December.

11 Now, I'm going to continue a little
12 further and explain that the Siting Council retained a
13 respected firm with a global presence that is highly
14 experienced at such transmission and distribution design
15 projects as that is, as what is before us presently.

16 So I wish to advise that the Council is
17 recently in receipt of its Executive Summary related to
18 its report from KEMA, which is based in Fairfax,
19 Virginia, the contractor hired to provide independent
20 review and analysis of the Phase 2 project that is
21 currently before us.

22 Please note, however, that because this
23 docket is pending before the Council, I must respectfully
24 decline to answer specific questions that might arise as
25 to the technical merits or any of the other particulars

1 related to the following material which Christine I think
2 has passed out to the audience. Dealing with such
3 matters would best be discussed within the formal
4 proceeding and on the record.

5 I will also remark that this Executive
6 Summary has been sent to the service list as of this
7 morning, as of today.

8 Pursuant to recently passed legislation,
9 KEMA has been charged to explore all technologically
10 feasible options for maximizing an underground solution
11 of this project. To that end, I am pleased to provide a
12 copy of the Executive Summary that is associated with
13 KEMA's report on this project, the final report of which
14 is scheduled to be delivered to the council this Friday.
15 And I will post it. It's going to come to me
16 electronically on Friday. I'll post it to the website by
17 close of business. And for those who are present today -
18 - and I know there are several -- who are on the service
19 list as parties or intervenors in this proceeding, I
20 commit to you that the hard copy will be sent out to you
21 some time during next week. Perhaps Wednesday or
22 Thursday you'll be receiving it.

23 I'm going to quote from the Executive
24 Summary. And I think most of you have it in your hands.
25 You'll find it on Page 2, sort of it in the middle of the

1 document. It reads as follows. "With regard to
2 increased undergrounding between East Devon and Besick,
3 KEMA's results confirm the harmonic resonance performance
4 deteriorates as the amount of additional undergrounding
5 increases. However, the results also indicate that
6 passive filtering would be effective in mitigating these
7 negative effects, especially for additional
8 undergrounding in the range of 10 to 20 miles."

9 Based on these results alone, if
10 effective mitigation is employed, additional
11 undergrounding of up to 20 miles along the proposed
12 corridor from East Devon north to Besick would be
13 technologically feasible.

14 I'm also going to highlight a couple of
15 recommendations that are contained in the Executive
16 Summary and will certainly be contained in the final
17 report. "Based on these study results, KEMA recommends
18 the following two items. One, an optimal application of
19 C-type filters, either alone or in combination with one
20 or two stat coms, should be developed. In so doing, the
21 two C-type filters should be optimized for specific
22 substations and for the entire system. And, two,
23 transient analysis studies should be conducted based on a
24 detailed system model of the selected configuration."

25 Again, this material was being sent to the

1 service list.

2 Finally, let me mention and comment
3 there's already been considerable remarks made here this
4 morning about the consensus as to the frailty, the
5 fragility of the grid in southwestern Connecticut.
6 There's certainly no question that the Siting Council has
7 seen evidence to that effect long before the Phase 1 and
8 Phase 2 applications have been brought in to the Council.

9 There is ample material on file at the
10 Siting Council going back as far as Docket 5, which is a
11 project that the Siting Council undertook in the late
12 70's. So certainly the remarks about the need to improve
13 the grid has been something that has been of record now
14 for a good number of years.

15 In closing, I will merely remark that the
16 Council hopes that the KEMA studies that you have in your
17 hands will contribute to a dynamic discussion and to the
18 technical issues related to this project and will help
19 form a foundation for a solution that balances the
20 concerns that are felt on all sides of this important
21 issue.

22 Again, I thank you for the opportunity to
23 participate in this very important forum here today.

24 MS. MCKINLEY: Since Mr. Phelps will not
25 be entertaining questions, we will go directly to David

1 Boguslawski, Vice President, Transmission Business for
2 Northeast Utilities, who will discuss the recent proposed
3 transmission upgrades.

4 MR. BOGUSLAWSKI: Thank you,
5 Representative Backer, Representative DelGobbo,
6 Representative Nardello, Chairman Wood, Chairman Downes,
7 Commissioners and distinguished guests for holding this
8 conference and attending today on this very important
9 topic.

10 I have some slides here that I'd like to
11 run through fairly quickly. I will try not to repeat
12 what's already been said. I think that what my outline
13 is for the day is basically just touching very briefly on
14 the needs, which have already been covered, talking about
15 the Connecticut siting process, giving you a project
16 status and then talking a bit about finding the right
17 balance. I mean a lot of this has been covered. So I
18 will not dwell here at all. A lot has been said about
19 the reliability of the system. I want to just hit the
20 picture briefly.

21 What you see in this picture with
22 southwest Connecticut is a quarter of the state's
23 geography. It uses half of the power. It is the portion
24 of the state that doesn't have any 345-kV lines. The
25 rest of the state has roughly 300 miles of those lines.

1 With respect to the economic impacts,
2 Commissioner Brownell asks, "What's the cost of not
3 having these lines?" And that's a very difficult
4 question to answer. But I might be able to provide a bit
5 of perspective there.

6 When you consider the fact that we have to
7 run more expensive power plants than we otherwise have to
8 run, that are line losses. The power lost on the lower-
9 voltage lines are more -- are greater than on the higher-
10 voltage lines.

11 When you consider that we have to posture
12 plants, have them ready to run because the transmission
13 system is too weak, and when you add all these things up
14 -- and there are certain other things as well that are
15 costs -- you're probably over the 200-million-dollar-a-
16 year range for Connecticut consumers today.

17 And our concern -- and we think we have a
18 very valid concern -- is that those costs may well triple
19 over the next few years, especially if we don't upgrade
20 the system.

21 And there's been a lot said about the
22 problem that's grown over the years. What I'd like to
23 just briefly touch on in this slide is what have we done;
24 because we've done a lot of things and the State has done
25 a lot of things.

1 Connecticut, with respect to demand side
2 management, probably has one of the most robust
3 conservation and load management programs in the country,
4 award-winning programs that we can be proud of. We have
5 probably the highest per capita investment in
6 conservation and load management in the country. We've
7 added generation. We've added 57 transmission projects.
8 We've used state-of-the-art technology, brand-new
9 technology called static bar compensators and DFR's,
10 which basically help regulate the voltage in a way that
11 allows us to import power. With respect to southwest
12 Connecticut, it allowed us to import about 200 to 300
13 megawatts, which is roughly 10 percent of the usage.

14 Now, where did we put it on the system?
15 Well, we put it in places that we needed to do it. The
16 main L's in the squares are line upgrades we've done. A
17 lot of people don't know about them. A lot of people
18 don't think about them. We've done a lot of this in the
19 past several years, as we do throughout the system in New
20 Hampshire and Massachusetts and Connecticut and other
21 utilities in New England do throughout their areas as
22 well.

23 But we're really out of these band-aids.
24 We don't have any more. And we really have to upgrade
25 the grid. We have proposed three projects, Bethel to

1 Norwalk, Middletown to Norwalk and a cable project
2 running from Norwalk to Stamford called the Glenbrook
3 cables.

4 Now I'd like to talk a bit about the
5 Connecticut siting process which is probably state-of-
6 the-art as well in the nation. The Siting Council was
7 formed in 1971. It uses a very lengthy, 12-month
8 process, full-blown adjudicatory process. Everyone's
9 invited to participate that wants to. And the law that
10 charged the Council with its role, at least up until
11 2004, required that the Council balance three very
12 important things, system reliability, environmental
13 impacts and cost to consumers.

14 Now, as the regulators behind me well know
15 from their experience as regulators, the definition of
16 what balance means really depends upon one's perspective.
17 And just giving three examples, when it comes to many
18 outside of southwest Connecticut, the cost to consumers
19 is really what this is all about. When you think about
20 ISO New England, you tend to think more about system
21 reliability than anything else. And when you think about
22 many of the local opponents, at least I tend to think
23 about environmental impacts, however they may be defined,
24 whether it's vernal pools, whether it's visual impacts,
25 whether it's electric and magnetic fields, whether it's

1 viewscape. And I don't mean to imply that that is their
2 only perspective on any of these, with any of these
3 groups. But they all do have a different way of defining
4 balance.

5 Now, over the years, what I've shown on
6 this chart in the upper half is what we've proposed for
7 transmission projects and in the lower half what laws
8 have been passed that affect the Connecticut Siting
9 Council.

10 And what you see on the upper half is that
11 we've had 57 upgrades to the southwest Connecticut system
12 from 1971 up to 2001, 57 separate projects. We applied
13 for the Bethel to Norwalk line in 2001. The line was
14 certified by the Siting Council in 2003. We applied for
15 Middletown/Norwalk line in 2003. And we expect to
16 receive certification in 2005.

17 At the bottom, I've shown the law creating
18 the Siting Council was established in '71. During the
19 Bethel to Norwalk proceedings, there was a legislative
20 moratorium imposed that basically put the Connecticut
21 Siting Council in a position where they had to hold up
22 hearings until various working group reports were
23 completed in 2003.

24 In 2003, a new law expanded the
25 application requirements. And if I could for just a

1 moment? The application in the Middletown/Norwalk case
2 is nine volumes. This is one volume. The full
3 application was 2800 pages, a little more than 2800
4 pages. And the new laws have expanded the requirements.

5 And in 2004, there was a new law passed
6 that mandates either undergrounding or, in the case of
7 overhead 345-kV lines, buffer zones.

8 As to the project status, the Bethel to
9 Norwalk project which is 21 miles of higher-voltage line
10 and 12 miles of lower-voltage line has the Siting Council
11 -- we have the Siting Council approval. And we are now
12 going through a process of receiving all the additional
13 approvals that are necessary, working with the towns and
14 the communities, working with the Connecticut Department
15 of Environmental Protection, the Army Corps of Engineers,
16 working through the Siting Council to develop detailed
17 design plans.

18 And there really is not one step along the
19 way where we don't incur higher costs. We expect the
20 Siting Council -- I'm very glad to hear Derek Phelps
21 indicate that the Siting Council will be approving the
22 remaining detail plans by year end so we can move on with
23 construction.

24 You see in the bar at the top that we've
25 actually been doing some of the substation work, even

1 during the court appeal period, because we knew or we
2 believed that ultimately a line would get built between
3 the two substations. So we felt that was safe. We will
4 be building the lines over the next year or two and hope
5 to complete them some time in 2006.

6 With respect to the Middletown/Norwalk
7 project, which is 69 miles of 345-kilovolt lines, you can
8 read the bullets there. We are very hopeful that the
9 Siting Council will decide the case early in 2005, will
10 find that right balance and then allow us to build. And
11 we will build as quickly as possible if the line works
12 and if we are very clear that when we build the line, we
13 are --

14
15 Now, in the original application that we
16 filed for Middletown/Norwalk, there were three
17 alternatives proposed. We proposed the preferred route
18 that was 69 miles, 45 miles of overhead, 24 miles of
19 underground. And I really don't want to be shy about it.
20 We heard the communities. We heard the legislators.
21 They demanded underground, as much underground as we
22 could build.

23 The studies that we had and the experience
24 that we had told us that 24 miles was really pushing the
25 envelope. But if we could make 24 miles work, we'd have

1 to displace no homeowners. And we wanted to try and make
2 that happen. So we file an application that had 24 miles
3 of underground in it.

4 But we also filed two other alternatives,
5 one of them that had 60 miles of overhead, 13 miles of
6 underground, and one of them that had 2 miles of
7 underground.

8 I was asked to frame up some of the
9 benefits and drawbacks of some of the technology options
10 that exist for the panel. And when you look at the
11 various costs, the reliability and some other concerns --
12 I put together this chart, which is a Consumer Reports
13 kind of chart. The orangey circles mean good, the
14 purpley circles mean poor.

15 And if you look at the overhead
16 technology, what you see is clearly that would be the
17 lowest cost option, have the best reliability, the best
18 operability. But there are concerns about viewscape.
19 There are concerns about EMF.

20 If you look at an all-underground option,
21 it's pricier. There are definitely reliability concerns
22 to the point where it won't work. There's also EMF with
23 underground lines. I am surprised that a lot of people
24 are surprised about that. But there are concerns about
25 EMF there as well.

1 And one of the things that I think we all
2 underestimate is how do you build underground lines in
3 small roads, on State roads, on congested roads? Well,
4 you do it by spending a lot of time and money, working
5 late at night, paying premiums for overtime for
6 contractors, disrupting traffic, disrupting businesses,
7 disrupting homes. And that's one of the sort of hidden
8 factors in underground that really I wonder whether
9 people have thought about at all.

10 With respect to overhead and underground,
11 I'm not quite sure what the cost will be. We've put
12 estimates out there. But as I indicated earlier, in the
13 Bethel to Norwalk proceeding, at every step along the
14 way, every additional permit that we need to get layers
15 on costs. And I can tell you that what we thought the
16 cost would be in Bethel to Norwalk is going up
17 significantly. The cost of undergrounding, in
18 particular, is going up significantly.

19 And we are trying to find that sweet spot,
20 how to find the most underground that will work.

21 And I've indicated here also some concerns
22 we have with some of the static bar compensators. I
23 think in isolated cases, we are finding -- we've actually
24 investigated the option that is out there, we also have
25 some concerns. But we are going to study it and we're

1 going to look hard to try and find a way.

2 In closing, I just want to say that it is
3 our company's public service obligation -- and the
4 Middletown/Norwalk project, we are co-applicants with
5 United Illuminating. And I know they feel that it's
6 their public service obligation as well. We have a
7 public service obligation to keep the lights on. And we
8 all intend to try to do that.

9 We really can't delay any longer. We are
10 out of time. We want to find the right balance. We're
11 committed to find the right balance. We are pushing and
12 pushing and pushing to find a way to underground as much
13 as possible. And if there's a way, we're going to find
14 it. And if it will work and we're paid for it, we're
15 going to build it.

16 I've summarized today the need for
17 transmission, the siting process project status, the
18 issues associated with the lines. I hope this is helpful
19 to you. I thank you for being here today. And I'd be
20 happy to entertain any questions if you have them.

21 CHAIRPERSON WOOD: I was struck, I think,
22 by your -- I guess because we hear about this from a
23 number of folks across the country in the utility
24 enterprise. But you did mention twice "if we're paid for
25 it." What's the issue there? I thought we'd -- I

1 thought between the feds and the states this was one part
2 of the country where we had the cost recovery issue kind
3 of dealt with. But what's your -- what are you pointing
4 at there?

5 MR. BOGUSLAWSKI: Well, Chairman Wood, we
6 are proposing to build a fairly large project. And as
7 we've discovered building the Bethel to Norwalk line, at
8 every turn along the way someone wants to change the
9 project for some reason in the details. And I am
10 convinced as we go to build the underground sections of
11 the line we are going to find that the upset that's
12 caused with traffic congestion is going to slow the pace,
13 raise the cost -- and I'm just giving you one example.
14 And as a result, the costs are going to go north of the
15 project estimate.

16 And I think as utilities help -- wanting
17 to try and solve the problems, we just want some
18 assurance that that is a reimbursable cost.

19 REPRESENTATIVE DelGOBBO: Thank you.
20 That's a question I would like some reassurance on
21 myself. I'm sure many members here representing the
22 Connecticut viewpoint would love to hear that, Mr.
23 Chairman.

24 I wanted to get a better sense of two
25 points you made. One is you characterized as sort of

1 that. I think once we build the transmission system, we
2 enable the placement of generation in southwest
3 Connecticut. And that helps mitigate any growth in those
4 penalty charges. So, Representative DelGobbo, what I'm -
5 - what I was speaking to really is the concern about
6 those charges going from 100 to 200 million dollars up to
7 maybe three times that amount. And that's what I think
8 we can help mitigate, by building out the transmission
9 system and enabling generation.

10 As to the cost increase in the
11 transmission projects, the increases I've seen are on the
12 Bethel to Norwalk project. The estimates that we had
13 many, many months ago are out of date and we are
14 presently updating them. I know, for example, that
15 there's millions of dollars in changes required -- for
16 example, one of them, the Army Corps of Engineers, in
17 providing us a permit to work in Norwalk substation along
18 the river, required additional retaining walls and civil
19 work that added five million dollars to the project cost.
20 That's just one example.

21 When I say the costs are going up
22 substantially, I mean not by 10 percent, not by 20
23 percent. They're going up much more than that. I am
24 more confident in the Middletown/Norwalk cost estimates
25 that we filed with the Siting Council than I am with the

1 Bethel to Norwalk project. I am more confident with the
2 Glenbrook cable project estimates than I am with the
3 Bethel to Norwalk project.

4 What I think is important, though, is to
5 recognize that the undergrounding has some complications
6 that I'm not sure any of us thought of from a cost
7 perspective.

8 ATTORNEY GENERAL BLUMENTHAL: Mr.
9 Boguslawski, first of all, as one who attended many of
10 those hearings with you late into the night, I know that
11 you did listen. And I thank you for that. And I'm
12 wondering about the Bethel/Norwalk line. Are the
13 increases in cost due to the undergrounding or to other
14 changes, such as the one you just mentioned involving a
15 substation in Norwalk? Are they directly attributable to
16 undergrounding? And, if so, what is it that was not
17 known just a couple of years ago that is now known to
18 drive the cost up by maybe -- I think you just mentioned
19 double or triple.

20 MR. BOGUSLAWSKI: Yes. And I don't want
21 to give anyone the impression --

22 ATTORNEY GENERAL BLUMENTHAL: Triple.

23 MR. BOGUSLAWSKI: You're trying to battle
24 me, I think, a bit. And, Attorney General Blumenthal, I
25 do appreciate you being here. And I remember distinctly

1 in the Bethel to Norwalk proceeding and the
2 Middletown/Norwalk proceeding, one of the public meetings
3 we held, it was about 95 degrees in the gymnasium with no
4 air conditioner. And as we were both up there answering
5 questions from the crowd, I was also saying a prayer that
6 we lasted through that particular day with serving that
7 peak load.

8 The cost increase that we're seeing really
9 comes at us from many directions. The single biggest
10 increase is in the undergrounding. As we receive bids
11 from contractors who will dig in the streets, place the
12 trenches, place the vaults, remove the rock from the rock
13 -- and I think that they're putting premiums on the need,
14 the work hour requirements that we think we're going to
15 have. I think they're putting premiums on the time of
16 year they can work. I think they are putting premiums on
17 the exchange rate with the dollar and the Euro, for
18 example, because these cables are typically manufactured
19 outside the United States. There are several things.

20 And what we are doing right now is going
21 through because we've just received the bids not very
22 long ago and we're trying to peel them all back to take a
23 look at them to figure out what we can do to keep the
24 costs lower than they appear to be heading.

25 ATTORNEY GENERAL BLUMENTHAL: I just had a

1 chance to look at the Executive Summary of the KEMA study
2 that Mr. Phelps distributed earlier. And on an initial
3 reading, it seems to provide a significant new
4 perspective on many of the technical issues that may be
5 involved in the undergrounding issues. Would you agree
6 that it's worthy of serious consideration?

7 MR. BOGUSLAWSKI: I agree that everything
8 is worthy of serious consideration. I, frankly, hope
9 KEMA is right. You know, KEMA is a well-respected firm.
10 The firms that we are using and that ISO New England is
11 using are also very well-respected. And they seem to be
12 coming out with different answers. And so what I think
13 is very important is that we converge on what is the
14 right answer.

15 Now, I don't want to be reading -- I
16 haven't seen the full KEMA report. And I know KEMA was
17 talking about one aspect of reliability, this thing
18 called system harmonics. Yet, if you read down further
19 in their Executive Summary -- and it's only an Executive
20 Summary -- they seem to be signaling that we haven't done
21 transient network analysis, which is sort of the next
22 level. And what I'm hoping is that they're onto an idea
23 that solves one issue that also helps solve the other.
24 But I don't know that until we actually sit down with
25 them and talk to them.

1 ATTORNEY GENERAL BLUMENTHAL: And you plan
2 to do that.

3 MR. BOGUSLAWSKI: I know we're going to do
4 that. I don't know the ground rules of the Siting
5 Council proceeding. So it may have to be in that forum.

6 ATTORNEY GENERAL BLUMENTHAL: Do you have
7 any idea when the final report of the Reliability and
8 Operating Committee will be done?

9 MR. BOGUSLAWSKI: I cannot give you a
10 specific answer. I can simply say that we share
11 everyone's frustration with the length of time that these
12 studies take. They are iterative, computer runs that are
13 minimally inches thick with printout that require
14 analysis. And we've been -- and sometimes when you
15 change some of the variables, you can influence the
16 outcome.

17 What we're struggling with is the experts
18 that we've all used come together, look at the analysis
19 that's been done, even on the 24 miles of underground,
20 and we don't seem to be able to pinpoint why the results
21 are coming out as poor as they are. If we could sense
22 that, if we could sense the underlying reasons, we could
23 change something on the system a bit, make a new run and
24 find that solution.

25 We are all struggling with the puzzled

1 nature of the consultants not being able to come and find
2 the answer. So we are shooting to have something done in
3 December. But it truly is a guess because every week
4 that goes by, we try and crank out a new round of runs, a
5 new round of analysis. We have the consultants working,
6 throwing as many resources as they can afford at the
7 problem. And it's been very, very frustrating to all of
8 us.

9 ATTORNEY GENERAL BLUMENTHAL: And I
10 understand that you share the frustration that has been
11 expressed very vehemently. But, also, I don't take your
12 remarks about delay as blaming communities that have
13 expressed concerns or regulators that have expressed
14 their concerns, but a frustration that is generally
15 shared. I assume that to be the case.

16 MR. BOGUSLAWSKI: I think the frustration
17 is shared by everyone. I'm not sure that there is any
18 one cause for the delay. Clearly, the need to find and
19 the desire to find the most amount of undergrounding
20 possible is really what we're all trying to do.

21 ATTORNEY GENERAL BLUMENTHAL: Thank you.

22 COMMISSIONER BROWNELL: David, just a
23 couple of questions. Thank you. It strikes me, from the
24 number of issues you've raised, that there's kind of no
25 way that we're going to make those optimal dates that we

1 saw earlier, that it just seems very unlikely that, even
2 if everything got resolved tomorrow, we would make those
3 early dates that the ISO was projecting. Is that
4 correct?

5 MR. BOGUSLAWSKI: I need to have a better
6 understanding of what the ISO was projecting. The ISO
7 was projecting '06 for Bethel to Norwalk and '08 for
8 Middletown/Norwalk. And I think that the Bethel to
9 Norwalk dates are not in hand, but they are certainly
10 something that we are shooting for and feel we can
11 accomplish, unless there are some unknown, unpredictable
12 twists coming our way.

13 The Middletown/Norwalk '08 in-service
14 date, we are simply not far enough through the siting
15 process yet to know what we have to build. And I have
16 struggled with answering the in-service date question
17 until I know what it is that has to be built.

18 COMMISSIONER BROWNELL: Okay. Well, I
19 appreciate your honesty. I just want us all to be
20 realistic. So let me make sure that I understand and
21 that we all understand fully the drivers of cost because
22 we've seen this in other regions in the country. The
23 drivers of cost that you've mentioned is the uncertainty
24 of the technology itself, that undergrounding itself is
25 more expensive and there's some degree of uncertainty as

1 to kind of how much you can actually do. Second cost
2 driver is delay. Third cost driver, no particular order,
3 is change orders, as change orders in the construction of
4 a building or your house run up costs. Fourth is labor -
5 - I'm going to call it the housing factor of the labor
6 conditions under which people will have to work. So that
7 the extent to which we can control the delays and we can
8 get some resolution of what the technology is going to be
9 and then make an actual determination of the cost and,
10 frankly, ask the people if they want to pay the premium
11 for the underground lines. Is that a fair assessment?

12 MR. BOGUSLAWSKI: Yes. That's a good
13 summary.

14 COMMISSIONER BROWNELL: Okay. And change
15 orders happen because -- I know surprises happen,
16 unfortunately. But change orders are happening because
17 people are changing their mind. You talked about the
18 Army Corps of Engineers. Is there any way that we could
19 find out what --

20 MR. BOGUSLAWSKI: The agreement up front
21 is -- again, it depends on what we mean by up front.
22 When we go through a Siting Council proceeding, the
23 Siting Council will ultimately agree that a line needs to
24 be built between a couple of substations and they will
25 decide whether the line is overhead, underground, what

1 the voltage is, how many lines you're putting there, how
2 high the structures can be and so forth.

3 What we then need to go through is a
4 process of working with the communities and coming back
5 with a very, very detailed design proposal. And as Derek
6 Phelps indicated, really segment by segment to the Siting
7 Council and their internal review.

8 And the kinds of concerns that come up are
9 many. And they're driven by basically everyone who has
10 an involvement in the project. For example, on the
11 Bethel to Norwalk line, where do you put the transition
12 station exactly from going underground to overhead? If
13 we're moving that transition station by half a mile
14 dramatically changes the cost because you may have to
15 work around -- you may have to acquire property. You may
16 have to increase the underground section by that half a
17 mile. You may have to work on a very narrow street. So
18 there are a lot of -- that's just one example. And I can
19 cite many others. There are many along the way.

20 And I think the permitting process that
21 you go through first is you go through sort of a
22 macroscopic review and you get one level of a
23 certificate. And then you go through the detailed
24 design. And during detail design, for example, one of
25 the things we found in the Bethel to Norwalk case is at

1 the -- in the final order, the Siting Council ordered us
2 to put additional amounts underground. Well, that
3 changed the design of one of the substations because when
4 you come into the substation underground -- and it may be
5 more expensive, gas insulated switch gear. That's one
6 example.

7 And so at every step along the way, until
8 you get to the point where you have all your permits, you
9 really are trying as best you can to keep the change
10 orders to a minimum but you're also trying to navigate
11 through a process where you are cooperating with all the
12 important needs that the constituents have along the way.

13 COMMISSIONER BROWNELL: So when
14 communities may aesthetic choices, for example -- I
15 appreciate the work that you and others have gone
16 through. Are they advised as those aesthetic choices are
17 being made of the cost of those choices? Or as change
18 orders are introduced by Siting Council, does the
19 community who pays the bill have an opportunity to
20 reflect on the importance of those specific changes? Or
21 is that left to the Siting Council to fund-- the local
22 permitting agencies to fundamentally make that decision
23 for the customer along the way?

24 MR. BOGUSLAWSKI: As best as possible, for
25 every decision that has to be made by a regulator, we are

1 trying to identify the cost differences. Generally
2 speaking, the decisions along the way are made by either
3 environmental regulators or the Siting Council. I'll
4 leave it at those two for now.

5 MR. PHELPS: Commissioner, with regard to
6 change orders, I will add that to the extent that you may
7 wish to know what kind of boundaries or parameters are
8 around the issues or the process as they relate to fine
9 tuning and those exact decisions about mitigation
10 measures, design technologies and so on, I will point out
11 that, as Mr. Boguslawski described, we are a quasi-
12 judicial agency, sort of a fully adjudicating agency that
13 maintains very formal procedures. And to that extent,
14 there is a record. And the flexibility or the latitude
15 that the Council has for making adjustments or rendering
16 decisions about the D&M plans and the final construction
17 design and methodology, they must be within the body of
18 the record. To do otherwise requires reopening the
19 record, which I will tell you, you know, the Council is
20 loathe to do barring any real compelling reason.

21 COMMISSIONER BROWNELL: I understand. My
22 only point is that I think it's really terrific to give
23 customers choices and options. Sometimes we ask them to
24 voice an opinion over something about which they have no
25 idea that they're going to be paying the bill for. And I

1 just think in terms of laying out a fact pattern, which I
2 think is what we're all about here, just make sure the
3 people who pay the bill know exactly what they're paying
4 the bill for.

5 MR. PHELPS: Yes, Ma'am. And one last
6 thing. We always ensure that the utility companies work
7 with the municipalities, the elected officials, the
8 legislators, the mayors and first selectmen, go back
9 around for one more consultation period where they
10 actually meet with those local residents and that they
11 are fully engaged in those processes. And to the extent
12 the cost factors are part of those discussions, the
13 communities are informed about that through that second
14 effort before the matter is brought in to us for final
15 action.

16 COMMISSIONER BROWNELL: Thank you.

17 COMMISSIONER DOWNES: David, would you
18 suggest that it was a -- would you agree that it's a fair
19 rendition to suggest that undergrounding per se is not
20 necessarily always the most expensive alternative? If
21 you look at a situation where you have a highly densely
22 populated urban area and you were going to put through
23 overhead lines, then you're going to have to condemn
24 fairly good-sized rights-of-way to make this work. So
25 you're going to wind up taking houses and businesses and

1 whatever else. Whereas, if you underground, presuming
2 that you have a public road or some similar kind of
3 facility nearby, the undergrounding might actually be
4 less expensive when you take into account the whole
5 construction cost than the overhead. Is that, in fact, a
6 fair rendition?

7 MR. BOGUSLAWSKI: Yes, it is. And I want
8 to just point out on this chart, for example, in our
9 filing with the Siting Council we actually pointed that
10 fact out. When we you look at our preferred route of 24
11 miles of underground, what you see is that we are not
12 acquiring additional right-of-way. And Alternative B,
13 which had more of the acres of the right-of-way purchased
14 and acquiring homes, that actually can be more expensive
15 than burying the lines those 24 miles. And that is why
16 we -- that is one of the reasons why we, as a preferred
17 route, said we want to try and make that 24 miles work;
18 because not only -- not only is it what consumers want
19 and legislators want on the points along the way and it's
20 what we want for them, but it also helps keep the cost
21 down.

22 COMMISSIONER DOWNES: Thank you, sir.

23 REPRESENTATIVE DelGOBBO: Mr. Chairman, a
24 quick follow-up actually to Commissioner Brownell's
25 comment. What strikes me is that, in fact,

1 unfortunately, there is not necessarily the connection to
2 the consumer of the costs. There's sort of a disconnect.
3 As the Siting Council considers both the initial
4 application and any variation that goes forward, it's not
5 necessarily connected what that means to dollars to the
6 Connecticut rate payers, although we have an
7 extraordinary Office of Consumer Counsel. That office is
8 aware of it and is trying to always push that envelope.
9 I don't know that there's a real connection to people.
10 And even in the process that you're undergoing right now.
11 I wanted to clarify that because I -- unfortunately, I
12 don't know if that's really been a message that the
13 public in Connecticut has understood, these incremental
14 costs and what they may be looking at.

15 My question to you as the applicant is
16 something that they couldn't answer today. But as we're
17 -- throughout today, we're being presented a picture
18 again of significant concerns of reliability, of what the
19 potential impact is to Connecticut, to the region,
20 throughout this day. You as the applicant today -- I'm a
21 little concerned as I've been an observer on how you're
22 and the other utilities and United Illuminating, pending
23 application, how that's going forward. I'm a little
24 concerned that we're heading to a train wreck and that,
25 in fact, all these nice graphs are nice graphs but that

1 we might not even get there. How do you -- can you give
2 us a sense of how you feel the application process is
3 moving forward and what kind of certainty or comfort
4 level we can have that the issues will get adjudicated in
5 a timely way and we're going to proceed with this
6 transmission project?

7 MR. BOGUSLAWSKI: We know that the
8 application is to run this until April of '05. So we
9 must come forward with a plan or a set of plans, set of
10 options for the Council some time in December. I think
11 January may be pushing it a bit too late. And we intend
12 to do that.

13 But we plan to use the next month, month
14 and a half, to try and find again that sweet spot of
15 exactly how much undergrounding can we do to meet the --
16 to maximize the use of undergrounding on this project.
17 And that's really what's taking the amount of time.

18 We could come forward with a proposal
19 right now, as we have and you see on this page, to put
20 virtually the whole thing overhead. But I think that's
21 only a partial answer to the problem. I think the
22 underground -- the maximum amount of undergrounding that
23 we can do is really something we also have to define and
24 find. And that has been the challenge so far.

25 MS. MCKINLEY: Mr. Chairman, a number of

1 questions have centered on cost and cost allocation. And
2 our next session is going to deal with that issue. And
3 I'd just like to, before we begin this next session,
4 explain the plan. Steve Whitley is going to give a
5 presentation of the estimated cost and potential cost
6 allocation. And the rest of the panel is going to give
7 five-minute opening statements and then we will open it
8 for general discussion. So our first -- our first
9 panelist is Steve Whitley, Senior Vice President, Chief
10 Operating Officer of ISO New England.

11 MR. WHITLEY: Chairman Downes, Chairman
12 Wood, Commissioners, it's indeed an honor to be here
13 today on behalf of ISO New England to talk about cost
14 allocation. Very timely, following up on Dave's
15 presentation. All of the presentations this morning have
16 been very well done.

17 And I'm going to stay at a fairly high
18 level to talk about the process. I think we have a very
19 good process for cost allocation in New England. It's
20 been developed over the last few years. And I think it
21 will go a long way to helping us get the infrastructure
22 put in New England that we need to have to keep the
23 lights on.

24 By way of background, back in July '02,
25 FERC ordered the development of the cost allocation

1 process to accompany commencement of the market design
2 with locational prices of various zones in New England.

3 In its December 2002 interim order, FERC
4 agreed that in order to aid Connecticut's transition to
5 L&P, it would be reasonable to moderate the financial
6 impact of L&P by building a defined set of upgrades in
7 southwest Connecticut.

8 They also challenged ISO New England and
9 NEPOOL to develop a cost allocation method going forward
10 based on an open stakeholder process and based on agreed
11 to principles that would guide cost allocation rules.
12 And I was fortunate to be a part of that process
13 supporting Gerald O'Connor from ISO New England and
14 NEPOOL participants and regulators to go through that
15 process.

16 And just to give you an idea of the kind
17 of principles that we identified as founding principles,
18 one of them was that transmission serves many benefits to
19 the region and to the pool over the long life of the
20 facility. You only have to look back at the last ten
21 years to look at periods when you go through nuclear
22 outages, drought situations, cold snaps. And you may
23 think of bulk transmission lines as just sort of one
24 region of the network primarily. But when you look at
25 those various scenarios, you can see that power flows in

1 many directions on many occasions.

2 Certainly with the advent of 9500
3 megawatts of regeneration in New England over the last
4 four years, we've seen significant change in the flow of
5 power across our grid.

6 We also recognize that the New England
7 grid is very tightly connected. These are small states.
8 Electrically we're close together. And what happens in
9 one of our areas affects the other areas.

10 So we did develop those principles and we
11 developed a process that gained 80 percent support from
12 the NEPOOL participants and in December 2003 FERC
13 approved that filing effective January 2004.

14 There are four key points in this process.
15 First is that the transmission system upgrades that are
16 approved have to be approved through the regional plan
17 process called RTEP, which then identifies the specific
18 transmission upgrades that have regional benefit. And
19 those benefits can be categorized as either reliability
20 benefits or economic benefits.

21 And by way of fact, we now have a number
22 of those projects approved in our RTEP as we've gone
23 through four years of updating this process and improving
24 the process and continuing our planning.

25 At this point, all of the projects are

1 reliability projects except for two, which are economic
2 upgrades.

3 And ISO also approves the reliability of
4 the design proposed by the transmission owner. That's a
5 process to ensure that the upgrade can integrate
6 electrically satisfactorily to the grid and not
7 deteriorate the performance of the grid and enhance the
8 operation of the grid and meet the project's objectives.

9 The third step is that ISO approves the
10 TO's cost allocation application to determine what the
11 project is regionalized to the entire pool and what is
12 localized. And the NEPOOL committees, in fact, the
13 Reliability Committee and the NEPOOL participants
14 committee as a whole provide advisory input in this
15 process.

16 Now, how does that work? Upgrades that
17 don't have regional benefit are not eligible for regional
18 cost supports or portions of an upgrade that doesn't have
19 regional benefit aren't eligible for regional cost
20 support. Therefore, localized costs are the
21 responsibility of the entities causing the cost. If we
22 have a project that requires A to B, a line from A to B
23 and the sound engineering way to produce that project to
24 meet project benefits is an overhead line and additional
25 cost to the project by putting an underground, then that

1 incremental extra cost per this process would not be
2 rolled into the regional cost allocation. It would be
3 the responsibility of the local transmission owner, the
4 local state that imposed that cost.

5 The ISO determines -- reviews the
6 application and determines whether those costs should be
7 regionalized or localized based on the reasonableness of
8 the design and the construction method used. We're
9 basically looking for the project that meets the
10 project's objectives as a reasonable cost and meets all
11 the engineering requirements.

12 But beyond that, the ISO considers good
13 utility practice, the engineering design and construction
14 practices in the area and in the region, alternative
15 feasible and practical transmission upgrades and also, as
16 much as capital, includes the relative cost of
17 construction, operation, timing of implementation,
18 efficiency and reliability of the transmission upgrades.

19 The ISO completes its cost review when the
20 applicants make the proposal and then the transmission
21 owner constructs the project, places the project in
22 service. Then the NEPOOL and the TO file the revenue
23 requirements with FERC annually for inclusion into
24 regional network service for RNS rates.

25 And how does this work? Under a formula

1 rate, the cost for new transmission facilities are shared
2 around the pool on a pro rata basis. Electricity demand
3 in each area of the pool determines its proportionate
4 share of the upgrade cost. However, if one region of a
5 system reduces its electrical use through conservation
6 relative to the rest of the pool, they would pay
7 proportionately less.

8 So, in effect, we have a process that
9 allows transmission upgrades to be built that are to the
10 benefit of the entire pool and are paid for on a pro rata
11 basis, but the incremental cost of any extra facilities
12 that are added that aren't basically required for the
13 project aren't paid for by the pool.

14 This breakdown gives you the regional
15 consumption percentages among the six states based on
16 today's energy requirements.

17 Questions?

18 COMMISSIONER DOWNES: Steve, so, in short,
19 ISO needs to go through the process of determining the
20 regionalized cost versus the localized cost. And if we
21 begin with the assumption for just a moment that integral
22 pieces of the pool transmission facility, the underlying
23 grid, are a regional benefit, then the real decision that
24 ISO is making is primarily one of whether or not the
25 proposal, in fact, actually works and is electrically

1 sufficient and meets good utility practice and
2 engineering design and the other things that you
3 mentioned on Slide 4. Is that, in effect, the situation?

4 MR. WHITLEY: Yes. The first thing, the
5 RTEP identifies the system need.

6 COMMISSIONER DOWNES: Right.

7 MR. WHITLEY: And then the proposal has to
8 meet that need electrically.

9 COMMISSIONER DOWNES: Right.

10 MR. WHITLEY: To keep the lights on. And
11 then once that step is made, the project is approved and
12 the regional transmission expansion plan, then the cost
13 allocation process kicks in. Once the project is
14 determined that it can work, then we look at what is --
15 what are the components of this project and are all the
16 components necessary? All of the components that are
17 necessary end up through this process getting rolled into
18 the regional rate.

19 COMMISSIONER DOWNES: Okay. And just to
20 follow that along for a second. So to the extent that
21 ISO concludes that the cost of a particular project
22 should be spread across New England, all of New England -
23 - so to that extent, they're including something called
24 the regional network service rate.

25 MR. WHITLEY: Yes.

1 COMMISSIONER DOWNES: And that's basically
2 broken down according to the chart that you showed us on
3 Slide 7. Correct?

4 MR. WHITLEY: Basically on a proportion of
5 load.

6 COMMISSIONER DOWNES: Now, the piece that
7 is not added into the regional network service presumably
8 then goes to the local network service?

9 MR. WHITLEY: That's correct.

10 COMMISSIONER DOWNES: Okay. So that would
11 be paid for primarily in Connecticut's case by
12 Connecticut consumers.

13 MR. WHITLEY: That's correct. And I think
14 that's a point that isn't well understood in Connecticut,
15 that we've been trying to get that message out. You
16 can't prejudge the process, but there's certainly a high
17 potential that there is going to be incremental costs
18 based on what you've heard today.

19 COMMISSIONER DOWNES: Thank you, sir.

20 CHAIRPERSON WOOD: Steve, when in the
21 process is that going to be made so that it can help in
22 forming the debate that some of the other decision-makers
23 were talking about in the last --

24 MR. WHITLEY: It would be when the
25 applicant brings the proposal forward. In this case, we

1 have to have a proposal that we all agree can work. We
2 need to work out those details. And then we're able to
3 bring forward a cost estimate for what it's going to take
4 to do that. And then we'll look at that cost estimate
5 and the alternatives.

6 CHAIRPERSON WOOD: Thinking back to David
7 Boguslawski's time line on the two big projects here,
8 when is the kind of witching hour for the Bethel/Norwalk?
9 That's the earlier one. Correct? That's the one that's
10 more advanced in the process?

11 MR. WHITLEY: Yes. That's right.

12 CHAIRPERSON WOOD: He had a chart that
13 looks like that. When in that phase do they bring that
14 to the ISO New England for those determinations to be
15 made?

16 MR. WHITLEY: I think they'll be able to
17 bring that one forward fairly soon. However, the ISO is
18 looking at these two projects as a system. And we have
19 to make sure that both of these two projects work
20 together and they can be operated electrically together.
21 And so that's all dependent on the results of these
22 transient studies that we're doing right now. But I
23 think that project will be able to come forward sooner
24 certainly than the other one.

25 CHAIRPERSON WOOD: And so then the

1 determination as to the split between regionalized costs
2 and localized costs can be made, what, in the next six
3 months for that project?

4 MR. WHITLEY: I think in the next six
5 months.

6 CHAIRPERSON WOOD: And then as to the
7 other large project, assuming, of course, that they work
8 together and they integrate on the engineering side, on
9 the costing side what would be the time table for that?
10 Would it be -- what is it dependent upon? And, Dave, you
11 can jump in here, too. You guys move forward. Then you
12 bring it to the ISO at some stage. What's the triggering
13 event for the utility to bring it to the ISO so that
14 those cost issues can be dealt with?

15 MR. BOGUSLAWSKI: Well, I think we're in a
16 process that has -- is really still in development. And
17 only recently was the process established. And where we
18 are with Bethel to Norwalk is, as I said, we're going
19 through a detailed estimate right now based on the final
20 permitting that we're going through. So I would expect
21 to be before the ISO either end of this year or early
22 next on the first of the two lines.

23 On the second of the two lines, certainly
24 we want to have a good project estimate before we go into
25 the ISO for that cost allocation decision. I think we

1 need to be through the siting process for sure so that we
2 know what the exact route of the line is, if you will,
3 the amount of overhead/underground.

4 At some point between that date, which
5 let's just for talking purposes say April '05, and six
6 months thereafter when we would have done a lot of the
7 detailed engineering, we'd probably be before them. So
8 some time in '05 would be my guess.

9 ATTORNEY GENERAL BLUMENTHAL: Mr.
10 Chairman, may I follow up with a question?

11 I don't know whether you're suggesting,
12 David, that cost allocation would wait until the Siting
13 Council process is fully done. Is that what you're
14 suggesting?

15 MR. BOGUSLAWSKI: Yes. At a minimum,
16 receiving the initial certificate. Whether we go through
17 all of the development and management plan filings or not
18 is a decision that's not made yet.

19 ATTORNEY GENERAL BLUMENTHAL: Well, I
20 would respectfully disagree. And if I may, Mr. Chairman,
21 cite the recent decision of the FERC in the Narragansett
22 Electricity Company case where it held the application or
23 the petition for declaratory ruling by my colleague in
24 Rhode Island as moot was premature at the time, but it
25 did direct that the ISO has an obligation as soon as

1 possible, even before the Siting Council process is done,
2 to determine cost allocation issues for exactly the
3 reason that I think Commissioner Brownell suggested;
4 namely, that the Siting Council and consumers and all of
5 us deserve to know who is going to pay the bill for the
6 changes or incremental costs that may result from changes
7 in the design and so forth.

8 So I would suggest that ISO New England be
9 involved in this process even earlier. And there has
10 been as yet, Mr. Chairman, no indication from ISO as to
11 what the cost allocation would be on Phase 2, which I do
12 think they have an obligation to provide.

13 CHAIRPERSON WOOD: And, Mr. Attorney
14 General, you're correct. Our order in the Lynse Case
15 (phonetic) said exactly that, that the Siting Councils do
16 need to have that type of guidance so that they can make
17 those decisions. And having heard how the Siting Council
18 works just a moment ago from Mr. Phelps, I think that
19 that clearly is where I'm going with my line of
20 questioning. And the sequencing here may not get all the
21 relevant information out. I mean how much are we -- are
22 we talking -- do we have a ball park estimate for the
23 delta or the under-grounding net of the -- I think as Don
24 pointed out, net of the acquisition cost for surface land
25 overhead?

1 MR. BOGUSLAWSKI: The 24 miles of
2 underground proposal that we filed had an estimated cost
3 that was around the same as the overhead, all overhead,
4 solution. They were within a matter of a couple of
5 million dollars of one another.

6 Now, what we -- what we don't know yet is,
7 as we go through all these analyses that we're doing
8 right now -- as we go through the analysis that we must
9 go through to determine whether it will work, we will
10 find that the costs change because we have to add more
11 components to make the undergrounding work.

12 So I think there are advantages of going
13 in sooner, as the Attorney General suggests. And we will
14 certainly reconsider that. I do feel we must have a
15 clear, well-defined proposal and estimate before we take
16 that process forward. And maybe there is a middle ground
17 that we can try and achieve here.

18 MS. HEALY: I would like to just jump in.
19 Mary Healy, Office of Consumer Counsel. And my remarks
20 will follow up a little bit on, Chairman, your question.
21 We think that, too, there is a need to be fully informed
22 on the area of costs that the consumers will pay. We
23 think that there's an obligation and a responsibility of
24 the Siting Council as well; that that is something that
25 was not changed by the underground statute. There

1 clearly is a preference for undergrounding. But it did
2 not change the balancing responsibility that the Siting
3 Council has to undertake amongst reliability, cost and
4 the environmental aspects of a solution that is in front
5 of them.

6 So our position has been that costs are a
7 very essential part of this administrative proceeding at
8 the Siting Council. And that to put that into a clearer
9 context, when this process that Steve Whitley is talking
10 about has determined regional versus localized costs and
11 say it's all underground and there is a reasonable
12 alternative that is far less costly, however, the
13 underground project is going in, well, who is going to
14 pay for those incremental costs? And where is that
15 proceeding going to take place?

16 Well, that's going to take place at the
17 state level in front of the DPUC. Chairman Downes and
18 the Commissioners sitting here are sitting here to be
19 informed and to be ready for that. But that proceeding
20 will have to take place to determine what of the -- who
21 of the Connecticut rate payers will pay for those
22 localized costs that are not deemed in this process, this
23 12-C process, to be regionalized.

24 And to that end, we want to have as much
25 information on the Siting Council record to help inform

1 these decision-makers on localized costs and who should
2 pay for them. And it would help us all in that decision
3 if the Siting Council makes findings to that effect. Is
4 it all of Connecticut rate payers? Is it a certain
5 portion of rate payers who are the only ones clearly
6 benefiting down in that area from certain of the
7 undergrounding effects? Or is it some other sub-set?

8 So that it is really an opportunity that
9 we shouldn't miss. Right now the record is still going
10 on in the proceeding to really get as much information
11 out there on cost and also to have a decision from the
12 Siting Council that will help inform the ISO process as
13 well as the DPUC process.

14 MS. MCKINLEY: Thank you. I think it
15 would be helpful to actually move on with the statements.
16 Mary, would you like to continue with your statement?

17 ATTORNEY GENERAL BLUMENTHAL: Can I -- Mr.
18 Chairman, can I just ask a couple more questions of
19 Steve?

20 CHAIRPERSON WOOD: Yes.

21 ATTORNEY GENERAL BLUMENTHAL: I don't mean
22 to be conflicting about this. But you would agree, would
23 you not, that Phase 1 and Phase 2 have an impact on the
24 entire New England region?

25 MR. WHITLEY: Absolutely. And the ISO

1 supports those, both projects as regional upgrades. They
2 have regional benefits.

3 ATTORNEY GENERAL BLUMENTHAL: And they
4 have significant regional benefits. Do they not?

5 MR. WHITLEY: Absolutely.

6 ATTORNEY GENERAL BLUMENTHAL: Thank you.

7 COMMISSIONER DOWNES: And I'm very sorry,
8 sir. I promise I'll do this very quickly.

9 Steve, I think it may be useful for some
10 of our friends to understand some of the dynamic here.
11 The costs involved in undergrounding, those certainly
12 come from the fact that you have to dig a trench in the
13 ground and put the cable in and put the cable in the
14 vault and run it down the trench.

15 There's a whole second set of costs which
16 has to do with the electrical effects of bundling wires
17 together inside a vault. As a general proposition, when
18 you run wires together on an overhead arrangement where
19 they're separated on those large towers, as a general
20 proposition, the electrical effect of them is to produce
21 a voltage drop over distance. And so we compensate for
22 that by putting capacitors on the system to keep the
23 voltage up every so often.

24 But on an underground basis, you usually
25 have the reverse. When you bundle those wires together,

1 what you get is an increase in voltage over distance.
2 And so then you need some sort of a device to reduce that
3 voltage.

4 So my point is that there's a second set
5 of costs beyond just the digging of the trench and
6 putting them in a vault and so forth. There's also all
7 these various mechanical devices or electrical devices
8 that are necessary to maintain the voltage at a proper
9 level over distance. And the voltage has to stay flat
10 within a very narrow range. Is that a generally accurate
11 statement?

12 MR. WHITLEY: Yes. That's correct.
13 There's actually several aspects of costs I think that we
14 have to look at. There's the capital costs. There are
15 the extra devices that are needed to make it work. Then
16 there's also O&M costs. If you an area of the pool that
17 doesn't have any underground and all of a sudden they're
18 going to have 345-kV underground, that's a major change
19 in the whole operation. They're going to have to have
20 completely different kinds of crews, trained crews and so
21 forth, equipment to manage the operation of that
22 underground system and to maintain it. There are
23 concerns about splashes on underground that have been
24 well discussed at the Siting Council. But those are all
25 pretty big issues and new issues that didn't have a cost

1 associated with them.

2 MS. SUEDEEN KELLY: Steve, when the
3 process begins for determining what's regionalized and
4 what's localized, how long will it take?

5 MR. WHITLEY: It normally takes a couple
6 of months. It takes one month of a transmission owner
7 bringing his alternatives to the participants and a lot
8 of questions are generated. And then the utility goes
9 back and answers the questions and brings those back, the
10 answers back. Normally it takes about two months. This
11 one is so large, though, it may take a little longer than
12 that.

13 MS. SUEDEEN KELLY: And who would initiate
14 the process? Would it be the utility or would it be ISO
15 itself?

16 MR. WHITLEY: The utilities, UI and
17 Northeast Utilities would bring forth their plans to the
18 Reliability Committee of NEPOOL which is a part of the
19 process. And then they would review -- that committee is
20 made up of engineers from the other utilities.
21 Generators, owners, regulators attend that meeting. A
22 lot of questions would be asked. And ultimately a
23 recommendation would be made and the ISO would ultimately
24 decide.

25 MS. SUEDEEN KELLY: And, David, when do

1 you think you might -- do you have a ball park for when
2 you might take it to the ISO?

3 MR. BOGUSLAWSKI: As I indicated earlier,
4 I think on the Bethel/Norwalk project, as soon as we go
5 through a detailed design phase it should be perhaps
6 over the years, we will. I think the Middletown/Norwalk
7 project, I'm sometimes hearing several of you suggest
8 that we go sooner rather than later. And we need to go
9 back and think harder about that and determine whether we
10 can, in fact, do that, given the fact that we are
11 pouring, trying to pour as many resources as we can at
12 doing the technical analysis to find how much
13 undergrounding we can do.

14 So, again, I think I -- one of the things
15 I've gotten out of this conference already is a fairly
16 clear signal from several people that we ought to get in
17 front of the ISO sooner on cost allocation.

18 MS. SUEDEEN KELLY: Thank you.

19 MS. MCKINLEY: Mary, would you like to
20 make your comments now?

21 MS. HEALY: First, just good morning,
22 everybody. Thank you for being here. I think this is a
23 terrific opportunity where we get everybody in the room
24 to share their thinking on how to solve this issue. And
25 I want to thank our FERC Commissioners and our State

1 Commissioners and other assembled dignitaries here and
2 people who are just generally interested or are involved
3 in the complex cases that are going on.

4 Our office has been actively involved in
5 resolving the issues on today's agenda. We are members
6 of NEPOOL in the end user sector. We are very engaged
7 there. We were a party to the Phase 1 transmission line
8 case at the Siting Council. And we are very involved in
9 Phase 2 on behalf of all Connecticut rate payers.

10 And as we know, these involve the lines
11 that are going to be built in southwest Connecticut which
12 we all understand. That's one thing we can agree on.
13 There is a problem that has to be resolved down there.
14 In Connecticut's new transmission line case, the question
15 of how much should be placed underground is front and
16 center in this proceeding and including by virtue of a
17 new state law, Public Act 04-246, that we've been hearing
18 bits and pieces about.

19 And this undergrounding of the line raises
20 two important issues, reliability and cost. And just a
21 few words on reliability. In the state docket, ISO New
22 England has said that the amount of undergrounding is
23 going to impact and degrade reliability. This would be
24 some 24 miles within the 69 miles of the Phase 2 project.

25 In recent weeks, I saw when the utilities,

1 as you have heard, have been engaged in a concerted
2 effort to resolve this issue on reliability with
3 undergrounding by modeling many different line
4 configurations. In effect, ISO is carrying out a dress
5 rehearsal of its so-called 18.4 process where it will
6 look at the Siting Council's certificate to see if it
7 passes its criteria on reliability and other criteria.

8 This ROC Committee issued its most recent
9 report last Friday. We were involved in a conference
10 call. And the planners have ruled out some of the
11 options to increase undergrounding. For instance, the
12 use of -- the extensive use of stat coms is not an option
13 any longer. It is not a reliable option.

14 And I just want to parenthetically add
15 Connecticut rate payers and regional rate payers want
16 reliability first and foremost. We don't want it
17 irregardless of cost. So I'll say a few words on that in
18 a minute. But reliability -- we want to buy a reliable
19 product. We want it to work right the first time. It
20 impacts all of the economic engines, Joe McGee's clients,
21 the CBIA's businesses, we all need -- and our
22 residential, we all need that reliability. That is what
23 we're trying to figure out at this point.

24 And if it can be done by undergrounding it
25 and we get that reliability, then fine. Then we go on to

1 the cost. And as I understand, it's going to take some
2 weeks, maybe months for that ROC Committee to continue
3 their line configurations, their modeling. And so I
4 guess a little patience is in order. But we do have a
5 great deal of urgency about the situation.

6 On to cost. Let's assume the reli-- the
7 configuration has been decided; it passes the reliability
8 muster. The applicants estimate that the Phase 2 line
9 they initially proposed would cost 604 million dollars to
10 build it. And that was overhead. And that's 2003
11 dollars, 604 million. Preliminary estimates suggest that
12 extensive underground construction would at least double
13 this figure. And ISO New England and NEPOOL, as Steve
14 has told us, have in place this cost allocation
15 procedure. It used to be called 50.5. But Steve told me
16 it's now 12-C.

17 And there are several points about this
18 process to keep in mind. First, if the Phase 2 line ends
19 up featuring substantial underground construction, I
20 believe this process is likely to reject New England-wide
21 socialization of most of the incremental costs. Second,
22 aiming the December 2007, quote, placed in line or placed
23 in service deadline that FERC announced in its December
24 2003 order is not likely to change this result. And why
25 do I say that? Because by its own terms, the FERC

1 announcement never reached so far as to guarantee
2 socialization for all costs of either the Phase 1 or the
3 Phase 2 projects.

4 And to clarify, this December 2007
5 deadline has caused some concern about the urgency of
6 trying to get the decisions done because after that
7 whatever is decided wouldn't be eligible for
8 socialization. Well, the reasons we believe that
9 December 2007 date is not a drop-dead date to achieve New
10 England-wide socialization for otherwise eligible costs -
11 - and here I would like to see the Commissioners from
12 FERC nod if they agree, if FERC believes -- if FERC
13 believes that a project in the works now but going into
14 service somewhat after that deadline actually improves
15 system reliability or market efficiency, as any well-
16 designed transmission line would do, then it stands to
17 reason that it would allow some level of socialized cost
18 recovery for that project.

19 Third --

20 A VOICE: They're thinking it over, Mary.

21 MS. HEALY: Yeah. I'll give you a copy of
22 my remarks later.

23 Third, the 12-C, formerly 5.5 procedure,
24 we believe is well thought out and is basically sound.
25 It would unwise for Connecticut to try to evade its

1 effects for our state in the event that the Phase 2 line
2 does end up including substantial underground
3 construction. And this is a long-term view, really.

4 This 12-C procedure is in place for all of
5 New England and for the long run. In the future, for
6 instance, it could enable Connecticut to avoid paying for
7 locally focused costs generated by transmission upgrades
8 in other states.

9 The Siting Council's role in reviewing
10 these transmission line applications is to properly
11 balance multiple considerations. At a minimum, these
12 include, as I indicated before, system reliability,
13 public health and, yes, cost.

14 A new law that Connecticut specially
15 passed, the undergrounding statute, 04-246, does not
16 change this mandate for balance that the Siting Council
17 has. Clearly, that law expresses a preference for
18 underground construction. However, that preference is
19 not to be implemented regardless of other considerations.

20 The applicable laws framing utility rate
21 regulation inherently treat cost and cost containment as
22 a central, inescapable issue. This priority is expressed
23 in different ways in various statutes -- you've seen them
24 -- from just and reasonable rates to, quote, efficient
25 management of the franchise to prudence. But it always

1 there. And it is front and center in this administrative
2 proceeding at the Siting Council.

3 And to sum up, cost is rarely a secondary
4 consideration in utility regulation and it is never an
5 irrelevant one.

6 And if I may indulge, I have to say a
7 brief word on EMF, which is on the agenda. The Siting
8 Council has a mandate to address public health issues as
9 well as reliability and cost issues in evaluating this
10 transmission project. This is where EMF's come in.

11 In the current Phase 2 transmission line
12 case, the expert testimony on EMF dangers is sharply
13 conflicting. And people feel very strongly on both sides
14 of the debate. OCC has not presented its own testimony
15 on this in the current docket. We are not experts on
16 this. It's not part of my mission or my office's
17 mission. But I understand it's very important to many
18 people and I don't undervalue that. But we will be
19 closely evaluating that testimony of other parties in
20 this docket as it proceeds.

21 And one final comment on that. EMF's have
22 reached a somewhat surprising prominence in this Phase 2
23 docket. For instance, in Phase 1 our experience showed
24 us that EMF's played a distinctly secondary role. OCC in
25 both of the transmission line cases has sought to bring

1 the cost issue forward in its broadest context. Our
2 concern, for instance, has not been to minimize the
3 construction cost per mile of specific transmission
4 options. Rather, we've advocated the development of an
5 electricity infrastructure that embodies an overall
6 least-cost solution that gets the job done. This means
7 taking all costs and all benefits into account, not just
8 construction costs for transmission and the benefits of a
9 new line.

10 To decide on a sound basis whether this
11 transmission project is right for Connecticut, one also
12 should examine energy costs, such as L&P, also known as
13 congestion costs, significant multi-million-dollar
14 charges that we all pay as electric rate payers. The
15 costs and benefits of conservation and demand side
16 management continues to be undervalued in the state. I'm
17 hearing more about things about 2008 -- where we're not
18 going to see any new generation, as this gentleman from
19 FERC said, is an opportunity to really get serious and
20 more strategic about that third leg of the stool.

21 Air quality implications of the various
22 projects also must enter into account. This used to be a
23 well-known and well-understood regulatory exercise. It
24 was called integrated resource planning, you may all
25 remember. It's become much more difficult in Connecticut

1 since the electric industry was restructured. But we
2 have to try. And I think that's what we're all about
3 here today.

4 And I'll close by noting that Connecticut
5 has in its new Connecticut Energy Advisory Board a
6 powerful opportunity to approximate integrated resource
7 planning in this new restructured era. I serve on that
8 CEAB board with Chairman Don Downes and acting
9 Commissioner Jane Stahl. The Governor has an appointee
10 on the board, as do the House and the Senate. And it's
11 fully engaged and moving vigorously ahead to get this
12 vital job done of restoring integrated resource planning.
13 It's going to carry out the energy plan that has been
14 articulated for the state and with a sense of urgency.

15 And I thank you for your attention.

16 MS. MCKINLEY: Thank you.

17 We really must move on. Our next
18 presenter is Joseph Brennan, Senior Vice President,
19 representing the Connecticut Business and Industry
20 Association.

21 MR. BRENNAN: Good morning, Chairman Wood,
22 Chairman Downes, other members of the panel and guests.
23 Thank you very much for inviting us here this morning.
24 Let me say at the outset I'm here representing the
25 business community in Connecticut as a whole today. With

1 me to my immediate right is Rob Early. Rob is assistant
2 counsel at CBIA and represents our members before the
3 legislature, the DPUC and Siting Council on energy
4 issues. And also, to Rob's right, is Joe McGee, the Vice
5 President of Public Policy and Programs for SACIA, the
6 business council of Fairfield County. So certainly from
7 Joe's perspective and his members in Fairfield County,
8 about a third of our 10,000 member companies are located
9 in southwest Connecticut. We have a particular interest
10 in this topic.

11 What I'd like to do is just make an
12 opening statement based on overall economic impact of the
13 issues we're discussing, put it in context a little bit
14 about the specific Connecticut economy and then I'd be
15 happy to answer any questions. All of us will be
16 available to do that.

17 The business community is here today
18 because of what's at stake for both our state's consumers
19 and our economy. Reliable and affordable supplies of
20 energy are fundamental to a healthy economy.

21 Currently, the transmission crisis facing
22 our state literally threatens our ability to fuel
23 economic growth. State consumers continue to pay higher
24 costs today because we have not fixed our deficient
25 transmission system. As we heard this morning, the

1 discussion of congestion costs. More importantly, our
2 state remains vulnerable to the severe economic impacts
3 that can result from brownouts and blackouts, as we found
4 out in August of 2003.

5 I'm not going to go through in any detail,
6 but we did do a survey a couple of years ago of
7 businesses across Connecticut as to the impact that
8 unanticipated loss of power would have on their
9 businesses. And some people in the general public might
10 just think a power loss as being out, you know, a day or
11 two after a bad storm. But for these types of
12 businesses, even seconds or minutes can have pretty
13 serious impact on their productivity and on their bottom
14 lines. Particularly with financial services businesses
15 in Connecticut, some of our high-tech manufacturing, any
16 interruption at all has serious implications. We can
17 share that study with you if you're interested.

18 Significantly, Connecticut's electric
19 demand has increased nearly 25 percent over the last 10
20 years. We're more dependent on electricity than any time
21 in our history. This increase occurred despite the
22 conservation efforts in Connecticut that have been models
23 for the rest of the nation.

24 More importantly, the southwest
25 Connecticut region represents the fastest growing demand

1 area in the entire state. In order to continue the
2 important economic growth in the region, we need to
3 ensure southwest Connecticut's access to reliable power.
4 The business community sees no way to ignore the need for
5 dramatic improvements into our current infrastructure.

6 Our overall energy policy has three main
7 priorities. Number one, upgrades to our electric and
8 natural gas transmission systems and the siting of
9 adequate generation capacity. Two, conservation and load
10 management efforts, as well as the development and
11 deployment of alternative energy technologies. And,
12 three, the creation of vibrant competitive marketplaces
13 for both electricity and natural gas.

14 Such a multifaceted approach will likely
15 remedy the problems not only in southwest Connecticut but
16 the entire state and, we believe, in the New England
17 region as a whole. It can also help the Connecticut
18 consumers continue to lead the nation in efficient use of
19 energy and have a reasonable choice of energy resources.

20 We understand that most parties
21 acknowledge a need to upgrade our infrastructure. Our
22 concern is that one or two years from now we're still
23 sitting here everybody acknowledging that need but not
24 having anything been done. Our message today is that the
25 acknowledged need must be coupled with a heightened sense

1 of urgency to get the needed upgrades built.

2 Connecticut fashions itself as a
3 technology state due to the high education levels of our
4 employees, our prominence in research and development,
5 our pharmaceutical, bio-science, insurance and financial
6 services industries, software development, high valued
7 manufacturing and other industries.

8 We will not be able to sustain this type
9 of economy with an antiquated energy infrastructure.
10 Certainly from a competitiveness standpoint, I don't
11 think any of you need to be told that we're in an
12 intensely competitive environment, particularly in
13 Connecticut, the New England region, the U.S. as a whole.

14 Cost impacts are something that are much
15 more problematic for our members than they were 15, 20
16 years ago. So we have to look at every incremental cost
17 in operating a business in Connecticut, whether it's
18 increased cost of producing your product or delivering
19 your service.

20 But as we've seen congestion costs pile up
21 over the last several years -- and, again, this is not
22 anything to do with pointing any fingers at either
23 regulators, legislators, the applicants, community
24 groups, environmentalists, anybody else. All we're
25 trying to say today is that the delay really is causing

1 serious problems. The more we delay, the more those
2 congestion costs are going to increase. The more we
3 delay, the more the construction costs will ultimately be
4 when we finally build something. The costs are really
5 having an impact on Connecticut's economy. And our fear
6 is that impact is only going to grow over time.

7 So basically we're just asking all the
8 parties gathered here today, and certainly with FERC's
9 guidance and influence, to try to move this process along
10 as quickly as possible, to expedite it in any way that's
11 feasible in order that we can begin construction on very,
12 very critical projects.

13 We know the very serious cost allocation
14 and other pricing issues involved. We have been at the
15 table and continue to be at the table to discuss those
16 with you. But the overall message, again, is the sense
17 of urgency that really needs to be underscored in order
18 that we can move these projects forward.

19 Thank you. Again, we'll be happy to
20 answer any questions.

21 MS. MCKINLEY: Thank you, Joe.

22 And now we're going to hear from Joseph
23 McGee, Vice President of Public Policy and Programs of
24 SACIA, the business council of Fairfield County.

25 MR. JOSEPH MCGEE: Thank you. And just

1 let me, for the sake of time, join with Joe and state
2 that we've got a question, though, that was raised this
3 morning I think very powerfully. The cost of this system
4 and the process by which these decisions are made is
5 somewhat confusing. The Norwalk to Bethel line, what's
6 the cost of that project if it's 50/50
7 underground/overhead? What's the differential? We keep
8 hearing -- these numbers keep floating on us. It's 10 to
9 20 million in the DPUC -- in the Siting Council account.
10 It's far more than that in the utility account.

11 The other problem is you can't build Line
12 1 if you don't build Line 2. This is one project, but
13 it's broken up in the process into two. As the customer,
14 we pay the bill on this. We're trying to figure out what
15 will this cost us. If it's simply 10 million more to do
16 the Bethel line and bury it, 10 million financed over 20
17 years is a buck a month to the customer. I think people
18 would say that's reasonable.

19 If it's 150 million, that's another
20 equation. And the problem we're having as a business
21 organization which is a critical issue -- what will this
22 cost us? And I think a way you can be very helpful to
23 this local situation is to put some parameters on when
24 you define it, what's the date certain and no decision is
25 made unless we know the cost of this process.

1 I don't know how anyone buys this pig in a
2 poke. This is a game of Three Card Monty. Here's the
3 pea. We move it over here, move it again. Business
4 people need to know is it reliable? What will it cost?
5 And when is it going to be done? And after this morning,
6 sitting here for three hours, I don't have a clue on
7 that.

8 Thank you. That is unacceptable.

9 MS. MCKINLEY: Thank you, Joe, for those
10 refreshing comments.

11 Our final comments will come from Tom
12 Welch, Chairman of the Maine Public Utilities Commission.

13 MR. WELCH: And happily from Maine
14 following those last comments.

15 I want to speak -- first I want to thank
16 the FERC Commissioners, Chairman Wood and the others, and
17 also, in particular, Don Downes, for allowing me into the
18 state. And my Connecticut colleagues.

19 I'm speaking largely in support of the ISO
20 process of separating base line costs for reliability
21 projects which currently are spread throughout the region
22 and incremental costs to accommodate local concerns,
23 which I think are appropriately borne locally. But I
24 will, just in response to the last speaker, indicate I
25 think that the implications of where costs go and what

1 the magnitude of those costs is is absolutely critical
2 when people are making their decisions about what routes
3 to pick or how much local support they're going to throw
4 one way or the other.

5 But let me step back just a moment. The
6 emergence of markets as a way of allocating resources and
7 bringing benefits to consumers has revealed, though not
8 created, a number of inherent tensions in our collective
9 efforts to ensure reliable and economically efficient
10 electricity infrastructure.

11 The particular tension that's relevant
12 here in part is between ensuring sufficient reliability
13 to move power within and among regions on the one hand
14 and, on the other hand, avoiding structural or systematic
15 bias in favor of transmission at the expense of other
16 approaches that might be capable of delivering the
17 persistently adequate and reliable supply of electricity
18 that our economy and consumers demand.

19 Markets should be as large as information
20 systems, line losses and the practicalities of dispatch
21 and coordination permit. When markets are larger, the
22 overall efficiency of the system is improved to the
23 benefit of the market as a whole. Larger markets permit
24 the capture of the benefits of dispatch over a larger set
25 of available resources, take advantage of load smoothing

1 available when areas with different climate and
2 demographics act in concert, increase fuel diversity and
3 security and reduce the opportunities for the exercise of
4 market power.

5 For this reason it is likely that any
6 transmission project by increasing the extent to which
7 lower-cost power can be brought to higher-cost areas will
8 to some degree enhance the overall welfare of the entire
9 market. But it does not follow that every possible
10 transmission line should be built or that all areas of
11 the market should bear equally the entire cost of every
12 major project.

13 We should not prejudge how to make
14 infrastructure and capacity sufficiently robust for all
15 approaches. New generation, distributed generation,
16 conservation, both persistent and peak shaving, in
17 addition to transmission should be evaluated and
18 encouraged through market and regulatory mechanisms that
19 do not produce artificial results; that is, results that
20 do not reflect effective solutions at economically
21 efficient prices.

22 In a closely analogous way, policy,
23 including the systems of cost allocation, should reflect,
24 to the extent possible and practical, the geographic
25 scope of benefits. The reasons for assigning at least

1 some cost elements to the area that will benefit most are
2 both economic and equitable.

3 On the economic side, if the costs imposed
4 by local aesthetic and political concerns are socialized
5 broadly for transmission but not for other solutions,
6 such as generation, distributed generation and demand
7 response, transmission may become the preferred solution
8 even if it is not the most economically efficient.

9 With respect to equity, it seems difficult
10 to justify taking money from areas that lag in economic
11 growth and the accumulation of wealth which drive
12 respectively the need for additional supply and the
13 political force with less aesthetically intrusive
14 solutions and distributing that money to areas whose very
15 success suggests that they have ample money to pay.

16 Put another way, those of us in less
17 prosperous and slower growing areas can understand why we
18 should pay some portion of projects built to improve the
19 overall economics and reliability of the system of which
20 we are a part. But it is impossible to understand why we
21 should be asked to carry the additional burden of
22 satisfying the aesthetic sensibilities of those whose
23 very prosperity has created the growth in electricity
24 consumption and, thus, the need for the additional
25 infrastructure in the first place.

1 Now, some may argue that because a line
2 needed for reliability will not be built unless local
3 concerns are met, the cost of meeting those concerns
4 should be socialized to improve the changes of
5 construction. Accepting such an argument is fraught with
6 peril to our collective pocketbooks. Such a policy would
7 effectively transfer to local siting boards the right to
8 determine what costs are socialized and remove any
9 incentive to achieve either economic efficiency or
10 equity.

11 This concern is not merely hypothetical.
12 In the deliberations of the Connecticut Siting Board
13 itself of the proposed Phase 1 upgrade in southwest
14 Connecticut, the Siting Board considered that Connecticut
15 rate payers would have to pay only about 27 percent under
16 a socialized regime. And, in part, because Connecticut
17 rate payers would have to pay only about a quarter of the
18 total cost of the project, the Siting Council was willing
19 to approve a plan for using underground transmission
20 lines to address local concerns even though, according to
21 all the testimony we've heard, this plan substantially
22 increased the cost of the project.

23 Now, in Maine, the legislature itself has
24 considered a closely analogous issue and concluded
25 correctly, in my view, that the additional costs imposed

1 by local community concerns should be borne by the local
2 community. Where a community has designated an
3 historical district, for example, the community can
4 insist that the utility either place its structures out
5 of view or underground. But where such a demand is made,
6 the municipality, and not the rate payers in other areas
7 of Maine, must bear the cost of doing so.

8 In conclusion, I fully recognize the need
9 in parts of Connecticut for relief from the reliability
10 concerns that have been rather eloquently articulated
11 today. And I'm also prepared to defer to the ISO's
12 finding that the best available alternative at the moment
13 is the construction of new transmission that can bring
14 additional power into the area.

15 I am even prepared, for the purposes of
16 today's discussion, to recognize that there will be
17 widespread benefits to such new transmission for the
18 entire region and that the region as a whole can
19 reasonably be asked to share in some of the costs. I do
20 not believe there is any justification, however, for
21 asking consumers of electricity outside of the local area
22 to pay for costs beyond those minimally required to build
23 a transmission line that satisfies the dictates of
24 electric reliability.

25 The Commission should, thus, support the

1 ISO's policy that excludes from socialization costs for
2 undergrounding facilities where an aerial alternative is
3 cheaper.

4 In the longer term, we should continue to
5 work towards a more fully integrated system of economic
6 incentives so that, unlike today, decisions among
7 transmission generation, distributed generation and
8 demand response can be made preferably by the market on
9 their underlying economic and reliability attributes and
10 not on systems of unjustified subsidies.

11 MS. MCKINLEY: Thank you.

12 We are running a bit over. Are there any
13 -- a few questions or one question?

14 Mr. Chairman?

15 CHAIRPERSON WOOD: There are probably a
16 lot of issues that get better if you think about them
17 over lunch.

18 MS. MCKINLEY: Then we will reconvene at
19 1:00.

20 CHAIRPERSON WOOD: We'll see everybody at
21 1:00 sharp; we'll begin the presentation.

22 (RECESS)

23 CHAIRPERSON WOOD: Okay. Thank you for
24 coming back promptly. And we have asked a renowned EMF
25 expert, Dr. Robert Goldberg, who is Director for EMF

1 activities and Editor of the EMF Health Report in
2 Philadelphia, to come to discuss some issues which I
3 understand have come up quite a bit and, as we heard
4 today earlier from Mr. Phelps and others, have come up in
5 the context of transmission siting here in Connecticut.
6 And rather than going on with the panel, the technology
7 panel, we thought we'd break out this particular safety-
8 related issue on its own.

9 And I think with no further preface than
10 that, Dr. Goldberg, I'd like to just turn it over to you
11 and let you have the floor.

12 DR. GOLDBERG: I would like to use most of
13 my time just to answer your questions. But I thought it
14 might be helpful to give you first a little bit of
15 background on me, our company and the EMF problem as a
16 health issue.

17 I have a doctorate in medical biophysics
18 from the University of Toronto. I went through a happy
19 early career in research and teaching and then about 19
20 years ago got involved with Information Ventures where,
21 since then, I have been pretty much full-time tracking
22 the world literature on electromagnetic field health
23 effects from static DC fields on up into the power
24 frequencies and up into the microwave and up to the
25 terrahertz range.

1 We, as a company, have maintained a data
2 base where we've collected the world's literature and we
3 have it in a computerized form, now running about 35,000
4 articles and records representing individual publications
5 and meeting abstracts. From that number, I think you see
6 this is a fairly complicated, complex area. And as
7 people have already mentioned -- and I think you've had
8 some experts speaking before this group before -- it's a
9 controversial area. It's an area where there are many
10 unresolved issues and an area where there's a lot of
11 disagreement in terms of what's going on.

12 In terms of what we do with the area, we,
13 in addition to producing this data base, produce the EMF
14 Health Report, which I think you mentioned I'm an editor
15 of. This has been going on for 12 years now as a bi-
16 monthly newsletter covering both the positive and
17 negative aspects of EMF biological effects, not
18 necessarily hazards. But there are many medical
19 applications and basic research as well.

20 We've done reports for the state of
21 Maryland for their environmental group in the PUC
22 monitoring power line issues. We've done some work,
23 reports for Electric Power Research Institute for their
24 member utilities on EMF and cancer specifically. We've
25 done work for Department of Transportation that was

1 concerned about electrical rail transport and the field
2 from those and specifically magnetic levitation train
3 designs which generate some pretty high magnetic fields.

4 And we were involved in the EMF Rapid
5 Program which some of you may have heard of, a
6 congressionally mandated program from 1994 to '99 run by
7 Department of Energy and National Institute of
8 Environmental Health Sciences to basically assess the
9 risks of power line fields.

10 Just briefly, I think most of the concern
11 with EMF centers around the epidemiologic studies which
12 have their origin, at least in the west, in the United
13 States and in the study of Wertheimer and Lieper in 1979
14 where they surveyed the homes, the residences of children
15 who had died of leukemia in the Denver, greater Denver
16 area, and noticed a correlation between presumptive
17 magnetic field levels in the residence and risk of dying;
18 in other words, a higher number of the children, the case
19 children, than a comparable group of control children
20 were exposed to magnetic fields which they measured by a
21 surrogate measure called wire code which was based on
22 computing distance from lines and looking at various
23 transmission and distribution lines and assessing the
24 amount of current they carried.

25 In the 20-year period since that study,

1 there have been perhaps 120 epidemiologic studies of
2 various sizes and qualities, the most recent studies
3 using much more sophisticated methodology in terms of
4 assessing exposure and trying to get a handle on what
5 might be going on.

6 The upshot of all this research is really
7 a statistically significant risk association with
8 childhood leukemia that has caused several groups
9 reviewing this using International Agency for Research on
10 Cancer criteria to class EMF as a possible human
11 carcinogen. And this means simply that there is a
12 statistically significant association representing
13 perhaps a 60 percent to a doubling of risk of contracting
14 leukemia for children living in close proximity to power
15 lines. But at this point, it's very hard to assess what
16 aspect of living next to power lines might be involved.

17 Also, the people who have investigated
18 this have pointed out to some degree of comfort that this
19 appears to occur only with very high levels of exposure.
20 The estimate has been about .8 percent of children might
21 be living in residences that are like this. And,
22 fortunately, childhood leukemia, which is the disease
23 that's been most closely associated, is itself fairly
24 rare. Perhaps three per 100,000 cases, which means that
25 it's, from a public health point of view, not been

1 considered to be a very pressing problem and, from a
2 biological point of view or from a research point of
3 view, means it's been very hard to pin down because you
4 need large numbers of cases to see any effect.

5 So, that being said, there's a large
6 amount of research in basic biological experiments,
7 animal experiments, cell experiments. And I understand
8 you've been regaled with much of this over the years in
9 considering the siting. So I would be prepared to answer
10 any questions you might have on this body of research.

11 CHAIRPERSON WOOD: When I was doing siting
12 issues in Texas, we had a number of EMF issues. What was
13 -- that came up in probably the mid to -- well, pretty
14 much the mid-90's. I recall that there was kind of a
15 seminal study or seminal effort that happened in the late
16 90's that came up in the hearing that I presided over
17 down there that tended to, I think, reduce the concerns
18 on that. Can you walk through what that literature was?

19 DR. GOLDBERG: Yeah. I think you're
20 probably referring to that congressional program, the EMF
21 Rapid Program, which went from '94 to '99. They did a
22 final report in '99.

23 CHAIRPERSON WOOD: Okay.

24 DR. GOLDBERG: And I believe that's --
25 somebody told me you had seen that final report or it's

1 been submitted to this group. Basically, that was a 45-
2 million-dollar research program that was basically aimed
3 at trying to validate some of the laboratory research
4 that was supporting a suggestion of cancer incidence.

5 That particular program didn't do any
6 epidemiology research; that is, looking at human
7 population. But they tried to repeat some of the major
8 studies that had suggested electromagnetic field bio-
9 effects at very low levels of intensity; that is, much
10 lower than the prevailing standards that had been set up
11 based on well-recognized biological effects.

12 And in one sense, I guess it laid some
13 things to rest and they were unable to replicate many
14 different lines of experiments. But they made a decision
15 right at the outset to use a very controlled exposure.
16 And the Department of Energy financed the engineering of
17 exposure systems which were used by the majority of the
18 investigators that gave a very pure, very well controlled
19 sinusoidal 60-hertz signal without any of the spikes and
20 transients that normally occur in electric -- in normal
21 electric power.

22 So this body of negative results, which is
23 I think quite reliable, was called into some doubt by
24 people who weren't willing to accept it by saying they
25 weren't really replicating the original experiments.

1 They were doing a different experiment using this very
2 pure sort of exposure.

3 CHAIRPERSON WOOD: To switch gears a
4 second, is there anything from your studies or from what
5 you've researched on, Dr. Goldberg, that has a
6 distinction between the undergrounding and the above-
7 ground as far as any sort of -- any amounts or what would
8 need to be done --

9 DR. GOLDBERG: Well, I think you may have
10 some discussion on this after me. But I believe the main
11 effect of undergrounding in terms of electromagnetic
12 field levels is to reduce the field levels by phase
13 cancellation. Basically, electric power is delivered
14 usually in three phases which are 120 degrees out of
15 phase and they tend to cancel each other out, which means
16 that when you have two phases in opposition close
17 together, very quickly as you move away from a line --
18 there's, of course, a magnetic field right at the wires.
19 But you move away and the intensity drops off very
20 quickly. As opposed to a single-phase line where it
21 drops off much more slowly.

22 So the primary function of undergrounding
23 in terms of magnetic field reduction is by insulting the
24 lines and bringing them into close proximity, you're
25 getting more phase cancellation and effectively reducing

1 the magnetic field at the source.

2 CHAIRPERSON WOOD: What would be, for
3 example, for the overhead 345 line which are what we're
4 talking about here? What would be the range that would
5 be kind of beyond which the effects are negligible?
6 That's kind of the -- what's the zone of concern, radius?

7 DR. GOLDBERG: Well, the standards in
8 terms of exposure by organizations like IEEE and the
9 ICNER, the international agency, are based on what we
10 call acute effects, effects that can be easily measured
11 and clearly demonstrated in a short-term. For example,
12 in the power frequency range, you're worried about
13 inducing currents in nerve and muscle that might trigger
14 irregular heartbeats or other -- those sorts of problems.
15 And then they establish a standard below, far enough
16 below that level to sort of compensate for unknowns and
17 uncertainties and differences in susceptibility.

18 So that brings you to a level of about one
19 Gauss or a thousand milliGauss in terms of average
20 exposure levels. The upsetting thing or the alarming
21 thing about the epidemiologic studies is that you're
22 dealing with fields that are much lower in terms of the
23 average fields that you can measure for people living in
24 proximity to power lines. And it varies in different
25 studies. But there were two large poolings of these

1 epidemiologic studies that looked at the overall risk of
2 in one case non-combined studies and another case of 15
3 combined studies. One established a level of effect at
4 over three milliGauss, another at over four milliGauss.

5 But I think it's important to realize that
6 these are really descriptive levels. In other words, it
7 doesn't mean that above four milliGauss it's dangerous,
8 below four milliGauss it's safe. It means that people
9 living near power lines seem to be at slightly greater
10 risk and we can characterize those conditions by this
11 average field level.

12 But there are many people who feel that
13 there's something other than the average magnetic field
14 that may be causing the effect. For example, spikes of
15 transients or even contact currents as a result of
16 currents being induced in the household plumbing.

17 And it's all complicated by the fact that
18 the animal studies that I referred to have not in any
19 sort of unequivocal way pinned down a particular exposure
20 where you can take a laboratory rat or mouse, expose them
21 to a particular characteristic of an electromagnetic
22 field and show that you're increasing reliability the
23 incidence of cancer.

24 CHAIRPERSON WOOD: So I'm trying to --
25 based on your studies, how close is close? I mean how

1 close were these lines? And were they large, high-
2 voltage or relatively distribution level? I mean what
3 are we talking about here as far as voltage lines?

4 DR. GOLDBERG: Well, it depends on where
5 the studies were done. The European studies were done
6 with high-voltage lines down at maybe 45 kilovolts, 36
7 kilovolts. They are -- in part because of the electrical
8 practices in Europe, there's a lot of undergrounding.
9 And it was not easy to measure electromagnetic fields.
10 Although some of the later studies were done with
11 personal exposure where people actually walked around for
12 a period of time wearing a meter that would record on a
13 computer what they had been exposed to at any given time.
14 And those levels were average.

15 In the U.S. studies, the wire code that I
16 referred to really concerned both transmission lines and
17 distribution lines and the smaller lines because it was,
18 in fact, the initial look at Denver didn't show much
19 correlation with the transmission lines and that was kind
20 of a puzzle to the initial investigation.

21 So it's really -- I think investigators
22 were looking at this and thinking in terms of magnetic
23 field levels rather than distance, which, as you probably
24 know, depend on the amount of current that's being
25 carried in the line, as well as factors like the

1 distance, physical distance from the line.

2 COMMISSIONER DOWNES: Okay, Doctor. Let
3 me see if I can bring this down to a level that I can
4 understand. First off, going back to the point that my
5 colleague raised a minute ago, so as a general
6 proposition when you -- when you take transmission lines
7 and bundle them together and you put them underground,
8 the EMF result of that is apparently very, very low
9 levels of EMF because the wires are bundled closely
10 together and the phases cancel one another. Did I get
11 that right?

12 DR. GOLDBERG: Yes. That's basically
13 right.

14 COMMISSIONER DOWNES: Okay. By contrast,
15 if you run lines overhead and you separate them by some
16 distance, as you do on typical towers, then that
17 separation as a general proposition does, in fact, create
18 some level of EMF. Correct?

19 DR. GOLDBERG: Well, basically, I mean the
20 only distinction, correction I would make is that what
21 happens is the fields drop -- the way the fields drop off
22 as you move away from --

23 COMMISSIONER DOWNES: I see.

24 DR. GOLDBERG: So when you have a
25 separated line, the fields drop off more slowly, directly

1 proportional to the distance. When you start bundling
2 them, they'll drop off with a square of the distance or a
3 cube of the distance, depending on how they're bundled.

4 And so the fields are just as intense
5 right at the line.

6 COMMISSIONER DOWNES: Right.

7 DR. GOLDBERG: But the way that declines
8 as you move away from it becomes much sharper.

9 COMMISSIONER DOWNES: I see. Now, on a
10 slightly different point, if I understood your exposition
11 at the front end, I think what you were trying to say to
12 us was that at the beginning of the organized effort to
13 look into EMF and its health effects and so forth, the
14 first study or studies -- you mentioned epidemiological
15 studies in particular -- were relatively simple and
16 straightforward. As later studies came on, came through
17 the process, they became somewhat more sophisticated and
18 they tried to look for different factors that might be
19 causing the EMF effects. Is all of that reasonably close
20 to accurate?

21 DR. GOLDBERG: Yes. The term of art is
22 exposure metrics. You know, what exactly are you being
23 exposed to that may be causing the biological effect?

24 COMMISSIONER DOWNES: Okay. Now, in --
25 you know, clearly, the reason that this is an issue in

1 Connecticut is because people are very uncertain about
2 just what it is they're getting into if they -- if you
3 know, Company X builds a transmission line through your
4 particular town, the concern of the citizens is "Okay.
5 You know, what is this really going to mean? Is this
6 going to potentially create a health hazard for me or my
7 children or my animals or whatever?"

8 Now, I realize that there is not a
9 standard buffer zone kind of an arrangement set out in
10 terms of numbers of feet. But lengths of wire are always
11 bought in such a way that there is a substantial
12 clearance on both sides, mostly for the ease of
13 maintenance and inspection and so forth.

14 Are you suggesting that in your opinion it
15 is likely that there is a substantial health risk to
16 people who are living or going to school or whatever
17 within the buffer zone or do you think that there is a
18 health risk some distance out beyond those? Or do you
19 think that there is no health risk at all if they live
20 even underneath the line? In other words, can you give
21 me a sense of where is too close and where is too far
22 away? Do you see where I'm going?

23 DR. GOLDBERG: Yes, I do.

24 COMMISSIONER DOWNES: And I realize it
25 depends on voltage. But we're --

1 DR. GOLDBERG: Yeah.

2 COMMISSIONER DOWNES: But here we're
3 talking about a set of 345's basically.

4 DR. GOLDBERG: Yeah. It actually depends
5 on the current rather than voltage. But --

6 COMMISSIONER DOWNES: Oh, I see. The
7 amperage, in other words.

8 DR. GOLDBERG: Yeah. I mean that's a
9 question which people in my position get asked all the
10 time. It's a perfectly reasonable question. "Is this
11 stuff dangerous?"

12 COMMISSIONER DOWNES: Oh, good. I thought
13 I invented this my very own self. All right. I'm sorry.
14 Please proceed. I couldn't help it.

15 DR. GOLDBERG: The difficulty -- and
16 that's where the ambiguity comes in in terms of the
17 research. That if we could give -- you know, at "X"
18 level of milliGauss or at "X" distance from the line,
19 everything is fine, we would know an awful lot more about
20 EMF bio-effects than we do.

21 About all we can say at this point is that
22 from the level of incidence that's turned up on the
23 epidemiologic studies, this appears to be a rare effect.

24 And my own particular opinion based on laboratory
25 studies, as well as the human studies, is there's an

1 interaction going on that -- you know, to some extent
2 everybody differs in terms of their susceptibility to
3 cigarette smoke or any other toxin in the environment.

4 But there seems to be a very strong role
5 for other factors in the EMF story. And there's probably
6 genetic factors. There may be other chemical carcinogens
7 that may be interacting. There's a lot unknown here.

8 But the bottom line is that these results
9 are so uncertain, the results of the epidemiologic work
10 is so puzzling because why don't we just pin down what's
11 causing the effect. The usual way we would pin this down
12 in, say, an animal study is get 100 rats and expose them
13 to a very high dose of EMF and get, you know, a 20-
14 percent incidence of tumors and then you know exactly
15 what's going on.

16 When you do that experiment, you don't get
17 that high incidence. And many people feel that's because
18 you're ramping up the dose, you know, going up to 100
19 milliGauss or 500 milliGauss, is not really ramping up
20 the exposure. Something else is going on. It's not
21 directly related to the amount of intensity or average
22 intensity.

23 COMMISSIONER DOWNES: Or in any event
24 solely related to that.

25 DR. GOLDBERG: Right. Right. So when

1 people come to me and they say, "Should I buy this house
2 that's near a power line?", you know, generally what I
3 suggest to them is that they look at what the actual
4 magnetic field levels are and then ask if these are much
5 above what people would be experiencing from other
6 sources. I mean you're getting magnetic fields from your
7 household wiring, from any appliances you use. An
8 electric shaver will expose you to 300 milliGauss. So
9 you'll only be using it for, you know, a short period of
10 time in the morning -- I think I see everybody's face --

11 COMMISSIONER DOWNES: I'm shifting over to
12 double-edged razors very shortly.

13 DR. GOLDBERG: That's because you have a
14 motor sitting right up against your face and you have a
15 short distance to the exposure. But nobody has seriously
16 found an association of disease risk with use of electric
17 shavers.

18 It's an unknown because we're exposed to
19 magnetic fields. Always you're comparing exposed with
20 exposed. People who are living away from the power lines
21 are being exposed when they go to work on their electric
22 trains or working in the office. Any time you're -- if
23 you have power, you're exposed.

24 Now, to answer your question, I think
25 probably what you need to do is to look at the sort of

1 milliGauss readings you're getting outside the right-of-
2 way and ask are these significantly elevated over what
3 one would expect to encounter?

4 In other words, are you subjecting people
5 who are living near this power line to undue --

6 COMMISSIONER DOWNES: I'm going to defer
7 to my friend, Representative DelGobbo. And I'm going to
8 -- you might want to watch out for him.

9 CHAIRPERSON WOOD: In any event, let me
10 just grab that number. Five to ten milliGauss would be
11 an acceptably -- would be a range that the incremental
12 background milliGauss would --

13 DR. GOLDBERG: Well, I think that's a
14 matter -- a very subjective sort of thing. Ten
15 milliGauss is a level that people may be aware of because
16 that's getting into the level that will cause jittering
17 on computer displays, for example.

18 CHAIRPERSON WOOD: Okay.

19 DR. GOLDBERG: So -- I was just at -- last
20 week, I was just at an international meeting in Greece
21 and they -- an environmental minister suggested -- in
22 Israel, suggested ten milliGauss as a standard to work
23 for. And it caused unbelievable havoc. There were
24 people from companies that had been involved in EMF
25 mitigation. Mainly their work was involved in

1 electromagnetic interference, things like shielding
2 electron microscopes and medical equipment from
3 electrical interference. But they were seeing -- getting
4 all sorts of calls from people in apartments where
5 distribution lines or power lines would pass right by the
6 apartment building and they'd get 30 milliGauss in the
7 apartment and now nobody could -- nobody wanted to live
8 in these apartments. Not that there's evidence that
9 that's dangerous. But because this minister had sort of
10 suggested that's a -- that's a number that you should
11 watch out for, all of a sudden it became a standard.

12 And I think the reason these standard
13 setting bodies have not gone beyond the thousand
14 milliGauss level as yet is because they're not convinced
15 that the evidence is convincing enough and consistent
16 enough to justify lowering the standards below that
17 level.

18 COMMISSIONER DOWNES: Let me just pursue
19 that point just one little bit further here. And I'm
20 sorry. I'll be right back to you. I promise.

21 I'm having trouble understanding
22 milliGauss in terms of the context. And I take your
23 point that in different places the background EMF, if I
24 can call it that, always present EMF is somewhat
25 different. But is there a -- is there a general average

1 number that reflects what the background would normally
2 be? I mean is the background 5 or 50 or 500 or --

3 DR. GOLDBERG: Well, you have to
4 distinguish the sources. And the Electric Power Research
5 Institute did a survey of 1,000 homes roughly and came up
6 with an average figure of one milliGauss from external
7 sources, that is, power distribution. Now, obviously,
8 you'd have to get -- to get that measure, what you have
9 to do is turn off the power in the house and make sure
10 you have no local sources and then measure what's coming
11 from the power line.

12 But that in the U.S. was about an average.
13 Interestingly, in Europe it's much lower because they use
14 a different practice, including undergrounding, and going
15 up to twice the voltage reduces the magnetic field as
16 well.

17 But, you know, basically, the one -- one
18 milliGauss is sort of a range. Should people get upset
19 if they have two milliGauss in their house? Well, you
20 know, then it becomes a matter of judgment. You know,
21 people very often read this three and four milliGauss,
22 you know, based on the epidemiologic studies and say they
23 want to hold to that as a standard. But epidemiologists
24 will tell you that's not what epidemiology is showing
25 you. It's just showing a correlation. And we have yet

1 to figure out, you know, the whys and wherefores.

2 REPRESENTATIVE DelGOBBO: Thank you, Mr.
3 Chairman.

4 I am somewhat excited about this, excited
5 in the sense of anxious on your answers in some of these
6 questions because it's been a significant concern. It's
7 sort of entered the policy debate in Connecticut in a
8 substantial way this year. And I understand we're not
9 going to solve, you know, the scientific questions
10 absolutely today in your responses. But I have to
11 challenge you on a point you made. And that was it just
12 seems as though you're representing that there has been
13 no absolute agreement that there is adverse effects at
14 certain precise levels. And you gave a bunch of
15 different numbers.

16 And for the sake of discussion, I have to
17 challenge you on that to say that it appears as though
18 there is -- there are those in the scientific community
19 that do challenge that and believe that some of the
20 standards that have been set are still too high. So I'd
21 ask you to sort of respond to the -- what's been
22 characterized to me and what I've viewed in testimony
23 before one of our bodies here in Connecticut was that,
24 yes, there are those who make very substantial arguments
25 that it's not X. It's X minus whatever. And I'll point

1 back to your statement that there was a level that was
2 determined as sort of acute. You could see acute effects
3 at a certain level, EMF level, and then there was a
4 number brought substantially below that to sort of take
5 into account -- I think you characterized it generally a
6 general safety zone based upon the studies that have been
7 done.

8 Is that number that you spoke to, is that
9 legitimate? Is that scientific? Or is that just sort of
10 -- how do you defend the nature of how numbers like that
11 are determined? And I'll finish off the question this
12 way. What has happened in Connecticut, as you might be
13 aware, is that the Siting Council has had for some time a
14 best practices process in terms of dealing with EMF in
15 addition to all the other responsibilities they have in
16 the siting of transmission lines. This year the
17 legislature codified that, institutionalized that in
18 terms of dealing with EMF. How do you -- could you
19 suggest they should be taking in all these conflicting
20 evidence on EMF?

21 DR. GOLDBERG: You're sort of getting --
22 moving from science to policy. And so let me sort of
23 answer that the way a scientist would and you can then
24 work through the policy issues.

25 The bodies -- the various bodies that have

1 with a line of human breast cancer cells which showed
2 that their growth in culture -- these are isolated cells
3 that are growing in a tissue culture environment in an
4 incubator. They grew at a certain rate. And if you add
5 in the pineal hormone melatonin or the drug Tamoxifen,
6 you suppress their growth rate.

7 And one investigator showed that by
8 applying an electromagnetic field, a 60 hertz field,
9 magnetic field to the cells, you could basically wipe out
10 that effect or reduce it substantially. The cells grew
11 faster. They overcame the inhibition of this drug.

12 And the level that was effective -- two
13 milliGauss had no effect on these cells in culture.
14 Twelve milliGauss produced the effect. And you got no
15 greater effect when you went up to 100 milliGauss. So
16 here was a biological effect occurring at 12 milliGauss.

17 That study was replicated, that is, other
18 groups completely independent of this first investigator,
19 reproduced the experiment and it was done in three
20 different laboratories, two of them in the U.S. and one
21 in Japan.

22 Now, this is a biological effect. But
23 when you look into it a little deeper, you find that only
24 one particular cell line of this, these particular breast
25 cancer cells, will work. There are other similar lines,

1 very much like the line -- they're actually broader lines
2 of the same line that don't respond to pineal melatonin
3 and they don't respond to Tamoxifen and, of course, they
4 don't show any effect from EMF.

5 So you have a phenomenon and it's a
6 phenomenon that can't be explained through electric
7 currents or shocks or any of the sorts of things that we
8 use to set the standards. But what does that mean in
9 terms of health effects? I think it's overly simplistic
10 and the investigators who did the work say it's
11 simplistic to think that women with breast cancer are at
12 greater risk because these cells respond in this way to a
13 12-MilliGauss level.

14 So there are bunches of little experiments
15 like this that are producing conflicting results. In
16 some cases, we see a thread of some explanation as to
17 what's going on. But the research hasn't gone far enough
18 where we can say, yeah, here's exactly what's happening
19 and here's what's responsible for it.

20 COMMISSIONER DOWNES: So is one of the
21 reasonable implications of this that if the legislature,
22 for example, wanted to try and establish a standard, that
23 they would be smarter trying to establish a standard
24 based on actual measurements of EMF in the neighborhood
25 of the line as opposed to simply adopting a statute that

1 says you've got to have a 300-foot buffer zone or 500
2 feet or pick your favorite number?

3 DR. GOLDBERG: Yeah. I think if your
4 objective is to follow what research evidence there is
5 about biological effects or health effects, you're really
6 following the magnetic field level rather than a
7 distance. It's a little harder to implement because
8 you've got to have measurements for modeling that
9 predicts what the magnetic field levels will be. But
10 that would be closer at least to the research.

11 I should mention just briefly there are a
12 couple of concepts that have been kicking around and
13 policy issues. In the U.S. prudent avoidance was
14 introduced as a concept by Granger Morgan and Carnegie
15 Mellon. And the current term in the World Health
16 Organization in Europe is precautionary principle. The
17 idea is that you have some uncertainty and you basically
18 take a reasonable measure in the face of that uncertainty
19 to go well below what you think are levels that might be
20 dangerous.

21 And, of course, that becomes a policy
22 issue because there are costs and there are trade-offs in
23 terms of different interest groups in making that
24 statement. And, of course, a scientist would say, "Well,
25 we want to see some payoff for your precautionary

1 approach and your costs and have some feeling that you're
2 getting some benefit from it." So we would look to the
3 evidence.

4 MR. McCLELLAND: I haven't been involved
5 in the issue for 15 or 20 years. So this question may
6 date me. But as I remember when this issue really
7 surfaced in a big way at about that time period, the
8 Europeans were in disagreement with the Americans, as I
9 remember, Sweden, for instance, about what the long-term
10 effects were for EMF. And that time, they moved or were
11 moving to make policy decisions and revise construction
12 standards to mitigate EMF fields, particularly from
13 public utilities. Are you are of any of those policy
14 decisions or construction standards and whether or not
15 any studies, subsequent studies, have been performed to
16 see if they've had any effect?

17 DR. GOLDBERG: As a matter of fact, at
18 this conference, Maria Fefting, who is one of the authors
19 of the large Swedish power line study, gave a kind of
20 "Where are we 20 years later" talk on the epidemiology.
21 And, in fact, in Sweden they basically backed away from
22 taking that precautionary approach. And it was largely
23 based on the sort of surveys that looked at exposed
24 populations.

25 Basically, what they determined was there

1 were so few children exposed to the sort of levels that
2 were coming up in these aggregate studies as risk factors
3 that it didn't justify, you know, legislating some sort
4 of additional measures.

5 On the other hand, there are countries and
6 there are even municipalities -- we've seen this now with
7 base stations for wireless cellular phones -- where
8 they're establishing very low limits. The municipality
9 is just doing it, saying, you know, "This is what we
10 feel." And I mentioned the case in Israel where this 10-
11 MilliGauss guideline -- it isn't a regulation -- was
12 imposed. The danger of this, of course, is that it sort
13 of sounds like it's establishing a safe level. I think
14 it gives a false feeling of confidence for people
15 following this and it may impose an unfair burden on
16 people who have to meet this standard. It's not quite
17 arbitrary, but it's getting fairly close to arbitrary.

18 COMMISSIONER DOWNES: I'd like to mention
19 that cell phone towers is something else the Siting
20 Council has jurisdiction to deal with those.

21 CHAIRPERSON WOOD: Let's try to move
22 along. We're about a half-hour behind. And we do have
23 four more panels, three more panels this afternoon. So
24 is there any final thoughts here for Dr. -- I don't see
25 any.

1 I want to thank you, sir, Dr. Goldberg,
2 for being with us this afternoon. And I appreciate --

3 DR. GOLDBERG: I hope it was helpful.

4 CHAIRPERSON WOOD: It was. Thank you a
5 lot.

6 Sarah?

7 MS. MCKINLEY: Thank you. Mr. Chairman,
8 we have a panel of speakers to address technology
9 options. Each of the speakers will give five minutes of
10 opening comments and then we will open it to a general
11 discussion. Our first speaker is Dennis Duffy, Senior
12 Vice President of Energy Management, Inc. And he is
13 representing the Competitive Power Coalition.

14 MR. DUFFY: Thank you very much. And
15 thank you, Commissioners. I'm very happy to be invited
16 to the panel today to speak on behalf of the generation
17 sector.

18 As some of you may know, our company,
19 Energy Manager or EMI, has been in the energy business in
20 New England for 25 years developing generation projects.
21 We started with small distributed generation projects,
22 then QF facilities, then eventually IPP facilities. As
23 of about five years ago, we had developed and were
24 operating five gas combined-cycle units in New England.

25 Roughly three and a half years ago, we

1 sold all of those and, since that time, have been
2 focusing our energy efforts solely on the wind power
3 project, the Cape wind project, America's first offshore
4 wind project located roughly six miles off the coast of
5 Cape Cod, which would be capable of generating roughly
6 420 megawatts.

7 That puts us in a somewhat unique position
8 because, as far as I can tell, we are the only entity
9 that is actively pursuing any major generation project
10 anywhere in the New England power pool. And that is not
11 a good thing.

12 One point I really wanted to stress that
13 was made by one of the speakers this morning is that
14 reliability can't look solely to one part of the
15 equation. We spent a lot of time today talking about
16 transmission. And it is essential. And I feel the pain
17 of those trying to get the permitting done. It's the
18 same game that's being played with delay in NIMBYism. But
19 transmission alone is not sufficient. We need
20 transmission. We need generation. And we need demand
21 side responses.

22 Now, the first thing I would point to is
23 Kevin Kirby's presentation from this morning which right
24 on the front page has the chart showing New England's
25 capacity situation, subtitle "Today's Surplus Capacity

1 Situation Will Be Short-Lived". And I'd like to make two
2 critical points based upon this handout.

3 Number one, you will see that by the year
4 2006 this ISO forecast shows the region in the aggregate
5 deficient in generation capacity. Two years away. It's
6 late 2004. We're on notice that we are capacity-
7 deficient in 2006. And that even -- that is without
8 giving any allowance for transmission problems in the
9 system, without giving any allowance for problems in fuel
10 and pipeline distribution to keep the generation running
11 and also without allowance of additional retirement which
12 may be in the works. So everyone interested in the
13 reliability of this grid really should stop -- and this
14 is a very important moment -- to say "We're roughly a
15 year and a quarter away from a situation where we
16 acknowledge we're deficient" and nothing for generation
17 is being developed anywhere in New England of any scale
18 other than a wind power project.

19 Now, I think what we have to do is stop
20 and take a look and ask ourselves why is it. Why is that
21 the case? And the reason is that there is no long-term
22 credit in this market. There's no long-term power
23 contracting and there's no long-term credit. And it
24 should be no surprise as a result no one is interested in
25 developing generation assets with the long-term

1 commitments and financial institution commitments that
2 have to be done.

3 And sometimes to realize how we got here
4 it helps to go back and look at the start. One of the
5 things that I did in preparing for today was to look back
6 at Professor Hogan from the Kennedy School of
7 Government's famous wholesale primer on electric market
8 structure from 1998. This is what he warned us at the
9 outset. "Typically, we expect a new generator to look
10 for a customer who wants to price hedge and for the
11 generators to defer investing in new plant until
12 sufficient long-term contracts with customers can be
13 arranged to cover a sufficient portion of the required
14 investment."

15 So right from the start the fundamental
16 thinking of this whole market redesign and restructuring
17 always assumed and anticipated that there would have to
18 be a long-term price signal, long-term contracting and
19 long-term credit in order for the necessary generation to
20 be built. And that's where the system has failed.

21 Happily, we've seen a major step in the
22 right direction with ISO's recent filing of the Y-cap
23 proposal with the demand curve. We're extremely happy
24 with that. It absolutely sends the right signal. And
25 we're also very happy with the FERC's June 2 order

1 endorsing the approach.

2 But one, at least one, major issue, a
3 fundamental issue, remains to be resolved. And it's a
4 matter of unclarity perhaps or a matter of interpretation
5 that I wanted to raise both to state and federal
6 regulators today.

7 The Devon power order of June 2 made the
8 point that ISO New England requested guidance as to what
9 party is responsible for the long-term capacity
10 procurement that would be created through the Y-cap
11 mechanism. FERC responded in that order, Section 75,
12 that it is the load-serving entities that have the
13 primary responsibility for long-term capacity procurement
14 and obtaining sufficient supplies to ensure long-term
15 reliability.

16 We're very happy with that answer.
17 However, within New England, perhaps it's a matter of
18 semantics or a difference in defined terms, there is far
19 from agreement as to exactly who that means and who has
20 the obligation. And it's one thing to send an accurate
21 long-term signal through Y-cap, but if the party to whom
22 you're sending it doesn't acknowledge that they're the
23 recipient, it won't work.

24 Just to explain what the difference of
25 opinion is, some people, including most generators in our

1 company, believe that in that context load-serving
2 entities means the utilities, the electric utilities who
3 have the long-term franchise obligation, the long-term
4 presence in the market and the traditional responsibility
5 to maintain reliability.

6 The other school of thought is that when a
7 distribution utility has done a transfer of its load
8 obligations to a wholesale marketer, that wholesale
9 marketer is the one who assumes the long-term obligation
10 for reliability purposes. We would suggest that that
11 cannot work.

12 The type of assignments of load obligation
13 that are happening in New England are by their nature
14 short-term, typically one to three years, often as little
15 as three months. The whole Y-cap proposal will not work
16 if it generates a long-term signal, a long-term
17 contracting obligation to wholesale marketers who by
18 their nature are short-term players in this market, often
19 with no assets in this market.

20 So we're very hopeful that the Y-cap is
21 sending the right approach. But I think it's very
22 essential that we get clarification and confirmation that
23 the parties who are going to have the long-term
24 obligations resulting from that structure are the
25 utilities who have the long-term presence and the long-

1 term credit in this market.

2 I would just throw out one example on this
3 which is very helpful. Remember the gas side of the
4 industry in these very same districts is several years
5 ahead of us down the restructuring path. Many of the
6 state commissions still require their gas LDC's on a
7 regular basis to refile long-term forecast and supply
8 plans for regulatory review. It is a type of regulatory
9 review that is entirely consistent with restructuring,
10 with unbundling and with competition. They still want
11 competitive procurement but they have done it under the
12 context of regulatory review to assure that essential
13 reliability component.

14 Right now we have a mismatch. On the
15 electric side, it's not happening. No one's watching it.
16 On the gas side, it is. We think it should be comparable
17 oversight on both sides.

18 Finally, the other major hurdle that any
19 new generation faces in New England is our regional
20 tendency towards NIMBYism and delay on any type of
21 project. Almost everything David spoke about this
22 morning for transmission problems, transmission delays,
23 is also applying on the generation side.

24 Basically, most of the easy projects have
25 already been built. For the last 15 years, we've done

1 nothing but gas combined-cycle projects in New England.
2 That was good. We could get them permitted. Everybody
3 liked them. However, we've hit the wall on that. I
4 think we all recognize that 40-percent saturation natural
5 gas is enough. We've got to look at other things. And
6 they are by their nature going to be more difficult to
7 permit.

8 In our case, we've gone to the
9 Massachusetts Energy Facility Siting Board, done a full
10 evidentiary proceeding, 20 full days of testimony, a
11 50,000-page evidentiary record. On July 1, we had a
12 tentative approval issued by commission staff. Since
13 that time, for the first time in the history of the Mass
14 Siting Board, the board has not convened within 14 days
15 of a tentative decision to vote up or down on the
16 decision. We are still waiting five months later for the
17 board even to schedule a hearing to vote on the tentative
18 decision.

19 And on the federal side, we've spent three
20 and a half years doing a draft environmental impact
21 statement with the Army Corps as the lead agency, 17
22 participating agencies. There's a 4,000-page draft
23 report which we're told was completed in early September,
24 still has not been released.

25 So basically what we need -- the message

1 we want to send is we need clarity and we need leadership
2 from the regulatory community. And it's going to be
3 painful sometimes because you've got to take the long-
4 term view on reliability and on occasion it's going to
5 take standing up to very powerful NIMBY forces.

6 MS. MCKINLEY: Thank you.

7 Our next speaker is Jeff Donohue,
8 President and CEO of TransEnergy, U.S.

9 MR. DONOHUE: Thank you. Thank you,
10 Chairman Wood, Chair Downes and other distinguished
11 participants, for the opportunity to speak today. My
12 talk is going to be on the application of underground
13 transmission technology and the recent TransEnergy
14 experience using underground transmission in various
15 parts of the world.

16 A little background. TransEnergy is one
17 of the largest transmission providers in the world. We
18 have assets in Canada, the U.S., Chile, Peru and
19 Australia, about 3,600 people spread around the globe and
20 thousands upon thousands of miles of overhead
21 transmission lines of all voltages and many hundreds of
22 miles of underground transmission lines, also.

23 Since 2000, we've put into service three
24 high-voltage DC underground transmission projects
25 comprising 255 miles using what is commonly referred to

1 as voltage source converter technology and XLPE cables.

2 I'll focus basically on three issues. Is
3 this technology reliable? What's its availability,
4 proven operable? Is it affordable? Finally, I'll draw
5 some experience very quickly from our Murray link project
6 in Australia, the world's longest underground
7 transmission line.

8 Hopefully, this talk will initiate some
9 questions and move along the process here in Connecticut.
10 First, our experience with advanced transmission
11 technologies and undergroundings, in fact, improves the
12 overall grid reliability. We have found through
13 operation of our grid in Quebec and in Chile and in
14 operation of our facility in the U.S. and Australia that
15 higher controllability over the grid actually helps
16 prevent cascading events. This controllability can be
17 provided by many, many devices. But, generally speaking,
18 in fact, we see controllability as good, not bad.

19 We see that undergrounding transmission
20 eliminates the major causes of transmission line outages,
21 such as hurricanes, ice storms, which are near and dear
22 to many of us, tree contacts, lightning and fires.

23 Also, now, we've viewed many studies that
24 confirm that actually the reliability of underground
25 transmission is far greater than the reliability of

1 overhead transmission lines. Just to reference a few,
2 North Carolina Utilities Commission completed a study in
3 November 2003 that found underground outage rates were 50
4 percent less than overhead. Maryland Public Service
5 Commission in February 2000 found that underground
6 systems in urban areas were much lower in frequency and
7 duration of outages. The Australian government in '98
8 found that the high-voltage underground systems have
9 about 80 percent less outages than overhead. And even
10 today, the Florida PSC is initiating a task to look at
11 whether Florida should be embarking on undergrounding
12 much more of its own transmission system.

13 We do extensive evaluations on our grid in
14 Quebec to determine what we should underground, what
15 should stay overhead as we move forward. And we -- you
16 will see that we will be undergrounding more in that
17 forum and certainly in our different projects around the
18 world. We continue to look at this on a case by case
19 basis.

20 Next question. Is underground
21 transmission proven? Is it fully operable? Can it be
22 integrated with the grid? We've heard some comments this
23 morning on this which are a little bit surprising to me.
24 First, we don't have to look too far. But if we go to
25 Europe, look at Europe, currently there are over 3,400

1 miles of high-voltage underground transmission, 110-kV
2 and above. Just a couple of examples, Denmark -- I tried
3 to find a country in Europe about the size of Connecticut
4 and couldn't find one. But Denmark was close. Denmark's
5 about four times geographically larger than Connecticut,
6 about half the population density. 16 percent of all
7 transmission 220-kV and above is underground. The UK,
8 which is quite a lot larger than Connecticut, about 20
9 times physically larger than Connecticut, but about the
10 same population density, six percent of its transmission
11 220-kV and above, almost -- it's almost 1,000 miles is
12 underground.

13 In fact, to my surprise, and I didn't know
14 this before this past week, in France they actually have
15 a mandate not that much different than the mandate that
16 was recently passed here in Connecticut where, in fact,
17 25 percent of the new transmission built in France must
18 be underground. I didn't know that until a couple of
19 weeks ago.

20 So we can see that other parts of the
21 world, for a variety of reasons, some of which you've
22 heard today and others which I think are specific to the
23 region, have embraced the need to undergrounding and are
24 advancing along that line.

25 We look at the technology today. We look

1 at the technology that we've applied, the voltage, the
2 XLPE cable. We believe it is proven. We believe it is
3 commercially available. In fact, the major
4 manufacturers, Seamons, ABB, Pirelli, they're all willing
5 to risk a portion of their Balance Sheet providing
6 availability guarantees, manufacturer warranties,
7 liquidated damages if the equipment doesn't perform as
8 specified.

9 So we don't think that this technology
10 that's out there today is a science project. Indeed, we
11 are convinced that it's a proven and certainly
12 commercially available. But the manufacturers are
13 willing to sign contracts with the appropriate terms and
14 conditions.

15 And, also, look at other people using this
16 technology right now. Major oil companies are beginning
17 to use this technology to provide energy to oil
18 platforms. Recently, Statoil, the largest oil company
19 in Norway, installed this technology and XLPE cable going
20 to their oil platforms. It pumps somewhere around a
21 billion dollars a year worth of oil to provide the energy
22 needs for that oil platform.

23 And I must say it was one of the things
24 that gave us comfort when we were looking back several
25 years ago at some of our investments in this technology.

1 We do get comfort to know that there are other folks in
2 related industries that have a need for extremely high
3 reliability and have significant monetary damages if the
4 facilities aren't working using this technology.

5 And, finally, our own experience from our
6 projects in Australia that went into service in 2000,
7 2002 and from the cross-sound cable is that this
8 technology is very mature and very, very reliable.

9 A question about its affordability. We've
10 heard a lot said today. We have embraced a technology in
11 Australia and the U.S. for a totally different reason
12 than what you've heard today and we have a totally
13 different challenge than what the folks here in
14 Connecticut have. We embraced the technology because we
15 needed to permit to get something built quickly. And
16 what we looked at is the total life cycle cost of an
17 investment to build emergent transmission lines,
18 something very different than what's being done certainly
19 here in southwest Connecticut. However, the technology
20 is equally applicable.

21 And we embraced spending a little bit more
22 for the technology because we felt we could get a permit
23 permitted and built much quicker. And, in fact, in most
24 cases that has been the reality of the situation. The
25 same technology allows efficient use of existing right-

1 of-ways. They can be installed adjacent to roads,
2 pipelines, railroads, gas lines, water lines, requires
3 roughly a 10 to a 20-foot right-of-way.

4 And just a quick picture. This is the
5 actual pieces of our cables from our 220-megawatt
6 transmission line project in Australia. It's 110 miles
7 long. It's just these two cables buried in the ground,
8 about three feet that's required to build an underground
9 transmission line.

10 We evaluated the need to install conduits,
11 duct banks, et cetera, et cetera. And after thorough
12 evaluation, we found that all those things were nice and
13 interesting; they didn't actually improve the
14 reliability, the availability. They certainly added to
15 the cost of the project and, in the end, weren't
16 required. And we're quite pleased with the direct burial
17 method that we have used.

18 And, again, the peak thing is because we
19 don't need much right-of-way, it's very, very easy to
20 acquire.

21 The installation techniques that I've just
22 said are very simple. It's digging a ditch, installing
23 the cables, covering it up. It's like installing fiber
24 optic cables. I know many places in this country have
25 installed fiber optic cables along federal highway

1 systems. This is the same. It's a little bit stiffer
2 than the fiber optic cable ducts, but it's not much more
3 complicated to install.

4 We found that using the AC/DC technology
5 we can avoid -- not that -- Dr. Goldberg, not that we --
6 we don't mind debating the EMF issues. We find that we
7 can avoid the AC EMF issue altogether. DC, of course,
8 uses static magnetic fields. It's like the earth's
9 magnetic field. And, again, installing cables like this
10 close to other, the currents cancel and we end up getting
11 a static magnetic field that's actually much smaller than
12 the natural variation in the earth's magnetic field. So
13 we completely avoid the AC EMF issue debate.

14 Finally, we've found through actual
15 operation that the O&M cost of our advanced underground
16 HVDC systems is quite reasonable. And, in fact, I'll
17 mention on the Maryland project we spent less than one
18 and a half million dollars a year operating and
19 maintaining that facility. In fact, if you compare it to
20 most U.S. utilities' FERC 401 O&M costs, we're a small
21 fraction of what many local utilities have on their FERC
22 401 cost for their overhead transmission line cost.

23 Of all the points first advanced, HVDC
24 underground cost, very comparable to underground AC. And
25 we're finding that the costs of HVDC underground are

1 declining where actually the cost of overhead AC is
2 increasing.

3 A case study, Merlin, the world's longest
4 underground transmission line. It's been in operation
5 since October 2002. It's a 220-megawatt system. It uses
6 voltage source converter technology and XLPE cable. It's
7 just a simple little high-tech cable there. Average
8 right-of-way width on that project is 13 feet. The
9 minimum was 10 feet. We installed, as I said earlier,
10 the cable along roads, gas pipelines, water irrigation
11 lines, railroads. You name it, we faced it on Merlin.

12 Our converter station sites are very
13 small, about three and a half acres each, at each side.
14 The project was permitted in about 24 months, constructed
15 in about 21 months. There was overlap between the
16 permitting and the construction. It took us less than 40
17 months from the very beginning of the investment decision
18 to the very end to get it energized. We met the schedule
19 that we wanted.

20 Since October 2002, we have had one cable
21 failure, unfortunately. Christmas of 2002, just before
22 Christmas, we had a cable failure. We found it and
23 repaired it in six days. A little bit longer than we
24 would have liked. But we did give the guys a break.
25 Again, this is a merchant line. The profiles are looking

1 over the -- revenue profiles, I should say, is what we
2 worry about with merchant lines. Looking over the
3 Christmas holidays were very low and we decided to
4 actually take our time in repairing it.

5 292 cable joints in this cable. No
6 failures to date. Availability, over 98 percent. The
7 cost of this facility, 97 million dollars U.S. That's
8 everything, the converter stations, 110 miles of cable
9 and the interconnecting substation on one end, six
10 breakers, 132-kV, and a 220-kV breaker to interconnect at
11 the other end. As I said earlier, annual O&M cost of one
12 and a half million dollars a year.

13 So, hopefully, folks will look at some of
14 this technology, maybe evaluate some of the facts and see
15 if it is applicable to the situation in southwest
16 Connecticut. Certainly every situation is different.
17 And we realize that. And we hope that just the example
18 of what we've experienced can help the debate here in
19 southwest Connecticut. I look forward to questions when
20 we have time. I can see Sarah saying, "Go, go, go."

21 MS. MCKINLEY: Thank you so much.

22 Now we're going to have Doug Johnson, the
23 composite conductor program with 3M.

24 MR. JOHNSON: Thank you very much. I'd
25 also like to thank Chairman Wood and Chair Downes for

1 inviting me here to speak on our composite conductor.
2 I'm a product engineer with 3M Company located in
3 Minnesota. And we have developed a new type of overhead
4 line. So I'd like to switch the discussion a little bit
5 to talking about overhead transmission lines.

6 And the new line has a composite core
7 developed by 3M. I'll talk a little bit in detail about
8 that and tell you what it's about. But that cable allows
9 you to basically upgrade an existing transmission line,
10 say a 115-kV transmission line, and double the capacity
11 of that line without any visual changes in the line,
12 without having to put up taller towers or bring in
13 construction people to rebuild the line, and a much
14 faster permitting time.

15 So we recently were working in Minnesota.
16 I'll talk about our experiences there to put in a longer
17 section of line to solve transmission concerns in
18 Minnesota. It's really directed at a number of
19 constraints as we talked about earlier this morning in a
20 transmission system. So our conductor is directed at
21 solving thermal constraints. Those are some of the
22 contingency constraints. I believe there's a map of New
23 England that Mr. Kirby showed earlier highlighting the
24 number of thermal limits. Thermal limits are basically
25 the maximum temperature you can run a line at without it

1 sagging too much and violating your clearances or
2 shorting out.

3 A real advantage with the 3M material is
4 the composite material that was developed at 3M.
5 Basically, a little bit about overhead transmission
6 lines. Reliability is really the issue with overhead
7 lines. They have to meet a number of demanding
8 engineering requirements. They have to carry high
9 current loads, particularly high, very high current loads
10 during contingencies when they'll operate at high
11 temperatures. And they have to operate at those
12 conditions without violating your clearances.

13 Furthermore, they have to be very
14 reliable. They're designed for lifetimes of 40 years or
15 more. They have to be very strong because they have to
16 withstand heavy ice and wind loading, like those
17 Northeasters that come down through Connecticut here. So
18 what is really required is a very high-performance
19 material.

20 And we have a composite core which
21 replaces the steel core in a conventional overhead line.
22 That's the center of the cable. And that core is as
23 strong as steel. So it's basically as strong as steel,
24 but it has the weight of aluminum and it doesn't expand
25 much as the conductor heats up. That allows you to

1 basically run up to two or more times the current through
2 it on an existing line without it sagging and violating
3 your clearances.

4 So we've been -- 3M is a materials company
5 as well. We've had over 30 years of experience in
6 working with the ceramic fibers that are the core of this
7 conductor. We're very concerned and focused with
8 reliability through a partnership with the Department of
9 Energy. We are -- over the past three years, we've been
10 engaged in extensive laboratory and field testing of this
11 conductor. We're testing it in various areas of the
12 United States, exposing it to extreme conditions. We've
13 done a first test in Minnesota in 2001. It's in a line
14 in a grid outside a power plant. And that's been
15 operating reliably since then. We have a line with
16 Western Power in Fargo, North Dakota, a 230-kV line
17 installed in 2002 which has been operating reliably.
18 It's exposed to high ice loads, similar to Connecticut
19 here. It's exposed to very cold conditions. It was
20 minus 44 degrees, I think, Celsius last winter there. So
21 --

22 We have lines in Phoenix outside a power
23 plant and in Washington with Bonneville Power where we're
24 basically running the output of one generating unit
25 through that line to really test it under the maximum

1 conditions. And we have a line at Oak Ridge, Tennessee
2 where we're engaged in testing and basically thermal
3 cycling, compressing many years worth of data into a
4 short period of time, all aimed at demonstrating
5 reliability.

6 So, as I said, it's aimed at increasing
7 the capacity of existing lines with these thermal limits
8 on the line. And one particular line that came up last
9 spring, the engineer at Minnesota Utility called me up
10 and they had a line, an existing line, built in about
11 1950's, early 60's that needed to be upgraded. It needed
12 to be upgraded because they were adding a peaking unit on
13 the line and they needed to generate or transmit about
14 twice the power to that line. And the line is -- the
15 problem is it's located in -- along the Minnesota River
16 Valley. It's in a scenic area. There are wetlands along
17 there. There are regional parks. There are trails.
18 Basically, the plant was built in the 50's and the
19 suburbs kind of grew up around the line. So the line
20 actually goes through neighborhood back yards. And Excel
21 could not upgrade that line with the conventional
22 conductor technology. They would have had to replace a
23 number of -- a large quantity of the towers with taller
24 towers. And that involved a lot of construction. And,
25 hence, it was looking for a very long and lengthy --

1 looking at a very long and lengthy permitting process.

2 So I designed a composite conductor. It's
3 actually the exact size as this conductor that would get
4 them their 80-percent capacity increase. And we are
5 currently planning on installing additional thermal
6 upgrades on the lower kV networks to support the overall
7 grid.

8 And I guess in conclusion then, the
9 conductor, it's a high -- the performance comes out of
10 the high performance core in the conductor. We
11 thoroughly tested it for reliability. We have it in
12 seven locations now in the United States. We're
13 beginning to introduce it commercially this year. The
14 first commercial installation is at Excel. And I think -
15 - I've worked with a number of utilities in other states
16 throughout the area and they seem to have very similar
17 problems. There's quite a few of these older 115-kV,
18 230-kV lines that are in need of upgrading. The
19 generators are basically attaching onto these lines and
20 putting more current through them than they were
21 currently designed for. And I think we have a very
22 adequate solution for that particular problem. It's one
23 more tool in the utilities tool box for us to provide to
24 them.

25 MS. MCKINLEY: Thank you so much, Doug.

1 Now we have John Howe, Vice President with
2 American Super-Conductor.

3 MR. HOWE: Well, thank you very much. I'm
4 glad to have the opportunity to give a brief report on
5 the status of high-temperature super-conductor or HTS
6 cable. So in the next few minutes, I'll discuss the
7 principal benefits, report on its development status and
8 expected availability.

9 Basically, HTS cable is a new type of
10 underground power cable that will offer a combination of
11 very high capacity, low siting and environmental impacts,
12 very low construction impacts compared to conventional
13 solutions. And what enables this new type of cable is a
14 wire, so-called high-temperature super-conductor wire
15 that has basically an almost-perfect resistance-free
16 carrier of very high currents. We're making wire now
17 that carries about 100 to 150 times more current than a
18 copper wire of the same dimension.

19 This wire is based on ceramics-based,
20 high-temperature, super-conducting compounds that were
21 first synthesized in the late 1980's. So it's about a
22 15-year development process to take it from the compounds
23 to the wire and now the applications.

24 We're working at applying this wire in not
25 just cables but also motors, generators, a synchronist

1 condenser, grid stabilization technology that we've just
2 demonstrated for the first time on the TVA grid in the
3 past couple of months. High-power magnets and other
4 power and industrial applications, think magnet trains
5 and so forth.

6 We're regarded as a world leader. But
7 there are several global HTS wire manufacturers in the
8 United States, in Europe and in Asia. We're now
9 producing several hundred miles per year of this wire.
10 We have a two-year-old plant that's located at the Devons
11 Commerce Park which is in north central Massachusetts,
12 the old -- Army's old Fort Devons.

13 Now, the benefits of the cable from the
14 standpoint of performance, system economics and siting, I
15 think these are the benefits -- these benefits are most
16 relevant for utilities that are faced with a combination
17 of having to deliver a lot more power into or through
18 very high-cost urbanized areas where there's a collision
19 course. It's not just southwest Connecticut, but many
20 parts of the country. The power needs are growing. Yet,
21 land owner and community opposition to the siting of
22 necessary infrastructure is most acute in these areas.

23 And I think I was actually gratified to
24 hear the level of understanding today. If we don't solve
25 this problem, it will literally become a constraint on

1 economic growth because of the rate at which we are
2 electrifying our energy consumption in this country.
3 We're becoming more energy efficient, but we are becoming
4 much more reliant on high-quality electricity to meet
5 those needs. So we really do have to solve this problem.

6 Now, the most salient benefit of super-
7 conductor cable is, as I mentioned, its very high
8 capacity. These cables will carry about three to five
9 times more current than standard copper-based cables of
10 the same dimensions. You could in theory go to ten times
11 or more. But from a planner's perspective, we think
12 three to five times is the logical increment.

13 What this means is that utilities could
14 use very high-capacity HTS cables to deliver either a lot
15 more power or comparable amounts of power without having
16 to go to very high voltage. For example, it would be
17 possible to carry up to, say, six to 900 megawatts of
18 capacity in a cable in a 115-kV voltage class, the
19 existing high voltage, as opposed to EHV class. And that
20 is a power level -- six to 900 megawatts is a power level
21 that is much more typically associated with 345-kilovolt
22 transmission which generally requires much wider rights-
23 of-way and a lot more land and expense.

24 Now, there is another important and less
25 well understood performance characteristic of HTS cable

1 which is based on the high-current carrying capacity of
2 the wire. And that is its very low impedance. Now,
3 impedance is an electrical characteristic of a conductor
4 that basically determines the division of power flow in
5 an AC network. In other words, how much power will flow
6 along any one given pathway compared to other pathways
7 that run in parallel?

8 Now, the low impedance of super-conductor
9 cable is a natural consequence of a shielded coaxial
10 design. You think of a coaxial cable TV cable. There's
11 an inner conductor and then an outer shield. And this
12 design actually completely suppresses electromagnetic
13 fields. So it provides a technology solution, just as
14 Jeff mentioned, literally takes the issue off the table,
15 regardless of the science surrounding EMF.

16 But what this shielding design also
17 results in is an impedance rating that's about six times
18 lower than conventional copper underground cables and
19 about twenty times lower than overhead aluminum lines of
20 the same voltage.

21 Now, what this means from a user
22 standpoint and I think is important is that when you
23 insert a very low impedance super-conductor cable into a
24 grid, it will tend to pull the power into the heart of a
25 congested area, whereas you might have to use two or more

1 conventional higher impedance circuits to push the same
2 amount of power into the low pocket.

3 Now, some planners look at this and they
4 say, well, isn't that a risk that you're going to have
5 all this power flowing on the low-impedance pathway? But
6 what you can do is you can, with very conventional
7 technology, series reactors or phase shifters, you can
8 actually inject impedance. You can dial up and dial down
9 the level of impedance on a line. The net effect is you
10 end up with an AC element, alternating current grid
11 element, that functions very much like a fully
12 controllable DC transmission line, such as Jeff described
13 a moment ago. However, it can be integrated directly
14 into the AC grid and does not require the converter
15 stations.

16 Now, I mentioned to Sarah I'll have a
17 white paper that we can post on the -- in connection with
18 the hearing here that will give more technical
19 information about the cable and some of its other
20 advantages, including addressing congestion or extending
21 the life of existing elements, solving problems with
22 shorter circuit runs and tapping into lower cost sources
23 of generation.

24 It's going to be a more expensive cable.
25 But it will yield in many instances less expensive total

1 installed system solutions. But, rather than dwell on
2 those in detail, I thought I'd take a final minute just
3 to report on the stage of development because this is not
4 yet commercially available. However, it is in advanced
5 development. And we believe on the basis of a couple
6 more successful demonstrations could be available by the
7 end of the decade. Not -- and I want to emphasize this -
8 - in time to meet the major immediate and pressing needs
9 facing southwest Connecticut right now.

10 But let's recognize the problems in
11 southwest Connecticut today won't be the last problems
12 facing either the state of Connecticut or the New England
13 region. So I think it becomes a matter of regional and
14 national importance to have more demonstrations, work out
15 the system integration issues, bring down the cost of
16 this new solution. There are three HTS cable solutions
17 currently under way. Our company is leading one close
18 by, actually, on Long Island that will be a half-mile,
19 138-kilovolt cable rated at about 600 megawatts that will
20 fit into about a 12 to 14-inch pipe that can be
21 directionally drilled actually underneath the existing
22 infrastructure to avoid any conflict with existing
23 utilities. And that cable is slated to be installed by
24 the end of the next year and operated in the peak season
25 of 2006.

1 Our company is not involved in the Albany,
2 New York demonstration. But I'd like to note that
3 NYSERDA, the New York State Energy Research and
4 Development Agency, is a co-sponsor of that effort. And
5 I'd like to suggest that the demonstration of a short-
6 length cable either here in Connecticut or someplace in
7 New England under the sponsorship of one or more of the
8 New England states could go a long way toward building
9 familiarity with this technology, working out some of the
10 system integration issues and establishing a reliability
11 record for its use by the grid, in the grid.

12 The wire capacity exists. The cable
13 designs are now fairly well developed. But what we need
14 are additional steps to accelerate the acceptance of this
15 new technology which we believe could help to resolve
16 some of these very difficult, intractable siting issues
17 that have hampered grid development and resulted -- and,
18 in turn, this will result in important reliability and
19 economic benefits for consumers.

20 Thanks.

21 MS. MCKINLEY: Thanks, John.

22 And finally, our next speaker, Steve Doyon
23 from -- Vice President of Virtual Peaking Capacity
24 Development of Converge, and he's going to talk about
25 demand response.

1 MR. DOYON: Thanks, Sarah.

2 Distinguished Commissioners and guests,
3 ladies and gentlemen. As Sarah mentioned, my name is
4 Steve Doyon and I'm Vice president of Development for
5 Converge. Converge is a provider of hardware and
6 software to the utility industry designed to provide
7 reductions in peak load demand from residential and small
8 commercial and industrial customers. In addition,
9 Converge has pioneered the use of megawatt power purchase
10 agreements. And we call it virtual peaking capacity or
11 VPC, which provide peak load reduction capacity through a
12 turnkey, completely outsourced load control program under
13 a pay-for-performance contract structure.

14 With over five and a half million Converge
15 load control devices installed nationwide, representing
16 over five and a half gigawatts of capacity and 225
17 megawatts of capacity structured under its VPC contracts,
18 Converge is a clear leader in the load control industry.

19 Our first VPC contract with Utah Power has
20 achieved almost 40 megawatts of installed capacity within
21 15 months.

22 In response to the ISO New England's
23 request for proposals to provide low response solutions
24 for near-term reliability concerns in southwest
25 Connecticut issued last year, Converge proposed a load

1 control program specifically targeted to the residential
2 and small commercial and industrial customers within the
3 southwest Connecticut area.

4 And Converge, along with other demand
5 response providers, was awarded a four-year contract
6 beginning in April of last year to provide up to 48
7 megawatts of load reduction capacity specifically in that
8 southwest Connecticut area. Subsequent to the initial
9 award, Converge also executed a second 12-megawatt
10 reliability contract.

11 Since our contract award, Converge has
12 initiated its marketing and recruitment campaign under
13 the brand name Cool Century. And some of you may have
14 noticed our billboards along I-95 in southwest
15 Connecticut or received information by mail about our
16 program.

17 Utilizing our load control switch
18 technology, we are able to remotely cycle the compressors
19 on residential and small commercial and industrial air
20 conditioners during reliability events. By aggregating
21 these loads from thousands of such installations, we can
22 provide significant load reduction which can be utilized
23 as a tool for system reliability.

24 Our program is a voluntary one. Customers
25 are recruited through a direct mail campaign. And in

1 addition to responding to the environmental and
2 reliability benefits associated with our program, they
3 also receive a cash incentive for their participation.
4 In exchange, they allow us to control their air
5 conditioners during limited periods of the year with
6 minimal discomfort.

7 We believe demand response and, in
8 particular, load control should always be considered as
9 part of a balanced portfolio approach to the many
10 problems associated with electric system reliability.
11 Load control has certain advantages over supply side
12 alternatives. It can be specifically targeted in areas
13 where supply side alternatives are difficult or
14 impossible to site. It's the only resource alternative
15 which provides positive environmental benefits by
16 avoiding the use of peak generation sources which, even
17 for renewables, have a negative environmental impact.

18 And, in fact, we encourage the Connecticut
19 Department of Public Utility Control to consider the use
20 of load control as part of meeting any renewable
21 portfolio standard goals. To that end, load control can
22 be economically competitive when compared to the supply
23 side alternatives.

24 But demand response by itself cannot solve
25 all the system reliability problems facing southwest

1 Connecticut. However, as part of an integrated portfolio
2 approach, it is a resource that should be used in
3 conjunction with other transmission and distribution and
4 supply side alternatives available to address these
5 important problems.

6 We are excited about the opportunity to
7 help southwest Connecticut with its reliability issues.
8 Our programs are on their way to success. However, they
9 can be even more successful with your help. One of the
10 hurdles we face is a perception or really a misperception
11 of legitimacy. Few of our customers are familiar with
12 ISO New England, the sponsor of our project.

13 Most of our customers, however, know their
14 utility service providers very well. In our case, the
15 two major utility providers in our project area are
16 Connecticut Light & Power and United Illuminating. While
17 the success of our program provides benefits to all
18 stakeholders, including Connecticut Light & Power and UI,
19 we have not yet achieved coordination with these two
20 important utilities with regard to community outreach and
21 customer contact.

22 And the feedback we've received is that
23 CL&P and UI are unclear as to the type of coordination
24 that the Connecticut Department of Utility Control would
25 approve. Given that our program is paid for by all

1 Connecticut rate payers, we strongly encourage the
2 Connecticut DPUC to assist us in reaching out to these
3 utilities by providing them direction and safe harbor
4 with respect to their support of our Cool Century
5 marketing and recruitment campaign.

6 For example, the Connecticut DPUC could
7 request that the utilities in our program area allow our
8 marketing materials to be included in newsletters or as a
9 bill stuffer.

10 Typically, when we develop other programs
11 across the U.S., we're typically working with one
12 incumbent utility. And for those programs, we're seeing
13 a response rate that's about triple what we're seeing
14 here. And it's primarily due to the utility involvement.

15 In conclusion, thank you for inviting us
16 here today to inform you about the success and challenges
17 of our load control program. The reliability issues
18 facing southwest Connecticut are critical. And while we
19 cannot solve all of southwest Connecticut's reliability
20 problems, we can be part of an overall portfolio of
21 technology and infrastructure solutions to address these
22 issues.

23 MS. MCKINLEY: Thanks so much, Steve.

24 Do we have any questions or comments from
25 our panel?

1 MR. GETZ: Mr. Chairman?

2 CHAIRPERSON WOOD: Please proceed, sir.

3 MR. GETZ: Thank you. I'd like to ask Mr.
4 Duffy a question because he's the first one who has
5 brought up today that looming issue of the location of Y-
6 cap proceedings that are going on. And I don't want to
7 wander into some issues that we probably shouldn't be
8 discussing. But the -- well, it was no surprise, of
9 course, that you're very happy with the latest directions
10 that the Y-cap proposal is taking and the effort to make
11 sure the right things are built in the right place at the
12 right time. It's probably no surprise also to you that
13 there's a lot of regulators in New England who are
14 concerned about the most recent directions in the
15 proceeding.

16 But you also expressed a concern about
17 NIMBYism. And I'm wondering, are you drawing some kind
18 of linkage between Y-cap and NIMBYism that somehow
19 generous Y-cap rates will contribute to breaking logjams
20 in particular areas?

21 MR. DUFFY: No. Not at all, no.

22 Unrelated topic.

23 MR. GETZ: Thank you.

24 COMMISSIONER DOWNES: Other questions?

25 CHAIRPERSON WOOD: I think one of the

1 things I'm struck by from you all is that there are, in
2 fact, a number of different ways to address this
3 undergrounding problem. And maybe to the point that it's
4 not a problem. It's just another option, which I think
5 is what the State is interested in. And I'm still
6 haunted by the concerns of trying something new. And,
7 you know, this isn't some cul-de-sac on the electrical
8 grid. This is a big state with a lot of load on the end
9 of these long cords here.

10 And I'm a little -- I'm informed I think
11 by what you all said, but I'm still grappling for what at
12 the end of the day is the actual next step so that we
13 collectively can assist certainly the Siting Council I
14 guess in its next red letter day in meeting a time table
15 that works with the time lines that we heard of here.

16 And, you know, I guess -- I don't know
17 particularly who to ask. Maybe since you're the
18 applicant, David -- you know, how do we take the best
19 technology solution here, devise, you know, an option
20 that is consistent with the State Statute, which I was
21 told verily that it's not an absolute mandate for
22 undergrounding. It's just undergrounding doesn't
23 decrease reliability, which is clearly the goal here.
24 What's the way to keep an aggressive schedule, cost it
25 out so that the issues raised by Mary and others get teed

1 up and then the Council has a good full record? What
2 would be the next best step to integrate some of the
3 things we've heard about today? And how aggressive can
4 we be on the time table?

5 MR. BOGUSLAWSKI: Mr. Chairman, I would
6 invite Steve Whitley and Roger Zaklukiewicz, who formed
7 the Reliability and Operating Committee, to comment on
8 that either now or on the next panel.

9 CHAIRPERSON WOOD: That's next. So why
10 don't we hold that until the -- you all know that we're
11 interested in hearing -- we're looking for the action
12 item from today because clearly there are some problems
13 out here that need to be pulled together and we can
14 follow them down the field.

15 I was very impressed with the level of
16 diverse technology both here and your window on the rest
17 of the world. It is, I think, chastening to hear that
18 America's not first and best. But that's okay. We're
19 smart enough to learn from who is. And if we can grab
20 that and use it in this grid up here, that's a big all to
21 our credit.

22 So I don't have any particular questions
23 other than to thank you all for the insight you put on
24 what's out there in the lines and also, more importantly,
25 out there in the field working.

1 Nora?

2 COMMISSIONER BROWNELL: Yeah. I just
3 wanted to add to that. This is an industry, for obvious
4 reasons, that tends to be risk-averse. But, sadly, some
5 of that risk aversity extends to new technologies. And
6 truly in restructured markets, we would expect to see
7 lots more innovation. Yesterday, Chairman Michael Powell
8 at the FCC, Pat and I toured a BPL deployment in Manassas
9 which offers all kinds of opportunities, not only for
10 communication but for smart grid -- I'm sorry --
11 broadband over power lines.

12 So I guess, listening to the options
13 available, I would ask my fellow Commissioners to really
14 start to ask the tough questions about why we are not
15 seeing more applications of new technologies which really
16 bring greater efficiencies. They're new, but they're not
17 untried. And we really ought to be pushing the envelope
18 a little bit more.

19 MS. SUEDEEN KELLY: And maybe some of the
20 panelists have suggestions along those lines. If you do
21 right now, I would appreciate it.

22 John?

23 MR. HOWE: I actually -- this is something
24 I've given a lot of thought to in -- over the last
25 several years. Transmission technology development and

1 deployment is truly an instance of the tragedy of the
2 commons. I mean this is a system -- it's an integrated
3 system that benefits us all. But because there had not
4 been a clear framework of property rights, there has not
5 been a clear incentive for individual entities to go out
6 and develop and deploy the technologies because they
7 could not, in turn, capture the benefits.

8 Now, there have been efforts, as we all
9 know, to launch a merchant transmission center in this
10 country. And there have been difficulties. But, you
11 know, when we look at telecommunications, there is a
12 framework of facilities-based competition, you know,
13 where the cable TV folks and the telecom folks have gone
14 at each other and the satellite folks and we have
15 different networks. That has been -- that has generated
16 competition and technology development, technology
17 deployment. We have not had that framework in
18 electricity.

19 But that argues -- my conclusion is
20 because there is this tragedy of the commons, there is an
21 urgent need for government to be involved and take a
22 leadership role in developing and deploying these
23 technologies. That means the Department of Energy in
24 terms of having the budget and resources to do these
25 types of technology demonstrations.

1 I also think it's noteworthy that out of
2 17 states that have energy technology development
3 efforts, including Connecticut, including my state of
4 Massachusetts and other states around the country, I can
5 only think of two, California and New York, that devote
6 really any resources to transmission technology
7 development. Most other states have not focused on this
8 area. It seems to be an oversight. I think we've come
9 to recognize there will be limitations to the
10 contribution that distributed resources can make to solve
11 system level reliability issues. We need to have much
12 more attention on this area.

13 MR. DONOHUE: Some other things to add.
14 The current energy application of this technology, of
15 course, is all based on business projects. I didn't have
16 to go before ISO. I didn't have to go before the eight
17 Commissioners -- I will get second-guessed on hindsight.
18 But going forward, the issue to be determined is how
19 much money do we want to spend. Is there risk associated
20 with the technology? How are we going to mitigate the
21 risk low returns that we're going to receive. This is
22 why we move forward. We don't have a continuous second-
23 guessing going on every single step of the way as to
24 whether it is a prudent investment. You can invest too
25 much or you're not going to recover some of the money.

1 From the get go, do we can recover it all or do we
2 recover more or do we recover less. So a lot, in the
3 application of technology, is we had a clear, concise
4 cap of knowing what our risk and rewards were. It's not
5 obvious to me sitting here today that they have any idea
6 on how they're going to recover -- they have an idea of
7 how they are going to recover their investment, but I'm
8 not sure if there's any certainty (indiscernible) in
9 that process that has a defined beginning and a defined
10 end so that somebody dependent on can go on with the
11 business of (indiscernible)

12 MR. BOGUSLAWSKI: If I could just -- go
13 ahead.

14 MR. DUFFY: Just let me say -- I would say
15 our experience in our projects, strictly our ten projects
16 as well. So we have made the internal decision that all
17 of our 115-kV transmission line five miles under water,
18 seven miles underground will all be unaccounted for.

19 MR. BOGUSLAWSKI: If I could just add one
20 thing? When you -- there is a place for these
21 technologies as they develop. And when you -- for
22 example, when you have a single problem on the system
23 with thermally overloading your lines, you may be able to
24 apply some of the technology being discussed, for
25 example, the 3M solution.

1 When you look at southwest Connecticut, we
2 have thermal overloads. We have voltage problems. We
3 have instability problems. And it goes beyond that. And
4 I'll stop there. But when you put them all together,
5 what we are looking at for incremental technology -- we
6 can isolate a couple of lines where there's thermal
7 overloads where you put up sag measuring devices to make
8 sure you can push more power through that. And we've
9 done some of that.

10 But the point is as these technologies
11 evolve, we have every intention, as we have in the past,
12 to use them. But you must them in isolated ways until
13 you figure out a way to integrate them more fully in the
14 kind of robust solution that southwest Connecticut needs.

15 MR. JOHNSON: We're at our technology --
16 we're just at the stage where we're just commercializing
17 it now. And the utility industry, it seems to be -- we
18 have extensive field tests of the line, over three years
19 of experience, extensive laboratory testing that we've
20 done, gone through. There still needs to be some
21 mechanism to really encourage the utilities that are the
22 early adopters to put in not necessarily for a major line
23 but to try it in a small section as we talked about where
24 there's a problem to be solved, like in Minnesota. And
25 whatever can be done through rates or whatever to

1 encourage that early adoption and then once the
2 technology has spread, then disseminated outwards and the
3 costs are driven down, I think we'll see a widespread
4 usage of it.

5 MS. MCKINLEY: Roger Zak has a comment.

6 MR. ZAKLUKIEWICZ: Commissioner Brownell,
7 just so we're all -- have the facts in front of us.
8 Clearly, Northeast Utilities has installed two D-bar
9 devices, three D-bar devices, I'm reminded by John Howe,
10 on our system. We also have one of seven static bar
11 compensators in the United States was recently placed in
12 service in the Stamford area. This is by far one of the
13 largest high-technology devices. And we went forward
14 with that project recognizing it has risk associated with
15 it to ensure the lights stayed on. We are also
16 contemplating on both projects, the Bethel to Norwalk
17 project, the B/N project, and the M/N project, the use of
18 -- extensive use of costly polyethylene 345-kV
19 underground cable in lengths that are not equaled any
20 place in the United States.

21 So we are pushing the envelope in many
22 areas in a manner which we still feel comfortable we are
23 going to end up with a reliable system, but, at the same
24 time, we are not holding back and saying, "Well, it
25 hasn't been done in 83 other cases. So we're not going

1 to do it now." So I just want to make certain we're all
2 clear here that we are pushing the envelope in many
3 areas.

4 COMMISSIONER BROWNELL: I'm thrilled to
5 hear that. We hope that you'll share your experience
6 with your colleagues. You probably had the leadership of
7 a good commission to thank for that. My point was not to
8 be critical. My point was that we do need more
9 innovation. We haven't seen a lot of it. I'm not
10 completely convinced that the economic signals encourage
11 innovation. I think we're still working on old monopoly
12 models in terms of economic signals. And so what I'm
13 suggesting is -- my colleagues and I have discussed this
14 and we're discussing with our state colleagues; is what
15 can we do to change the equation not only on the risk
16 management profile but on the economic incentives to be
17 leaders rather than followers.

18 So I commend you and I hope that you will
19 continue.

20 MS. MCKINLEY: Shall we move forward?

21 CHAIRPERSON WOOD: Yes, Ma'am.

22 MS. MCKINLEY: I think it's time to talk
23 about reliability issues, which is a major focus of our
24 topic today. And Steve Whitley, on behalf of ISO New
25 England, is going to talk about their portion of the ROC

1 study.

2 MR. WHITLEY: Okay. Steve Whitley here.
3 I'm going to begin the discussion. Roger Zak is going to
4 join in and support the discussion to provide a status of
5 where we are. Just to follow up on the previous
6 discussion, I do want to mention that when the ISO first
7 got involved with the planning process about four years
8 ago, we organized a trip for the planning engineers in
9 New England to the Effrey high-voltage lab up in Lenox,
10 Massachusetts so that everybody was aware of what's up
11 there today and what's coming up in the next five years.

12 And I believe the planning engineers in New England are
13 really on top of what's coming down the line and they
14 look at those things. And I do think it's very
15 important.

16 Getting back to southwest Connecticut, to
17 put it back into perspective, we're talking about a 3500-
18 megawatt load center that's served at 115-kV as an
19 integrated bulk power system. And someone mentioned
20 earlier it's almost like serving it with distribution.

21 And when I was at TVA, Memphis was about
22 3500 megawatts. We served it with three 500-kV lines,
23 the power -- a large power plant in the center of town
24 and three 500-kV substations surrounding the town. And
25 the operators still watched it like a hawk.

1 So this is a large load pocket. And
2 reliability problems here can affect our entire region.
3 It can affect Boston. It can affect New York City,
4 certainly.

5 Dave mentioned earlier a lot of the low-
6 hanging fruit has been done over the years to patch this
7 system up, prop it up. A lot of capacitors have been put
8 in to maintain voltage with these heavy import limits.
9 And that's pretty much got the system right up to its
10 absolute limit at 115-kV.

11 The ISO's had to operate these old,
12 inefficient units out of Merritt in order to maintain the
13 flow within safe operating limits on lines. And we
14 actually have to use emergency operating procedures
15 today.

16 So the bottom line -- and we are existing
17 now with a very weak system in southwest Connecticut.
18 And because it's such a weak system at 115-kV, you know,
19 with the voltage constraints we talked about, weak
20 thermal capacity, too much capacitance, high short-
21 circuit levels, it's really pushed us to the edge to try
22 to find an underground solution that generates a lot of
23 other capacitance into that same weak system.

24 We have found that the impedance of the
25 system or the stiffness of the system, coupled with

1 capacitance, really leads you into severe transient
2 problems. Simply stated, underground bulk transmission
3 cable is very different electrically from overhead
4 transmission lines and varied electric characteristics of
5 the facilities. They're not simply interchangeable. And
6 too much underground in a weak system can cause serious
7 operability and reliability concerns.

8 We have been looking at a number of
9 alternatives to try to find a solution that does put the
10 maximum amount of underground cable in this network and
11 still meet the reliability criteria that we need to meet
12 to keep the lights on.

13 Just to give you a status on where we are
14 today, we have been looking at the applicant's proposal
15 with 24 miles of underground, Phase 2, and about 10 miles
16 on Phase 1 that was proposed for Phase 1 as a system with
17 the use of seven stat coms. We've now determined that
18 that proposal is not workable because of the problems
19 with trying to control seven large stat coms in one small
20 area of our grid. It would be extremely complicated to
21 try to do that and meet all the contingency and operating
22 scenarios that we have to meet.

23 Our consultants have interviewed all of
24 the existing stat com owners around the country, all
25 seven of them, and found that they have all had serious

1 installation problems, many of them with outages over a
2 year when they first went in service, cost and
3 availability problems, problems with control. And, in
4 fact, in some instances we have found that when they're
5 needed to protect you for voltage collapse, they're not
6 there because they require a 100-percent available off-
7 site power supply. So we are not seeing that solution
8 with the extensive use of stat coms as a solution.

9 Recently, ABB just this week has proposed
10 an HVDC solution that they claim will meet the project
11 criteria that we have identified. We're still analyzing
12 that proposal to determine exactly how it works, what all
13 it consists of and does it really meet all of our
14 criteria. But we do have some up-front technical
15 concerns.

16 First, it's not a simple HVDC proposal to
17 send power from A to B. It's a multi-terminal HVDC
18 proposal that would require the operators to try to
19 operate a multi-terminal HVDC system integrated in the
20 middle of an AC system and essentially try to turn the
21 dials to make it respond like a free-flowing AC system
22 would do in the multiple scenarios that we have to deal
23 with in the tightly integrated southwest Connecticut
24 system.

25 So we're continuing to look at that. We

1 have our consultants looking at it to try to understand
2 it better, to evaluate it. We'll have a lot of questions
3 for ABB. But we do have some concerns.

4 The current proposal that is before the
5 Siting Council now, which is called Case 5, we have done
6 some screening studies to determine at what level we
7 reach harmonic resonance and saw that that case was
8 pretty much on the borderline. So we wanted to dig
9 deeper and ask our consultants to peel the onion and look
10 at the results of actual transient voltage analysis.

11 And with this level of study, you're able
12 to find out do you have a little problem that can be
13 fixed or do you have a big problem. And we got those
14 results in draft form just a couple of weeks ago. We
15 still don't have the final case report back from GE. But
16 the results are very troubling to us.

17 We're seeing transient voltages greater
18 than 600-kV at multiple points on the system in southwest
19 Connecticut and for sustained durations. So if those
20 spikes had been small with short durations, there might
21 have been some pretty quick solutions to try to mitigate
22 those problems. But that's not what we have seen.

23 We're looking at literally hundreds of
24 curves and plots to try to figure out what's causing
25 those spikes. That based on our previous screening

1 studies, we believe it's related to having such a weak
2 system in southwest Connecticut and having too much
3 capacitance, which is the introduction of all the
4 underground cable plus the existing capacitance that's
5 there on the network.

6 We have to understand what's driving the
7 problem and are there any viable ways to mitigate those
8 problems. But at the same time, we're running cases to
9 look at an AC solution with less underground to see if we
10 can get a stake in the ground and find a solution that
11 will work.

12 We'll continue to review the ABB proposal
13 for HVDC. And we'll consider the implementation of any
14 of the ideas that were presented today that we haven't
15 already considered.

16 So that's where we are. I think if those
17 case results would have come back, you know, a lot more
18 in a reasonable range than what we saw, we could be a lot
19 more optimistic about when we're going to have a
20 solution. But that's where we are today.

21 Roger?

22 MR. ZAKLUKIEWICZ: Thank you, Steve.

23 Due to the lateness of the program, I am
24 going to skip over the recognition of all the dignitaries
25 present. However, I do want to -- that was almost as

1 good as "We can think better over lunch."

2 However, I do want to thank you for
3 allowing me to participate in this very important
4 technical conference.

5 As Dave Boguslawski said, we all see the
6 southwest Connecticut problem from our own perspective.
7 My perspective is that of someone who is going to be
8 responsible for what gets built and, most importantly,
9 that the project is very reliable, that it performs as
10 designed and provides a long-term solution.

11 My concern is that of providing a
12 transmission system that will work when it is needed and
13 one that can be operated in real world conditions by
14 utility employees.

15 We've all recognized that extensive use of
16 underground cables in the long distance, extra high-
17 voltage transmission lines would not provide the same
18 degree of reliability that an overhead transmission line
19 would. However, because of the extreme public interest
20 in having new transmission lines be underground, we tried
21 to come up with a proposal that would incorporate as much
22 underground cable as we could while still preserving an
23 acceptable degree of reliability.

24 On the Middletown to Norwalk project, the
25 24 miles between East Devon and Norwalk was the logical

1 portion of the line in which to concentrate the
2 underground construction. This was in part because the
3 existing right-of-way was not wide enough to accommodate
4 new overhead line construction and so would have to be
5 widened, whereas the rights-of-way north of East Devon
6 were wide enough for the new overhead lines.

7 But there was one additional important
8 reliability consideration for proposing underground
9 construction between East Devon and Norwalk and not north
10 of East Devon. The single largest reliability concern at
11 the time was the long outage times required to find and
12 repair faults in the underground extra high-voltage cable
13 system.

14 The system south of East Devon could
15 handle such an outage much better because the power
16 starts to get distributed onto other lines at East Devon
17 and there is less flow on the 345-kV circuits and more
18 alternate paths for power to flow if one of the
19 underground lines is lost.

20 The legislators then pushed us to do even
21 more undergrounding, as much as technology allows. The
22 studies needed to determine how much would be
23 technologically feasible and where it could be
24 constructed are very complex and time consuming and only
25 a few experts in the world are capable of doing them

1 correctly. We retained several of them.

2 What we learned from these experts is what
3 we had already proposed could be beyond the limits of
4 what is technologically feasible. However, we are
5 leaving no stone unturned. But neither will we propose
6 to build something if we are not sure that it will work
7 when it is needed and that it can be predictably
8 operated.

9 I just heard this morning for the first
10 time that the Council's consultant, KEMA, has said that
11 24 miles and more of underground transmission is feasible
12 and will be reliable. I am sincerely looking forward to
13 reading that report. And I would be delighted to be
14 convinced that it may be possible to reliably operate
15 that much cable in southwest Connecticut.

16 What strikes me about the KEMA Executive
17 Summary is that KEMA says they have completed harmonic
18 scans and apparently have not initiated any transient
19 network analyses. We should note that the ROC
20 consultants are doing TNA's -- that's transient network
21 analyses. And it is these TNA results that are showing
22 the widespread voltage problems we are trying to
23 understand and mitigate.

24 It is not only the magnitude of the
25 voltages that are a concern but the sustainability or the

1 duration of the voltage envelopes.

2 Perhaps the best way to use whatever
3 little time remains is for Steve and I to address any
4 questions that the rest of you have on the dais and give
5 us -- give you our perspective on those issues. However,
6 I want to make it perfectly clear that NU and UI are
7 committed to finding a solution to southwest Connecticut
8 that will incorporate as much underground construction as
9 is consistent with the reliable and operable electric
10 transmission system.

11 Thank you.

12 CHAIRPERSON WOOD: Let me just ask a quick
13 question. And to your last point, so by when? Do you
14 have a date? Can you give a date for that?

15 MR. ZAKLUKIEWICZ: A date to complete the
16 studies?

17 CHAIRPERSON WOOD: Right.

18 MR. ZAKLUKIEWICZ: I believe Mr. Whitley
19 and Mr. Boguslawski responded to that earlier. We were
20 saying we were hoping we would be able to get a solution,
21 find a solution, such that we could present to the
22 Council some time in December. Recognizing, Mr.
23 Chairman, that these studies -- to do full studies take
24 three to four weeks. And we are pressing the
25 consultants, that is General Electric and others, who are

1 performing these studies to complete them, work 7/24's if
2 they have to, to get us the results so we can analyze the
3 findings.

4 MS. MCKINLEY: I believe we have a
5 question by Representative Nardello.

6 REPRESENTATIVE NARDELLO: Did you have a
7 follow-up?

8 CHAIRPERSON WOOD: Go ahead, Ma'am. Thank
9 you.

10 REPRESENTATIVE NARDELLO: This question is
11 for Mr. Whitley. And it's on process. As we -- this
12 proposal -- as this proposal came forth in October of
13 last year -- okay? We knew there was going to be 24
14 miles of undergrounding. And then we hear from ISO in
15 June of this past year that you really had a lot of
16 problems with the project. So my question to you is in
17 terms of process did you see this application initially
18 in October and why did it take six months for you to
19 determine that there were going to be so many reliability
20 issues? I think that's been asked of me many times.

21 MR. WHITLEY: Okay. We at the ISO and the
22 applicants first saw some transient analysis reports from
23 General Electric somewhere around January. And when our
24 engineers looked at those first results, they looked like
25 they could be troublesome. But they looked like they

1 have some sense that there was going to be difficulty? I
2 mean, again, this I think took a lot of people by
3 surprise because when you came forward with the proposal,
4 the towns involved -- part of that is in my district --
5 assumed that it was a viable proposal. And then suddenly
6 we're hearing many, many reliability concerns. And I
7 think that this has to be addressed. So what was your
8 sense when you put this in initially in October?

9 MR. BOGUSLAWSKI: Roger, could I --
10 Representative Nardello, let me respond
11 this way. If we erred, we erred on the side that you all
12 wanted us to. The normal way that you do transmission
13 planning is you run load flow studies to tell whether the
14 lines will work thermally or overload, to tell whether
15 you can keep the voltage up or not and then at a later
16 time, after you know you have a project that generally
17 will go from Point A to Point B, then you get in, as
18 Steve said, you get into the very detailed equipment
19 design ratings. And that is where a problem like the one
20 that ISO has just talked about, what Steve just talked
21 about -- that is where you typically would find the
22 problem.

23 In our application to the Council, we
24 committed to try to make the 24 miles work. We did not
25 say 24 miles would work. We said we would try to make it

1 work. We also put in an all-over-- essentially an all-
2 overhead proposal and one other one with fewer
3 underground miles.

4 I am glad that ISO came forward as quickly
5 as they did. Otherwise, we could have run the risk of
6 getting to the very end and then, when we went back and
7 tried to design the equipment, found that we could not
8 get the equipment to the ratings that were necessary. So
9 I think ISO really deserves a big pat on the back for
10 coming in as quickly as they did.

11 CHAIRPERSON WOOD: Kevin? Representative
12 DelGobbo?

13 REPRESENTATIVE DelGOBBO: Thank you.
14 Thank you, Mr. Chairman. I -- and notwithstanding the
15 previous question, my recollection is -- and I
16 appreciate, Steve and Roger, your statement again here
17 today on reliability issues involved in this particular
18 application. I mean my recollection is there's not how
19 many hundreds of ways can you two gentleman have come
20 before us in Connecticut and discussed the concerns in
21 every way possible of how to achieve the results of
22 upgrading this transmission line. And I've heard that in
23 every single iteration from both you gentlemen.

24 My question is to both of you. I'd ask
25 you both to comment on this. I'm concerned -- and

1 Roger's comment is a serious one. Roger, when he said,
2 you know, even what we have before us could be beyond the
3 limits of technological feasibility. I take that
4 seriously, not just as a, you know, an idle concern.
5 What if we spent all these millions of dollars and what
6 if we have deforested a whole section of America in
7 studies and what if we have all this anguish in this
8 process and the system is not, in fact, reliable? Is
9 where I'm concerned. One of the things that I want to
10 see come out of today is a connection between ISO and the
11 applicants that we're going down the same track, that
12 what the Siting Council finally puts forward is one that,
13 in fact, ISO can put its stamp of approval as being
14 reliable.

15 I'm sorry. As an individual and as -- I
16 don't think we can live through a situation where that's
17 not, in fact, the case. And I can't make that point
18 strong enough. I'd ask you both to comment on the
19 following. Is -- given the current state of the
20 statutory framework that the Siting Council lives with
21 under the presumption of undergrounding and your concerns
22 that you've discussed of the technological issues facing
23 that, where do you gentlemen feel we are and what the
24 likelihood of how that's going to impact the application
25 before the Siting Council today? I need to get your

1 sense of confidence on how that's going to happen and how
2 the cost issue that was discussed earlier is going to
3 relate to that.

4 I'll start with Steve.

5 MR. WHITLEY: Well, from the results we've
6 seen in this draft report from GE, it's very concerning
7 to me that we're going to be able to make these 24 miles
8 work. But we're going to turn over every stone and try
9 to make sure the way in. We're also trying to look at
10 other studies with less underground to find something
11 that will work.

12 I mean what's ironic about this whole
13 thing, throwing the cost into it as well, you're trying
14 to look at something that's just on the edge of maybe it
15 will work and it might cost an extra 600 million dollars
16 to put yourself on that edge. That's a crazy place to
17 be. We ought to be trying to find a solution that will
18 work and solve the problem and give the ability that
19 Roger talks about to operate the system reliably.

20 But we -- I want to mention that we have a
21 directive from Commissioner Katz of the Siting Council
22 that says "Don't bring a proposal back that you won't
23 stand behind." And so that's a very clear directive that
24 I interpreted that way. And we're still committed to try
25 to turn over every stone on this current proposal. And

1 we're doing that to try to better understand it and see
2 if we can solve it. But we're also looking at
3 alternatives with less than 24 miles.

4 Roger?

5 REPRESENTATIVE DelGOBBO: Roger?

6 MR. ZAKLUKIEWICZ: One of the questions
7 within your broader questions was what happens with the
8 high over-voltages and their sustainability. The best
9 case scenario would be we would fail potentially from
10 substation equipment and possibly some customer equipment
11 as a result of these extremely high voltages. Costly,
12 could result in localized outages. But it's also fair to
13 say that the sustained high voltages could end up
14 resulting in a widespread outage throughout all of
15 southwest Connecticut and potentially extend into the
16 other main transmission facilities serving the rest of
17 Connecticut, which would end up blacking out portions of
18 Connecticut and hopefully the productive relay systems
19 would end up separating Connecticut from the rest of New
20 England such that it would not be widespread as we
21 experienced on August 14 in 2003.

22 I am in full agreement with Steve Whitley.
23 We are not going to bring forth a proposal which is not
24 going to be reliable and which will not work. We will
25 endeavor to figure out the maximum amount of underground

1 cable that can be installed with the reliability and
2 operability that meets our standards for operation then
3 of the bulk power system within New England.

4 MR. BOGUSLAWSKI: Representative DelGobbo,
5 could I make a comment as well please?

6 REPRESENTATIVE DelGOBBO: Please.

7 MR. BOGUSLAWSKI: Let me tell you what I'm
8 concerned about. I'm concerned that a lot of well-
9 intentioned people, legislators, tried to give direction
10 in a very well-intended way and have put the planning for
11 infrastructure into a state of chaos. And we're going to
12 work our darnedest to meet the intent of the legislation.
13 But I am very concerned that we -- it is going to take us
14 a long time. We're going to be running study after study
15 after study. The clock is going to run out on the siting
16 process. And we will have the law of unintended
17 consequences.

18 I am also concerned that, with the kind of
19 discussion at the Siting Council that is taking place --
20 and I understand why. It's basically this law that's
21 driving it. People are talking about, you know, taking
22 wide swaths of land to build overhead transmission line
23 and displacing homeowners and spending a lot of money to
24 create these buffer zones where the science, the EMF
25 science, doesn't support that.

1 So I am concerned that we may well find
2 that we've created -- although we were well-intentioned
3 coming in, I am very concerned that we have created in
4 the state of Connecticut a law with unintended
5 consequences.

6 REPRESENTATIVE DelGOBBO: I -- just to --
7 I appreciate the comments of all three of you gentlemen.
8 I almost get the sense that the FERC session here today
9 is somehow to get all of us as we all could understand
10 this here today. But it's "All right, kids. We've got
11 to play nice and figure out and get this done." So I
12 appreciate FERC's intent, if that's -- if I understood it
13 correctly.

14 MR. ZAKLUKIEWICZ: Representative
15 DelGobbo, I think there's one other point we need to keep
16 at the top of our list. The summer of 2003 was cooler
17 than normal. Some characterized the summer of 2004 as
18 not even having a summer. And we have lost sight of the
19 experiences we went through in 2002 attempting to keep
20 the lights on. And as I go through the various doors in
21 the past two summers, I'm just reminded that at Home
22 Depot they were selling air conditioning units, General
23 Electric, \$74.00 apiece and they couldn't ring them up
24 fast enough. That additional load is on the system.
25 Most new homes being built in the state are now 3,000,

1 4,000, 5,000 square foot, fully air conditioned. The
2 load is there. The load is increasing. And we have to
3 keep in mind that it is possible in 2005 and 2006 we are
4 going to be where we don't want to be and that is going
5 through rolling blackouts to keep the system from falling
6 apart.

7 So we have this urgency that as Americans
8 we tend to forget things quickly and we seem to have
9 forgotten the urgency of the situation.

10 MS. MCKINLEY: Gordon Van Welie has a
11 comment.

12 MR. VAN WELIE: Yeah. I wanted to
13 actually support some of the comments that were just made
14 by Dave and by Roger. And this morning I said that we've
15 got to relieve some of the constraints for the engineers
16 that are trying to find a problem. We've got a macro
17 problem and a microscopic problem here in Connecticut. At
18 a macro level, we heard that you've got a serious
19 reliability problem and that Connecticut consumers are
20 bearing a great deal of additional cost because we don't
21 have a reliable infrastructure. That's the macro problem
22 that we're trying to solve.

23 And it strikes me that part of how we got
24 ourselves into the situation is that we tried to solve
25 for the political constraints before we tried to solve

1 for the engineering constraints. And I think where the
2 engineers could be helped is if the policy makers gave
3 them the freedom to go off and find an engineering
4 solution that would be -- that would work and would be
5 reliable and then thereafter they start applying some of
6 these other considerations. And I think that way we'll
7 get a solution that will work.

8 CHAIRPERSON WOOD: So mid-December we get
9 a solution that will work. At that point, it goes
10 through the wringer of -- on the costing side at least.
11 How fast could -- could that be done simultaneously?

12 MR. VAN WELIE: Yes.

13 CHAIRPERSON WOOD: That you would say
14 "Here is the base cost. Here's what the increment would
15 be" so that the locally borne cost versus the regionally
16 borne costs are out there for the Council to look at. So
17 then you do engineering first. I think that's absolutely
18 correct. Do what works reliably first. That's off the
19 table. Then we go as to is that choice one that the
20 Council approves. And I guess the hard question will be
21 if the answer is no, then do you have options then that
22 are maybe less expensive that still solve the reliability
23 problem.

24 MR. VAN WELIE: Well, I think at a macro -
25 - at a macro level once again -- and I'm hoping and

1 confident that we'll find some transmission solution here
2 that will work. But it may not have as much
3 undergrounding as we would like. So I think you've got
4 to give the engineers the freedom to go back and look at
5 a whole range of cases, starting at one of the
6 alternatives which NU put on the table way back in
7 October which had two miles of undergrounding, and give
8 them the freedom to look at all of the solutions, find
9 something that works and then thereafter come back and
10 say, "Okay. We know this one works. Maybe if we add a
11 couple more miles of undergrounding, does it still remain
12 reliable? Is it still a stable solution?"

13 In the very worst case, if a transmission
14 solution doesn't work at all, we're going to have to go
15 looking for other solutions, distributed generation
16 solutions. I don't know what the options are. Maybe we
17 have to go back to the 115-kV network and see what we can
18 do there. None of those are really preferred solutions
19 because they're all -- they all smell like the band-
20 aiding you've been doing for the last 20 to 30 years.

21 So I think we have to find a way of making
22 this transmission solution work. But my plea really is
23 where I think the Connecticut policy makers as well as
24 the federal policy makers can help us is give us the
25 freedom to find a solution that from an engineering

1 perspective works and then let's apply these other
2 constraints.

3 CHAIRPERSON WOOD: I guess this is
4 probably a good time to ask. Is that objectionable to
5 anybody in this room?

6 MS. HEALY: Mr. Chairman, I would
7 respectfully comment -- and Gordon's comments are well
8 taken -- that you do as the engineers have that
9 permission from the policy makers. As far as my reading
10 of the undergrounding statute was, there was a preference
11 for undergrounding and the term was "if technically
12 feasible." And that, to me, gives you the freedom that
13 you're looking for to do those extensive modelings that
14 you're doing. And if it comes out and it's not
15 technically feasible, then the presumption of
16 undergrounding is rebutted. And then you have to look at
17 other solutions and you're into the overhead
18 configurations or some undergrounding and overhead.

19 And I think -- I think that that is in the
20 statute and that is what this process is trying to be
21 about at this point. And, you know, rallying us around
22 it is a good thing. But the way I look at it and our
23 office looks at it, it's a rebuttable presumption. If
24 it's not technically feasible, then the undergrounding,
25 you know, has been rebutted and --

1 MR. VAN WELIE: Perhaps I can just -- it's
2 more than just the written word of what's written down in
3 terms of the criteria. I've got a small dog at home and
4 we have one of these underground electric fences. And
5 we've trained it so that when he gets within five meters
6 of that fence, he yelps and runs in the other direction.
7 So the dog doesn't know about the law. But I tell you
8 the engineers that are trying to design a solution here,
9 they know when they get within five feet of the line the
10 buzzer starts going off around their neck. And I think
11 what you've got to give them the opportunity to do is to
12 solve the problem without feeling that they're going to
13 get shocked.

14 MS. HEALY: Right. And to that point, one
15 last comment. If undergrounding is not going to
16 guarantee reliability, I wouldn't want one rate payer
17 paying for that, the cost of that line. And I'd say that
18 quite publicly to them all. And I would hope that they
19 would want me to say that as their advocate. And I think
20 everybody sitting in this room would have to agree with
21 that. We don't want to build something that does not
22 work.

23 COMMISSIONER DOWNES: May I? May I jump
24 in?

25 MS. HEALY: Please do.

1 COMMISSIONER DOWNES: Well, you may not
2 like this at the other end. We'll see. In an ongoing
3 effort to try and think up some new ways of approaching
4 this and at the same time be the proverbial skunk at the
5 garden party here, let me throw out another idea.

6 One of the things I'm concerned about is
7 that, as a number of the panelists pointed out, this
8 process of testing the various configurations is a long
9 and complex one and involves a fair amount of time. And
10 at the end of the day, my interest and I believe the
11 interest of most of us is to try and move this process
12 down the road fairly expeditiously.

13 We've heard from a number of people on
14 this panel that they believe that there are a variety of
15 other possible solutions that could be applied. And
16 while I recognize that there are lots of opinions out
17 there that are supported by different kinds of things, at
18 the end of the day it seems to me that perhaps we want to
19 set up an arrangement here so that there is some
20 reasonable opportunity here to finish testing out the
21 current theories.

22 And, Roger, you were mentioning a little
23 while ago -- and I believe, David, you were mentioning a
24 little while ago that some of the data on these has come
25 back kind of alarmingly poor and that ultimately this

1 arrangement could turn out to be highly problematic.

2 Is there some valuable in setting a
3 backstop on this and saying "Fine. Let's go on to -- I
4 don't know -- mid-December or something, for example",
5 which is what you were suggesting a little bit earlier.
6 And one of two things is going to be true. Either, you
7 know, either the experts will come back and say, "Yeah,
8 it's going to work" or they will come back and say, "No.
9 We still don't have something that's going to work here."

10 Well, if they come back and say it's going
11 to work, well, then fine. We can all declare victory and
12 go home. To the extent that they come back and they say,
13 "Well, we don't know if it's going to work or not" or "It
14 definitely won't work", then maybe what we ought to do is
15 consider putting out some sort of a solicitation and
16 asking a variety of folks, including some of these nice
17 people and maybe some other people out there who have
18 some different ideas to come forward and say, "Look. You
19 know. We have a way of doing some of this. And here's
20 our way of doing it." And by the way, I mean if I were
21 doing this, I'd consider putting out this bid and having
22 these guys come in and demonstrate through the studies
23 and through whatever verification it is that ISO and NU
24 and CL&P think is appropriate that their concepts
25 actually work. As opposed to the company, you know,

1 trying iteration after iteration after iteration and
2 ultimately maybe not getting anyplace.

3 Look. I want to stress I -- I have
4 nothing against NU or UI or ISO. I think everybody has
5 been making a maximum effort to move down the road. But
6 I remain concerned that, you know, under the
7 circumstances we're in at the moment, if GE comes back in
8 the middle of December and says "You know what? We've
9 run 16,000 possible variations and there is not one of
10 them that we think is really do-able", then where are we?

11 And, frankly, some sort of a time line
12 like that it seems to me would provide some incentive for
13 these guys to move forward. It would also say to some of
14 the folks that have other kinds of alternatives, "Look.
15 There's a chance that this thing they're studying in
16 Connecticut may not work. Let's get our act together.
17 Let's see if we can put together a proposal that we think
18 will work and get ready to go and offer to them."

19 So, in any event, that's the theory. I
20 mean I'd be interested if anybody had a reaction.

21 COMMISSIONER BROWNELL: I think it's a
22 great idea, actually. Competitive markets are best
23 served by competitive bidding. And I think that allowing
24 the opportunity for policy makers to really what a
25 market-driven solution might bring would be an

1 interesting exercise. Clearly, we have companies who,
2 although they haven't built transmission in 30 or 35
3 years, I guess, have experience and that's a good thing.
4 But we see lots of new providers in the marketplace, new
5 technology providers, independent transmission companies
6 which have been enormously successful elsewhere in the
7 world. I think it would be a pretty healthy exercise.

8 So, Don, as usual, a brilliant suggestion.

9 COMMISSIONER DOWNES: I only wish you
10 could vote on my Commission.

11 COMMISSIONER BROWNELL: I'd be willing to
12 try.

13 COMMISSIONER DOWNES: David?

14 MR. BOGUSLAWSKI: One of the things that I
15 think we have done along the way is welcomed any and all
16 comers that have ideas to come talk to us. But at the
17 end of the day, I think you want to put through the
18 technical analysis wringer, if you will, those proposals.

19 Now, Gordon's idea of trying to bound the
20 analysis early on I think makes a lot of sense because if
21 we can't find a way to do 24 miles of underground, we
22 have to find something that works. So his idea is let's
23 go to the lowest amount of underground possible and see
24 if that works. If that doesn't work, we have a very
25 different set of problems than any of us thought going

1 into this issue or this problem, this solution-finding
2 approach.

3 I think the right way to do it is probably
4 to bound the problem. And we intend to come back in
5 December with an analysis that tries to bound the problem
6 and tries to do enough runs so that we know where that
7 sweet spot is which some will argue is what the law calls
8 for.

9 Let me also suggest to you, sir, if I may,
10 that what the putting out for RFP will do, guaranteed,
11 guaranteed, is add 24 months to 36 months to the time
12 line because they have to -- they would have to --
13 whoever does respond to the RFP would ultimately need to
14 go through the same siting process, would ultimately need
15 to run the same level of sophisticated analysis, thermal,
16 voltage, stability, transient network analysis,
17 harmonics, looking at the harmonics and those kinds of
18 things. And it would be a shame for the state of
19 Connecticut to lose the many months we've already
20 invested in this in looking for a solution.

21 MR. VAN WELIE: Could I just add something
22 to that discussion as well? Because I was thinking about
23 the solution -- the suggestion that you just made. And I
24 think in part I read it as an attempt to put some
25 pressure on the process so that we get to a decision and

1 we can then move forward. And so, in general, I think
2 that's a positive thing.

3 But to just pick up on what Dave just
4 said, from what we can see of the system and what we've
5 learned about the system over the last several years, the
6 only alternative you've got to really strengthen the
7 infrastructure is getting a lot of load off the current
8 system. That means huge amounts of demand response or
9 huge amounts of distributed generation. And I think
10 before you go down that path and spend a lot of effort
11 and time investigating that, you should probably take a
12 look at what that will cost you; because I think it's
13 going to be substantially more expensive in terms of
14 putting that amount of distributed generation into
15 southwest Connecticut and will have pretty severe impact
16 in terms of causing people to effectively restrict their
17 consumption and whatever ramifications that might have.
18 So I think it's a good idea to perhaps think about it a
19 little bit more. But you probably need to do a quick pen
20 and paper check as to the feasibility of that particular
21 option.

22 CHAIRPERSON WOOD: Gordon, where did you
23 hear that there's something else that is kicking around
24 here other than how to get these transmission lines
25 built?

1 MR. VAN WELIE: Well, you know, what I
2 heard there was the implication that if we can't find a
3 solution, a transmission-based solution, by December,
4 essentially what Don was proposing to take the problem
5 away from NU and UI and hand it over to the market to
6 find a solution. Now, my logic is the following. Unless
7 we're going to find two alternate wires companies in
8 Connecticut, we're the ones you've got. So really what
9 you're asking the marketplace to respond -- what is the
10 marketplace? The marketplace would be large-scale
11 generation, small-scale distributed generation and demand
12 response.

13 CHAIRPERSON WOOD: I think what I heard
14 Don say, though, in terms of transmission is what we
15 heard about here on the table. All these other points
16 are valid. But I think what I heard him say was if this
17 transmission solution can't work, then maybe some of
18 these other ones can.

19 MR. VAN WELIE: Like emergent
20 transmission?

21 CHAIRPERSON WOOD: Yeah.

22 MR. VAN WELIE: Well --

23 CHAIRPERSON WOOD: Or even --

24 COMMISSIONER DOWNES: What would be wrong
25 with asking Northeast to consider putting out an RFP and

1 seek some of these technical solutions as well? I mean I
2 understand that there are companies that would like to
3 just build the facilities themselves and own it. Fine.
4 I understand that. But it seems to me that they also may
5 be purchasable and you may be able to put out an NU/UI
6 consortium, be able to put out an RFP and say, "Look.
7 We're looking for somebody to come in and provide that --

8 MR. VAN WELIE: A transmission-based
9 solution --

10 COMMISSIONER DOWNES: -- technical --
11 exactly. Transmission-based solution.

12 MR. WHITLEY: Mr. Chairman --

13 COMMISSIONER DOWNES: I'm sorry. Bear
14 with me just a minute.

15 MR. WHITLEY: Yes.

16 COMMISSIONER DOWNES: Because, Gordon, you
17 know, the other thing that I can do is, you know, some
18 time after the first of the year the Connecticut Energy
19 Advisory Board will come on line. And they have the
20 power to issue RFP's for all kinds of things, demand
21 response and transmission and generation and pretty much
22 -- so, frankly, I'm not inclined to -- you know, I'm not
23 inclined to wade into this necessarily at this point and
24 say to Connecticut I don't have confidence that NU and UI
25 and the ISO are, indeed, making a responsible effort to

1 find a solution. So I'm reluctant to pass with that.

2 And in part you're right, Gordon. You
3 know, part of my idea was kind of a backstop to put a
4 little pressure on the process and make it move forward.
5 But the other side of the thing was that --

6 MR. VAN WELIE: Well, could I offer you an
7 alternative proposal?

8 COMMISSIONER DOWNES: Sure.

9 MR. VAN WELIE: Because I think visibility
10 on this process will help keep the pressure on it. So my
11 proposal would be to reconvene a conference like this in
12 the new year to see where we -- to see what progress
13 we've made. And at that point, if -- we'll know more.
14 Hopefully, we've gone through these studies. And as Dave
15 said, you've bounded the problem at that point. We'll
16 know more about the range of possible solutions. And I
17 think that's where you could actually ask that question
18 again.

19 COMMISSIONER BROWNELL: Maybe we could
20 have some of the many consultants that have been
21 referenced here today, GE, KEMA, others, maybe we can
22 just get the people who are doing these studies here so
23 that we could talk to them about options and what those -
24 - it would be helpful to have those studies beforehand.
25 And when you say January, we talked about December and

1 then we talked about January. We've been talking for two
2 years now.

3 MR. VAN WELIE: Well, you can do it in
4 December. Yeah. I was just thinking --

5 COMMISSIONER BROWNELL: On Christmas Eve
6 if we have to.

7 MR. VAN WELIE: Right.

8 COMMISSIONER BROWNELL: I mean let's be
9 disciplined. It gets people's attention --

10 A VOICE: Do we get to vote on the
11 Christmas Eve thing?

12 COMMISSIONER BROWNELL: Well, just pick a
13 date and stick to it is my point. And make it in --

14 CHAIRPERSON WOOD: We will commit to do
15 that between December 15 and January 15. We'll be back.
16 And I think the hope here is that we -- the hope, the
17 expectation is that we have a solution or two or three
18 that clearly pass the reliability hurdle first, that
19 conform to the state statutory requirements as much as
20 possible, which it looks like, from looking at the words
21 of the statute, envision that reliability is the trump
22 card, and that it's actionable at that point by the
23 Siting Council and by the ISO cost allocation -- or the
24 cost allocation should be done before then. Is that do-
25 able, Steve? That at least a ball park recommendation --

1 MR. WHITLEY: I think we can do the ball
2 park. It's a matter of do they have -- does it have as
3 much involvement on what the proposal is. But I think we
4 should know on the order of magnitude of what the cost --

5 CHAIRPERSON WOOD: That's what -- I mean
6 you're not going to know figures now with a project in
7 '08 what exactly it is.

8 MR. VAN WELIE: Could I make a suggestion
9 in terms of the cost allocation? What we've been talking
10 about today is Phase 2. And what still has to be
11 determined is the cost allocation on Phase 1. So I think
12 as a goal, we ought to at least have had a good look at
13 the cost allocation of Phase 1 because what belonged
14 there in terms of that allocation process is probably
15 directly transferrable, at least in terms of the
16 principles that are developed, to Phase 2. So I think
17 that will inform us in January as well.

18 COMMISSIONER DOWNES: Do you think we
19 would have those estimates in January?

20 MR. VAN WELIE: Well, I'm -- I guess I'm
21 asking the question and looking for a response from Dave
22 and Steve because we know a lot more about Phase 1 than
23 we do about Phase 2 at this point.

24 MR. BOGUSLAWSKI: Well, I think what we --
25 we would have gone through another very detailed estimate

1 on the Bethel to Norwalk line. And I think what we know
2 in Middletown/Norwalk -- so I do agree with you, Gordon.

3 I also know on Bethel to Norwalk -- on Middletown to
4 Norwalk, rather, that the price structure is as for
5 overhead lines. So if an overhead line was going to cost
6 you, you know, three and a half million a mile,
7 undergrounding is going to cost you somewhere in the 14
8 to 15 range for the multiple tables you're talking about.
9 So we could ball park out costs I think along those lines
10 as well.

11 COMMISSIONER BROWNELL: David, did I
12 misunderstand something? I thought this morning you said
13 undergrounding was the less expensive solution. I'm just
14 confused. Maybe you're saying the same thing in a
15 different way.

16 MR. BOGUSLAWSKI: Well, I think one of the
17 things that happened this morning when I was asked
18 questions about the cost of undergrounding is I was
19 describing some tradeoffs that occur. And when you look
20 at any project, you must build substations and there's a
21 cost to that. You must acquire land and rights-of-way.
22 You must also build overhead lines or underground lines.

23 When you look at the Middletown/Norwalk
24 project, from Milford north to Middletown, we already
25 have rights to the right-of-way. So we're looking at the

1 cost of building 345-kV lines overhead or underground.
2 And our estimate of the overhead price tag for that
3 section is about three million to three and a half
4 million a mile. If we were to have to underground in
5 that area, it would cost about 15 million a million, for
6 a factor of about four to one. And we're talking, you
7 know, a section that's about 45 miles long, 10 or so
8 million a mile difference, you're talking four or 500
9 million dollars extra in cost to underground in that
10 section. Those are very, very rough numbers.

11 When you look at the southern portion of
12 the route, we don't have the right-of-way width. So we'd
13 have to go out and buy homes and right-of-way width.
14 When we first looked at this project for that 24 miles,
15 it appeared to us as though the cost of under-- that the
16 extra cost of putting the lines underground would be more
17 expensive, but it would be offset by the savings of not
18 buying the land. So we thought the cost of that 24 miles
19 for overhead or underground was about the same either
20 way.

21 We have subsequently learned in our
22 technical studies that the problem -- that the technical
23 studies don't solve. It doesn't work. We looked at
24 putting a number of static bar compensators in at a cost
25 of 250 to 300 million dollars. It just so happens that's

1 another 10 million a mile.

2 So I think my takeaway from this and what
3 I want to be very clear about -- if I said anything at
4 all that was confusing about the cost, underground is
5 much more expensive than overhead. Much more expensive.
6 Probably a factor of three to four or five, in that
7 range.

8 COMMISSIONER BROWNELL: Okay. Thank you
9 for clarifying that because I think a lot of people,
10 including me, left this morning thinking that you had
11 said just the opposite. Let's be very, very specific. I
12 can't wait to see the outcome of a cost analysis. And
13 ball park is lovely. But I think we need a narrow ball
14 park, something a little more specific.

15 MR. PHELPS: Thank you, Mr. Chairman.
16 I've been cautious in my participation today and careful
17 to not remark too much during today's proceeding. I
18 appreciate the fact that everyone here has respected my
19 need in that area. Notwithstanding that reluctance to
20 engage in a lot of the discussions and debate, for lack
21 of a better term, I will remark that much of what's been
22 discussed in the last hour as it relates to the
23 technologies that are emerging among various companies,
24 consultants, talented firms and companies that are
25 talking about different ways of building transmission,

1 including our own firm, KEMA, that I remarked about this
2 morning, you know, the Connecticut Siting Council,
3 through its jurisdiction within the Connecticut Statutes,
4 given the skill sets of the staff, the background and
5 experience of the various members of the Siting Council
6 themselves, not the least of which my chairman, I think
7 it's important to point out here that our process and our
8 wherewithal does, indeed, permit and empower the Siting
9 Council to do much of what's been talked about here,
10 juxtaposing one expert's thought processes about ways of
11 building a mousetrap against the other. The formal
12 process lends itself to testimony, cross examination and
13 so on.

14 At the end of the day, once a route is
15 brought in to the Siting Council, once we receive the ROC
16 report and a route is pointed to by the applicants and
17 what is said to us is "This is the route that we wish to
18 build. This is our application. We wish to have this
19 considered and acted upon", then we proceed with
20 scheduling hearings. And, you know, the rubber will hit
21 the road, so to speak.

22 But as we sit here today, we don't have
23 the ROC report and, you know, we're not entirely certain
24 when we'll get it, although we're hopeful that we'll get
25 it by the end of the year.

1 The Siting Council is prepared to do the
2 hard work and do its job here. We stand ready to do that
3 and we look forward to doing that very soon.

4 MR. McCLELLAND: I feel like the guy on
5 Jeopardy that's been hitting the buzzer but hasn't had a
6 chance to speak, at least not on the microphone. A
7 question. I have a question for you, Steve. The current
8 situation, as I understand it, is you have a weak 115-kV
9 system and you're looking at solutions. And this is an
10 alternative between overhead and underground
11 transmission. And I'm putting that in very simple terms
12 in order to try to summarize it for the audience.

13 Now, GE's done a study and the study has
14 come back and said, "Hey, we might have one, two, maybe
15 three solutions." Solution 7 or Case 7 was the stat
16 coms. And that's pretty well been crossed off. We're
17 down to Case 5 versus the DC installation.

18 In the case of -- in the instance of Case
19 5, by taking out localized generation and we're also
20 simulating transmission outages, on that basis you're
21 running -- and I think the interim ROC report I think
22 from last week states that it's very case-intensive and
23 you're going through dozens, perhaps a hundred or so
24 cases to try to sort out whether or not this is feasible.

25 The question I have is that what's the

1 public to do? I mean we have the Connecticut Siting
2 Council that's come back with KEMA. This is a well-
3 recognized expert that says this may be possible. On the
4 other hand, we have GE, who is also a well-recognized
5 expert in the field, saying it's probably not possible.
6 And when one gets into a circumstance like this,
7 especially as an engineer, we tend to test between zero
8 and infinity. Zero is a known quantity that we can test
9 to see if it works. Infinity is something that we're
10 speculating about.

11 Zero would be the current system. Have
12 you run a case study with GE's model on the current
13 system to test for transient over-voltages, to check for
14 the removal of localized generation? And have you
15 simulated the same transmission outages? And if you
16 have, has that circumstance shown that the current system
17 isn't viable or feasible?

18 MR. WHITLEY: Well, we haven't run that
19 case because we can't let the local generation go off
20 line with the current system because we have to run it to
21 maintain safe loading limits. But when we bring in the
22 new transmission, especially during the spring and fall,
23 we do see that we'll have numerous opportunities not to
24 require that generation to be run out of Merritt. And,
25 in fact, that's the time after we get the transmission in

1 that we hope to be repowering some of these cycles.

2 MR. McCLELLAND: Okay. Hold that thought
3 for just a second, Steve. If we're taking the case or
4 the contingency that we won't have localized generation
5 available, is that two stringent of a requirement for --
6 to place upon the new transmission system? Second
7 question as a follow-on -- and I want you to think about
8 it while you're answering the first -- is that have you
9 done a differential between the underground system and
10 the new overhead system? Because let's face facts. This
11 system is in bad shape. It's pushed to the edge now.

12 So how much better is the overhead
13 transmission, the alternative, than the studied
14 underground transmission? And have you run that
15 analysis?

16 MR. WHITLEY: To answer your question, we
17 are getting that detailed analysis done. We have done
18 the harmonic resonance screening for that place and it
19 looks promising. But we're looking at the more detailed
20 voltage analysis case where it has to be where it comes
21 back now. That's where Gordon said we're looking for a
22 solution that will work.

23 MR. McCLELLAND: Okay. So to not undo all
24 of the work that you've done and that the Connecticut
25 Siting Council has done, would it be practical and would

1 it be helpful to go back and run the current system
2 configuration under GE's TNA and run the current system
3 configuration under KEMA's TNA, compare the two and see
4 which of the two are accurate, more accurate? And I know
5 it's not practical to subtract out localized generation.
6 So you may just run it under the current operating
7 conditions, compare the two and see if we at least have a
8 same base line by which to do comparisons further down
9 the road.

10 My concern is that if we move off of the
11 work that you've done -- you've done a lot of work. If
12 we move off of that and we lose the focus on what's
13 already been done, we may wander in the wilderness for
14 many more months. And the project isn't getting built.
15 And I think everyone's in agreement, at least I've heard
16 that most folks are in agreement to do something as far
17 as transmission. What we're talking about is trying to
18 quantify the difference between the overhead and the
19 underground transmission. And we also, I recognize and
20 realize, we don't want to end up in the same bad
21 situation that you're in now, 600 million or a billion
22 dollars later.

23 So is it a practical alternative? Is it
24 something that would be helpful to have before the next
25 technical conference?

1 MR. WHITLEY: I think we are going to have
2 that. Yes. We've already asked for that case to be run.

3 MR. McCLELLAND: So you're going to do the
4 base case of the existing conditions. And how about the
5 Connecticut Siting Council then?

6 MR. WHITLEY: We've already done the base
7 case for harmonics resonance screening. I don't think it
8 would be practical to do another case with transient
9 voltage analysis because we can benchmark the harmonic
10 resonance.

11 MR. McCLELLAND: Okay. And for the
12 benefit of the folks in the audience, transient voltage
13 analysis or transient voltage problem is a temporary
14 over-voltage or high-voltage condition usually caused by
15 switching events.

16 MR. WHITLEY: That's correct.

17 MR. McCLELLAND: And that will last
18 several cycles, which is fractions of a second long.
19 Now, when that event occurs, it can precipitate equipment
20 failure. And I think in your particular case, you're
21 mostly concerned about which pieces of equipment?

22 MR. WHITLEY: Transformers and circuit
23 breakers --

24 MR. McCLELLAND: Lightning arresters.

25 MR. WHITLEY: Lightning arresters.

1 MR. McCLELLAND: Okay.

2 MR. WHITLEY: And we see voltage spikes up
3 to about 1.9 per unit.

4 MR. McCLELLAND: And I realize that's
5 high. But there's also a BIO rating for some equipment
6 that can suffer several cycles of almost double over-
7 voltage. And I don't want to get too technical because
8 we glaze everyone's eyes at the end of the conference.

9 But I guess it would be helpful, at least
10 from an outsider's perspective, if KEMA and GE would take
11 the base case, the one that you live under now because
12 obviously you're not arcing over lightning arresters and
13 you're not causing transformer failures, take the base
14 case, see if the base case proves itself and then use
15 that base case to establish sort of the assumptions and
16 the model and the guideline then to do the projections
17 for the overhead versus underground system. That seems
18 as if that would build on the work that you've done, not
19 reverse your efforts, and probably could be done, I would
20 assume, fairly quickly.

21 MR. WHITLEY: I wouldn't assume fairly
22 quickly. But we'll take a look at that.

23 MR. McCLELLAND: If you think it's a
24 proper thing.

25 CHAIRPERSON WOOD: We do have a couple

1 more speakers and we're already at 4:00. So why don't we
2 hop into that, Sarah?

3 MS. MCKINLEY: Yes. Our first speaker is
4 Anthony Vallilo, President and Chief Operating Officer of
5 United Illuminating Company.

6 MR. VALLILO: Thank you. I want to add my
7 thanks to everyone who participated in today's technical
8 conference about Connecticut's critical electric system
9 infrastructure needs. There is an obvious consensus that
10 the needs in southwest Connecticut are both real and
11 immediate. Many issues were highlighted today that point
12 to the various engineering, financial, regulatory and
13 political complexities that we collectively face. But as
14 Representative Backer said this morning, we need to focus
15 on what's real.

16 And I'm very encouraged by what I've heard
17 today, especially in the last 20 minutes or so, because I
18 think we're gravitating towards focusing on what's real
19 and what really needs to be done here to get to a quick
20 solution to this problem.

21 We cannot lose sight of the fact that the
22 citizens, businesses and institutions in southwest
23 Connecticut, along with the rest of Connecticut and all
24 of New England, are entitled to reliable, value-based
25 electric service. In turn, the lack of a reliable and

1 competitively priced electricity will have a debilitating
2 impact on economic vitality and the quality of life. And
3 although issues such as environmental impacts, health,
4 costs are very important policy issues, the most
5 important issue is to have a system that meets the power
6 needs of our citizens.

7 It is the obligation of the utilities and
8 ISO New England to see to it that the electric system is
9 built and operated in a manner that meets long-
10 established reliability criteria. If the lights go out,
11 the customer calls the local utility. If the lights are
12 out for a considerable time, they call me or they call
13 Lee. So we have a vested interest. And if they're out
14 for a very long time, they call Commissioner Downes. And
15 I don't think he's here right now. But -- so we know
16 that the immediate impact of the customer's wrath when
17 service is not up to their standards.

18 But we need to -- we need the support and
19 the collaboration of state and federal regulators working
20 under appropriate policy direction and political
21 oversight to accomplish the stated mission. History has
22 shown that we, the utilities and now ISO New England,
23 have been highly successful in meeting customer demand
24 for reliable electric power while working within the
25 stated public policy objectives. We have shown that

1 infrastructure projects can be accomplished in a way that
2 is a fair balance of the many difficult issues.

3 This is not by accident. It is the result
4 of competent and dedicated people doing a lot of hard
5 work. And we can continue to do that.

6 Regarding the Middletown to Norwalk 345-kV
7 transmission project, which UI is a co-applicant with
8 CL&P, from the outset UI has advocated two fundamental
9 requirements. And these have been stated already. But
10 I'll repeat them. First, that the final as-built project
11 must work. That is, it must solve the serious
12 reliability problems in southwest Connecticut for the
13 long-term.

14 The reality is that ISO New England will
15 make the final decision as to which design is acceptable.
16 We all have to realize that. We could all talk about
17 policy. We could all talk about Siting Council process.
18 We can all talk about what we would like. But we have
19 vested the authority -- the federal government has vested
20 the authority in ISO New England to make the final
21 determination. And we must respect that. And they are
22 working very hard to do that in a way that meets the
23 policy needs of Connecticut and meets the needs of the
24 electric industry, electric system in New England.

25 Our second criteria is that we receive

1 full cost recovery for our investment, especially those
2 incremental localized costs that could result by doing a
3 design that is not the traditional, normal approach.

4 There was some talk this morning about how
5 that works. My understanding of how that works basically
6 is that at some point ISO New England will determine that
7 a particular solution that is a traditional, let's say
8 complete overhead solution will cost, let's say for the
9 purposes of the discussion, 600 million dollars, which is
10 about what the 345 project will cost. If the actual cost
11 of what is finally approved adds additional cost for
12 equipment or further undergrounding and let's say that
13 cost is now 800 million dollars, 200 million dollars is
14 going to be allocated to local customers in Connecticut
15 and 600 million dollars will be regionalized throughout
16 New England.

17 Both of those costs, though, are under the
18 authority of ISO and FERC to approve. And once they are
19 approved, then the utilities, we believe, have the right
20 to collect those costs from the Connecticut consumers.

21 There is not a complete connection of the
22 dots yet to do that. But that is still an outstanding
23 issue for discussion at a later day.

24 The importance of being certain a project
25 works cannot be understated. Collectively, we do not

1 have the time or luxury to continue to push the
2 experimental envelope or to build a solution that is sub-
3 optimal or one that potentially worsens the already
4 deficient electric system in southwest Connecticut. Such
5 outcomes simply cannot be allowed to occur. Everyone
6 loses if that's the outcome.

7 Electricity is a complex phenomenon that
8 can be very destructive if allowed to operate outside
9 very specific tolerances. Selection of the right
10 solution will fundamentally be the result of the
11 abrogation of strict engineering principles and, in
12 southwest Connecticut, principles applied to an existing
13 system that has unique deficiencies. Policy makers must
14 have the courage to temper public policy needs and defer
15 to these engineering principles. And I'm more confident
16 today that the final determination of the right solution
17 will be the result of a legitimate and comprehensive
18 process that fully considers these strict engineering
19 principles.

20 I do want to quickly comment on a comment
21 that the Attorney General made this morning about the
22 mismanagement of the utilities and ISO New England in the
23 application process. That may be the perception. But I
24 think as you hear the complexities of what's involved
25 here, how we're struggling to meet the needs of all

1 constituents and the fact that during the application the
2 laws were actually changed in Connecticut which required
3 more stringent analysis on our part, that's what's caused
4 the extension of this process. It has nothing to do with
5 mismanagement. It's our desire and willingness to be
6 extremely responsive to the needs of everyone here in
7 Connecticut and in New England.

8 So we need to arrive at an expeditious
9 decision. We need to arrive at expeditious decisions so
10 that we can continue to reliably meet the needs of
11 Connecticut's electric consumers and minimize the
12 financial penalty that they will continue to pay until
13 the southwest Connecticut electric system is brought up
14 to modern standards.

15 Thank you.

16 MS. MCKINLEY: Thank you so much.

17 And our last speaker is Mr. Lee Olivier,
18 President and Chief Operating Officer of Connecticut
19 Light and Power.

20 MR. OLIVIER: Good afternoon. It's a
21 pleasure to be here. And first of all, I'd like to say
22 thank you to Chairman Wood, along with the other
23 Commissioners from FERC, and the staff for coming here
24 today to really help bring greater focus and attention
25 and hopefully to build greater understanding on this

1 issue that is very critical to our state.

2 I also want to thank the rest of the dais
3 here today, particularly the leadership of Chairman
4 Downes of the DPUC, along with the other Commissioners
5 and the leadership of the Energy Technology Committee,
6 Terry Backer and Kevin DelGobbo.

7 As President of CL&P, I'm the guy really
8 responsible for keeping the lights on for our 1.2 million
9 customers across Connecticut. And that's a
10 responsibility that I, along with the other dedicated
11 women and men that work in our company, take very
12 seriously.

13 We've heard today that the current
14 transmission system is really maxed out. And it is. The
15 significant growth in load, particularly in southwest
16 Connecticut, along with the aging transmission system,
17 really presents a critical challenge that must be
18 addressed. And, frankly, other than the Red Sox score
19 last night, it's the thing that keeps me awake at night.
20 And virtually everyone here acknowledges that this is a
21 critical situation that warrants prompt and decisive
22 action.

23 While at the same time, we can't seem to
24 agree on how that should be done. Now, at CL&P, we've
25 done all we can do to this existing, aging transmission

1 system to bring it up to date. But even those
2 improvements aren't sufficient to meet the current and
3 future demands. The lines need to be upgraded and they
4 need to be replaced. And that needs to be done very,
5 very soon.

6 We've come forward with what we believe is
7 a balanced plan to increase transfer capability into
8 southwest Connecticut, but also enhances reliability and
9 minimizes energy cost.

10 Now, I would just say the Consumer
11 Counsel, Mary Healy, I think said it very succinctly.
12 This is all about reliability first and then dealing with
13 the cost. And in regards to solutions, there are many
14 solutions that are out there presently right now. It's
15 just a matter of how much of this do we want to
16 underground. Building a 345-kV line in itself gets done
17 all around this country. So this is a problem that has
18 many, many solutions.

19 However, I believe that the clock here is
20 ticking. And without timely approval to proceed, I
21 believe our prospects are bleak. We heard the issue of
22 the weather and the very mild weather we've had in the
23 summertime in 2003 and probably one of the coolest
24 summers we've had in 2004. Clearly, that is not going to
25 continue going forward.

1 The consequences of additional delays in
2 addressing the inadequacy of Connecticut's transmission
3 system will further endanger our ability to keep the
4 lights on. And believe me, that is not an exaggeration
5 in any way, shape or form.

6 In closing, it's imperative that we let
7 the Siting Council quickly finish its work to identify a
8 Middletown to Norwalk solution that protects the
9 integrity and ensures reliability of Connecticut's
10 electrical infrastructure while appropriately balancing
11 the competing interests of the various parties involved
12 in the siting process. We really believe in that. We
13 believe it should be transparent. We believe there
14 should be involvement of all of the stakeholders.

15 And, of course, we ideally say we really
16 need to maintain the reasonable rates for all of the
17 consumers and customers not only across Connecticut but
18 across the region. I believe this forum has helped move
19 this agenda forward. There is much to do in between now
20 and the end of the end and January. But CL&P and NU is
21 committed to work with ISO New England and United
22 Illuminating to come with a solution that is workable,
23 that will give a high level of reliability and will be
24 the best technical solution and balance all of the
25 interests of the stakeholders here in Connecticut.

1 Thank you.

2 MS. MCKINLEY: Thank you.

3 And I believe that concludes our session
4 today.

5 COMMISSIONER DOWNES: I want to thank
6 everybody for appearing today. We hopefully have managed
7 to eliminate a number of these issues for the benefit of
8 not only the participants but also the public. I'd like
9 to remind you all that CTN will be rebroadcasting this.
10 To the extent some of you may have missed pieces of this,
11 your favorite local cable access channel will no doubt be
12 running the tape. You might want to grab a cold drink.
13 It will probably run for six or seven hours at a shot.
14 So those of you who feel particularly tough and resilient
15 are welcome to watch the whole thing from front to back.

16 Again, on behalf of Connecticut's
17 commissioners -- and I'm sorry our friends from FERC had
18 to make plane flights. Thank you all for coming. And we
19 are adjourned.

20 (Whereupon, the hearing was adjourned at
21 4:15 P.M.)

22

23

24

25