

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE

FEDERAL ENERGY REGULATORY COMMISSION

-----x

In the Matter of: :

PJM/MISO JOINT BOARD MEETING : Docket Number:

ON SECURITY CONSTRAINED ECONOMIC : AD05-13-000

DISPATCH :

-----x

Doubletree Hotel O'Hare

5460 North River Road

Rosemont, Illinois

Monday, November 21, 2005

1 The above-entitled matter came on for pre-
2 hearing conference, pursuant to notice, at 9:57 a.m.

3

4

5 BEFORE:

6

7 NORA MEAD BROWNELL

8 FERC Commissioner

9 Chair

10

11 KEN SCHISLER

12 Maryland PSC Chairman

13 Vice Chair

14

15 KEVIN WRIGHT

16 Illinois Commerce Commission Chairman

17 Vice Chair

18

19

20

21

22

23

24

25

1 APPEARANCES: (CONTINUED)

2

3 Paul Malone

4 Fred Butler

5 Dallas Winslow

6 David Lott Hardy

7 Agnes Yates

8 Thanh Luong

9 David Meyer

10 Jim Torgerson

11 Phil Harris

12 Doug Collins

13 Bret Kruse

14 Fred Kunkel

15 Steven Naumann

16 John Orr

17 Ed Tatum

18 Joseph Welch

19 Derek Kruk

20 Daniel Ebert

21 Earl Melton

22 Howard Spinner

23 Pat Miller

24 Gary Hanson

25 Wendell Holland

1 APPEARANCES: (CONTINUED)

2

3

4 Alan Schriber

5 Susan Wefald

6 Greg Jergeson

7 Jeff Davis

8 Ken Nicholai

9 Laura Chappelle

10 Gary Hastiner

11 Mark David Goss

12 Sam (Jimmy) Ervin

13 John Norris

14 David Sapper

15

16

17

18

19

20

21

22

23

24

25

C O N T E N T S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Page

Opening Remarks by Chair and Vice Chairs..... 9

Presentation: FERC Staff

Economic Dispatch: Concepts, Practices
and Issues by THANH LUONG, Reliability
Division, Office of Markets, Tariffs &
Rates..... 15

Presentation: US Department of Energy

Regarding Report on Economic Dispatch by
Section 1234 of the Energy Policy Act by
DAVID MEYER, Deputy Division Director,
Office of Electricity Delivery and Energy
Reliability, US Department of Energy..... 20

C O N T E N T S (CONTINUED)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Page

Panel: Regional Transmission Organizations

Panelists:

PHIL HARRIS, President and
Chief Executive Officer,
PJM Interconnection..... 43

JIM TORGERSON, President and
Chief Executive Officer,
Midwest ISO..... 58

Question and Answer Session..... 69

Lunch

C O N T E N T S (CONTINUED)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Page

Panel: Stakeholders

Panelists:

DOUG COLLINS, Direct System
 Planning, Alliant Energy..... 109

BRETT A. KRUSE, Manager, Market
 Integration Service, Calpine..... 114

FRED KUNKEL, Manager Transmission
 Service, Wabash Valley Power..... 123

STEVEN NAUMANN, Vice President
 Wholesale Market Development,
 Exelon..... 125

C O N T E N T S (CONTINUED)

1

2

3 Page

4

5 JOHN ORR, Vice President Regulatory

6 and Legislative Affairs,

7 Constellation..... 133

8

9 ED TATUM, Assistant Vice President,

10 Rates and Regulation, Old

11 Dominion Electric Cooperative..... 141

12

13 JOSEPH WELCH, President and Chief

14 Executive Officer, International

15 Transmission Company..... 150

16

17 DEREK KRUK, Citgo Petroleum..... 147

18

19 Question and Answer Session..... 178

20

21 Closing Remarks..... 184

22

23

24

25

P R O C E E D I N G S

(9:57 A.M.)

1
2
3 CHAIRMAN BROWNELL: We seem to have lost one of
4 our Vice Chairs but that's okay. We're going to start
5 without him because the Trans is going to leave on time
6 today.

7 A couple of housekeeping details because Sarah
8 McKinley would break my leg if I didn't do this first off.
9 If you want a fast lunch, go out the door and turn right and
10 there will be several options available to you. And if you
11 don't want a fast lunch, you can go left and then we'll
12 start without you after lunch. So, does everybody
13 understand that? Okay.

14 Also, I have been asked by our sound technician
15 to please speak into the mikes clearly. It's important for
16 the taping, it will also be important for those on the
17 telephone. And for those who aren't yet on the telephone,
18 identify yourselves. But in any event, identify yourselves
19 if you will so that everyone knows who you are and what
20 you're representing.

21 I'm going to make just a couple of brief remarks
22 because you all hear from me frequently enough, but I
23 welcome all of you, welcome all friends. But I am thrilled
24 to see so many new leaders at our state commissions and I
25 hope that those of us who have been around for a thousand

1 years will take the time to get to know our new colleagues.
2 I'm hoping they will come visit at the FERC and I have
3 already made arrangements to come to at least one of the
4 states so that we can share our common goals which is to
5 bring value to customers.

6 I think that is why obviously in EPAct '05
7 Congress did a great deal to recognize the importance of the
8 energy sector to the economic development and social well
9 being of our country, and directed DOE to issue a report and
10 an annual report thereafter and directed us to convene joint
11 boards to look at the issue of economic dispatch to
12 understand how it's working in various parts of the country
13 to make sure that we have a full understanding of what makes
14 it work and perhaps what barriers continue to exist. It
15 becomes clearer and clearer as we face a winter of high
16 prices that we need to wring all the efficiencies that we
17 can out of the system.

18 So, this morning, we are going to begin with a
19 presentation by Thanh Luong who is on our staff. He and Bud
20 Earle who are both here have worked on economic dispatch
21 issues for us. He'll be followed by Dave Meyer who has come
22 to present the long awaited DOE report. We thank you for
23 coming, David. The report was, I think, officially issued
24 Friday or Monday, so many of you have not had a chance to
25 see it. There are copies outside and we'll have more

1 opportunity to discuss that at a later date because I know
2 many of you will have questions after you have read it.

3 It will then be followed by presentations from
4 Jim Torgerson and Phil Harris, our grid managers who can
5 explain to us how economic dispatch fits in to the overall
6 market design. (And here is our Vice Chairman.) And then
7 this afternoon, we'll have a panel of stakeholders who will
8 give us their perspective and make recommendations.

9 Just to go over the process, the goal is that we
10 will make recommendations to Congress. We plan to have a
11 series of teleconferences following this. We'll have one
12 with Dave Meyer and the DOE team to make sure that you have
13 a full opportunity to explore that report. We'll come up, I
14 hope, with recommendations that we can then review together.
15 We'll reconvene with the other parts of the country. We
16 will reconvene at the February -- meetings with the idea
17 that that will be the most efficient way because people will
18 already be in Washington.

19 But in the interim, I will hope that people will
20 be free both with comments and there will be comments on
21 this meeting due in 21 days, or 29, Christine? 21 days.
22 But that obviously won't be the only opportunity.

23 So, we appreciate your participation and hope
24 this is a full and lively day. Let me just remind you that
25 this is an opportunity to explore economic dispatch. That's

1 our charge. So, for those of you who are tempted to stand
2 up and wax eloquent on something that is unrelated, we'll
3 kind of have to ask you to sit down because Congress didn't
4 ask you or us to speak on those issues at this moment in
5 time. So, I hope that we can be disciplined.

6 I want to thank, in addition to Thanh and Bud
7 Earle, I want to thank Sarah McKinley who is our logistics
8 person, and also introduce the other staff that are here:
9 Tugnasi Gadani; Pat Cleary who is from MISO; and my staff,
10 Christine Schmidt, whom you have all heard a lot from; Jim
11 Peterson; and Mary Morton. And they are sitting behind.
12 And feel free to ask them questions about this or anything
13 else.

14 And with that, I will turn it over to Ken
15 Schisler.

16 VICE CHAIR SCHISLER: Thank you, Commissioner. I
17 truly appreciate this opportunity and the tremendous -- work
18 by not only you, Commissioner Brownell, but also your staff
19 and other FERC staff and the DOE actually for preparing for
20 this joint board, its work and analyzing this very
21 fundamental component of market design.

22 I also want to acknowledge the leadership of
23 Congress in creating this joint board and other joint boards
24 to revisit the assumption that security constrained economic
25 dispatch serves the nation well as to ensure reliability at

1 reasonable cost in organized wholesale markets. I think
2 it's altogether appropriate to do this, and as the
3 proponents of wholesale competition will claim, that
4 economic was and is the right policy choice. It should
5 stand up to the scrutiny and reaffirm our basic
6 understanding of it. At the same time, this joint board
7 gives us the opportunity to honestly assess whether we are
8 best served by this model and whether any mid-course
9 corrections are necessary and appropriate at this time.

10 Today, to reiterate Commissioner Brownell's
11 point, it is my hope that we will remain focused on the
12 fundamental question mandated by Congress. There are
13 numerous sub issues and subordinate issues embedded within
14 the discussion, but Congress gave us a narrowly focused
15 mission on a very broad topic. And so, we are going to have
16 to be disciplined if we are going to stick to the very basic
17 fundamental question.

18 So, with that, I'm excited to be a part of this
19 effort and look forward to hearing from all of our
20 participants today.

21 CHAIRMAN BROWNELL: Commissioner Wright acting as
22 Chairman of Illinois --

23 VICE CHAIR WRIGHT: Well, let me clarify that.
24 Until the Governor appoints one, I've been asked by my
25 fellow commissioners to carry out the duties of the chairman

1 as a sitting commissioner. So, I'm not going to use the
2 word chairman, just commissioner.

3 I just want to take this time to welcome my
4 fellow commissioners to Illinois and to Chicago and to this
5 endeavor that we are engaged, and also to thank FERC for its
6 engagement of the states. We have very strong opinions
7 about being partners in these proceedings and decision
8 making and we certainly appreciate FERC's outreach to
9 include states in this process as well.

10 I really can't add any more than already has been
11 said. The readings that I have done so far have been quite
12 educational as we try to understand the issues that are
13 before us and the report that will be rendered to Congress.
14 And so, I look forward to today's endeavor and welcome you
15 all to Chicago and to this proceeding. Thank you.

16 CHAIRMAN BROWNELL: Thank you. Before we turn it
17 over to Thanh, I do want to encourage you to look on the
18 table outside. You'll not only see copies of today's
19 presentations but some other presentations developed by our
20 staff as well as a list of references for those of you who
21 do not have enough to read. There's about five pages of
22 opportunity to be an expert on economic dispatch. So, I
23 would encourage you to pursue those which may interest you.

24 And with that, Thanh, I'm going to turn it over
25 to you, and then Dave, you can pick it up.

1 MR. LUONG: Good morning, Chair Brownell, Mr.
2 Vice Chairs and board members. My name is Thanh Luong. I'm
3 a Senior Electrical Engineer in the Reliability Division of
4 the Federal Energy Regulatory Commission.

5 I would like to thank the joint board for the
6 opportunity to present the high level overview of the
7 concepts, practices and issues of the economic dispatch. My
8 presentation consists of two parts. The first part is to
9 discuss the general concept of the economic dispatch and the
10 practice of economic dispatch in the non-RTO and the RTO
11 structures. The second part is to provide a list of initial
12 issues related to the economic dispatch for the joint board
13 to consider and may address them in the final report.

14 Starting with the definition of economic
15 dispatch, we adopted the definition provided in Energy
16 Policy Act Section 1234. Economic dispatch is the operation
17 of generation facilities to produce energy at the lowest
18 cost to reliably serve consumers, recognizing any
19 operational limits of generation and transmission
20 facilities.

21 Most electric power system dispatch their own
22 generation unit and their own purchased power in a way that
23 may meet this definition. This definition reflects closer
24 to real-time operation on the day dispatch. In order to
25 achieve the economic dispatch on real-time, utilities have

1 to do a lot more planning on the day-ahead to prepare for
2 the dispatch. Sometimes we call it day-ahead planning or
3 day-ahead unit commitment.

4 Starting with the day-ahead planning, all power
5 systems operations develop generation unit dispatch for each
6 hour for the next day based on the load forecast, based on
7 the generating availability and the unit characteristic
8 limitations, purchased power and operating reserves. After
9 that, they give it to the transmission operator to perform
10 reliability assessment. Taking into account the
11 transmission outage, they perform a lot of load flow
12 analysis and contingency analyses to ensure that load can be
13 served reliably for tomorrow. That's the second part of it.
14 And look at that, it's a sequential step from generation and
15 then the transmission.

16 And the RTOs develop regional day-ahead schedules
17 using Day Ahead Markets, sometimes they call it security
18 constrained unit commitment. And this security constrained
19 unit commitment is also based on the supply offers, the load
20 forecasts, the demand bids from market participants
21 including non-utility generation units. And this
22 simultaneously considers both cost and reliability limits at
23 the same time. And this produces hourly prices for the day
24 ahead and it's just like the rest, it ensures that the day
25 ahead commitments are feasible within the reliability limits

1 of the power system.

2 With all the planning for the day ahead, one
3 would hope that tomorrow there would not be a lot of
4 changes. But actually, you know, the load forecast can
5 change, the generation can be tripped off, or the
6 transmission line can fail. So, in real time, a lot of
7 power systems dispatch operators monitor their load,
8 generation and interchange to balance the generation and
9 load, maintain system frequency using automatic generation
10 to change the generation dispatch as needed. Also maintain
11 the operating reserve requirement.

12 The transmission operator also monitors flows and
13 all voltage levels on the transmission system within the
14 reliability limits. When needed to comply with reliability
15 limits, that means when the transmission is constrained,
16 most of the Eastern Interconnection are using the -- TLR
17 procedure to manage the congestion. The -- TLR procedure is
18 mainly curtailment flow to relieve constrain. It will allow
19 redispatch when the TLR level will go up to level 5 and
20 above. And if you look at that, it's a sequential process.

21 In the RTO, the RTOs manage the real time
22 dispatch using the Security Constrained Economic Dispatch
23 software. And it runs every five minutes and it considers
24 both generation and transmission reliability limits
25 simultaneously. It dispatches the instructions to

1 generation and load and calculates the LMP price. One of
2 the attributes of the Security Constrained Economic Dispatch
3 is the LMP congestion management instead of the TLR. Using
4 the market-based congestion management, it will minimize or
5 eliminate the TLR process -- economic redispatch. As a last
6 resort, the RTOs are still using TLR when they run out of
7 dispatch options.

8 My second part of the presentation is the
9 possible objectives and issues related for the joint board
10 report. The report could first describe the current
11 application of economic dispatch in the region and the
12 consider the improvement to the current economic dispatch.
13 To describe the current application, one would look at the
14 scope, you know, the geographic, the footprint of the
15 economic dispatch. One benefit that one could see is
16 basically the different time zones if the footprint is big
17 enough. Just like 6:00 a.m. in the East, still it's 5:00
18 a.m. in the Midwest, and so the same thing for the evening.
19 You know, 11:00 p.m. is our peak hour in the East but it's
20 still 10:00 p.m. in the West. It's the peak hour so that
21 dispatch can be moving back and forth for the benefit of
22 that.

23 And the resources that are included in the
24 economic dispatch are including the generator, non-utility
25 generation unit with the utility generation unit. The

1 implementation of the economic dispatch, you know, the
2 footprint of it, how big this is and the bigger the
3 footprint actually sometimes it may increase the risk of the
4 single point of failure. You know, what if the centralized
5 economic dispatch is having a problem? So, the software is
6 very important. It should be robust and it needs to have
7 another alternative way to do it for the backup system.

8 Another area that can have the technical issue
9 with that is the communication of information. On the
10 generation, information should be given to the entity that
11 will perform the economic dispatch. And also, the
12 information from the entity that performs the economic
13 dispatch also is given back to the generation operator on
14 time so they can follow the instructions. Those information
15 have to be accurate and have to be on time in order to do
16 that.

17 Then the other one is consider the improvements
18 of current economic dispatch practices. We have the
19 following questions and issues: What improvements could be
20 considered? What are the potential benefits and costs of
21 those improvements? How would those improvements affect or
22 enhance reliability? Are there any regulatory impediments
23 to the identified improvements? This concludes my
24 presentation.

25 CHAIRMAN BROWNELL: Thank you. We'll hold

1 questions until after David has completed his presentation.
2 I would remind you that all of the mikes are hot and I am
3 asked to remind you to watch your sidebar conversations.
4 Although it could be some interesting entertainment, it is
5 difficult for the people on the phones. Also, I should
6 remind myself of that.

7 MR. MEYER: Thank you, Madam Chairman. It's
8 great for me to have this opportunity to come and talk to
9 you, talk with you about the report that DOE has just
10 released on economic dispatch. This report was mandated by
11 the Congress in two sections of the Energy Policy Act. And
12 the Congress told us to study current economic dispatch
13 procedures and to identify possible improvements and analyze
14 the potential benefits of such changes. And Thanh has
15 already cited for you the definition of economic dispatch
16 that's in the law. I'll give that to you again just as a
17 base to go forward.

18 It's the operation of generation facilities to
19 produce energy at the lowest cost to reliably serve
20 consumers, recognizing any operation limits of generation
21 and transmission facilities. Now, it's interesting that the
22 people who commented on the questionnaire for us, none of
23 them took issue with this definition and the definition
24 seems to have held up pretty well so far. So, we're pleased
25 about that.

1 We prepared a short questionnaire of six
2 questions about economic dispatch practices and possible
3 improvements. We circulated that to interested stakeholders
4 through seven trade associations. And we gave people a
5 pretty short time to respond but respond they did. We got
6 responses from 92 separate parties.

7 And I'm also pleased that the responses were very
8 diverse. We got responses from all sectors of all groups of
9 stakeholders and so we drew heavily on these comments in
10 preparing our report. And we also reviewed a substantial
11 body of literature that's out there that gave attention to
12 economic dispatch or to regulatory organizational changes
13 that affect economic dispatch. So, that literature was also
14 fruitful.

15 Turning to our findings, we found that as Thanh
16 has already alluded, the economic benefits tend to increase
17 as the geographic scope and electrical diversity of the area
18 under unified dispatch increases. There are some caveats to
19 that, and that is, bigness isn't always automatically better
20 and people do think that at some point the system can become
21 too complex to manage. But personally, I haven't seen too
22 many of those limitations being identified thus far. We all
23 recognize there must be such limits at some point but still.

24 Now, the retail customers benefit if the cost
25 savings are passed through in retail rates. And also,

1 economic dispatch can reduce fuel use and emissions as high
2 efficiency units frequently displace lower efficiency units
3 using the same or similar fuel. That is frequently the
4 case; it's not uniformly or always the case, however.

5 In practice, economic dispatch requires balancing
6 economic efficiency, reliability and other factors such as
7 the ability of a given generating unit to shift output at
8 short notice and scheduling limitations imposed by
9 environmental laws, hydrological conditions and fuel
10 characteristics. And as a result, economic dispatch is what
11 the economist would call a constrained cost minimization
12 process.

13 And there are two subtypes of economic dispatch:
14 that is the unit commitment which is done on a day-ahead
15 basis, and then unit dispatch which is done in near real
16 time. In practice, both are security constrained but as
17 I've explained earlier, there are a number of other kinds of
18 constraints as well. It's not just constraint in terms of
19 reliability concerns.

20 And in terms of regulation, regulatory
21 responsibility for economic dispatch, it's dispersed among,
22 the states have lead responsibility for economic dispatch by
23 investor-owned utilities. FERC oversees economic dispatch
24 by RTOs and ISOs. And then, for public power entities and
25 cooperatives, the oversight is provided by their respective

1 governing boards. So, I think that economic dispatch is a
2 peculiarly appropriate subject for a joint board, and so I'm
3 looking forward to the results of your efforts.

4 In terms of the extant studies that we reviewed,
5 there were two basic types. Some of these studies were
6 analyses of impacts associated with the proposed formation
7 of ISOs and RTOs. And then the other category, basic
8 category was studies of dispatch of IPPs, independent power
9 producers. And neither type of study, however, was designed
10 to produce the disaggregated assessment of benefits of
11 economic dispatch that was envisioned in the sections of the
12 Energy Policy Act. So, we tried to extract as much value as
13 we could from those studies; but nevertheless, the studies
14 were not written with that kind of question in mind.

15 The RTO studies found benefits in the range of 1
16 to 5 percent of total wholesale electricity costs, that is
17 the benefits of economic dispatch. The IPP studies found
18 benefits of 8 to over 30 percent of total variable
19 production costs. So, those two measures may sound like
20 there are substantial differences between them. Actually,
21 that's probably not true because one is looking at total
22 wholesale electricity costs and the other is looking at
23 total variable costs.

24 The principal issues that we found pertinent to
25 economic dispatch in the body of comments that we received,

1 the non-utility generators or at least some of them assert
2 that some vertically integrated utilities use dispatch
3 processes to favor their own generation. And this may be
4 that favoring of particular generation assets may result
5 from the operating rules and practices used for economic
6 dispatch. That is, if the rules and practices have the
7 effect of excluding non-utility generation capacity from
8 what's called the economic dispatch stack, that is when you
9 put these plants into merit order, the rules and practices
10 used may either exclude capacity from that stack altogether
11 or it may affect the position of a particular generation
12 resource in the stack.

13 And these practices or rules may include, for
14 example, rules for determining whether non-utility
15 generation receives long-term contracts for their output or
16 for the use of transmission facilities, and whether non-
17 utility generators provide sufficient operational
18 flexibility to qualify for economic dispatch. Being able to
19 qualify for economic dispatch means that you have to be very
20 responsive to changing conditions and some non-utility
21 generation is arguably doesn't provide that kind of
22 operational flexibility.

23 It didn't show up in our study or in the body of
24 comments that we received, but as we were writing the
25 report, the question of economic dispatch versus efficient

1 dispatch became a matter of great interest, particularly
2 before the Congress. But I expect it's also a matter of
3 interest at the regional level as well. The point here is
4 that economic dispatch does not always run high efficiency
5 gas units before it runs lower efficiency units. I would
6 say it usually does so, at least we don't have systematic
7 data on that yet. But that's the result that one would
8 expect, but that is not always the case.

9 And whereas efficient dispatch would presumably
10 seek to mandate that units be dispatched in efficiency
11 order, the Department of Energy is skeptical of the merits
12 of efficient dispatch because we think it would increase
13 consumers' electricity costs for benefits that are at best
14 uncertain. By comparison, we think that improvements to
15 economic dispatch, going back to economic dispatch, staying
16 on that path but trying to make improvements to it, that
17 such improvements would have the potential to both reduce
18 consumer costs and improve the efficiency of natural gas for
19 generation.

20 So, in terms of possible improvements to the
21 practice, the joint boards may wish to examine economic
22 dispatch practices in their respective areas to determine
23 whether non-utility generation capacity is treated
24 appropriately. DOE urges the non-utility generation and
25 power purchaser communities to work together to ensure that

1 contract terms compensate non-utility generators for
2 providing operational flexibility.

3 Another issue that we think has some promise is
4 to focus on the tools used for economic dispatch; that is,
5 the software, the data, the algorithms and the assumptions.
6 These should be subject to systematic review and testing.
7 And I don't think there has been that kind of systematic
8 review done today.

9 And finally, the economic dispatch is very
10 dependent on the accuracy of load forecast. And
11 improvements in the accuracy of such forecasting will, by
12 themselves, lead to improvements in the efficiency of
13 economic dispatch. So, with that, I will stop for
14 questions.

15 CHAIRMAN BROWNELL: All right, I'll start. And
16 if people have questions, if you'd put your tent cards up,
17 you know the drill from --

18 You suggest that a better analysis of the tools
19 that are used be undertaken, and I hope that you would say
20 more on that because that's clearly been an issue in some
21 parts of the country, not all. And it's pretty clear that
22 if your modeling is incorrect or your tools are incorrect,
23 you can in fact manipulate the outcome which obviously
24 impacts on who gets dispatched and who doesn't. But who
25 should undertake that review, Dave, and how would one go

1 about that? Is that a DOE project? I'm just not sure how
2 the joint board would actually go about doing that.

3 MR. MEYER: Right, sure. Well, we do have an
4 annual assignment in the Energy Policy Act to focus on
5 economic dispatch in an ongoing way. And in 90 days, we
6 didn't think we could undertake to answer all of the kinds
7 of questions that are in the section of the Act. So, what
8 we tried to do here was to lay out a landscape, and those
9 are some of the issues that we will focus on going forward.
10 But I think this cries out to be done with a lot of input
11 and cooperation from other parties, and we'd be happy to
12 talk about working with FERC staff or with states or the
13 industry, of course. We'll see what feedback we get from
14 this report and decide how best to go in terms of particular
15 next steps and see what people feel is really important and
16 where they see a lot of the payoff.

17 I think there are a lot of questions here that
18 can only be pursued through empirical analysis, and so it
19 does require collecting a substantial amount of data and
20 particularly from different parts of the country would help.
21 But we'll be happy to take input from people.

22 CHAIRMAN BROWNELL: Did you, I know that there is
23 some distinction and comment on different regions, and I
24 know you really didn't have time to drill down as much as
25 you would have liked. But did you see any difference

1 between complaints by the non-utility generators based on
2 RTO markets versus non-RTO markets?

3 MR. MEYER: Well, again, the data that we
4 collected was, you couldn't say that it was a statistically
5 valid sample. But we did notice that the non-utility
6 generators in the organized markets seemed generally pretty
7 content with the way economic dispatch was going. There are
8 always going to be some possibilities of technical
9 improvements in the practice, I think, no matter who is
10 doing it. But it did seem that they were generally content
11 with the way that formal markets were handling the economic
12 dispatch.

13 CHAIRMAN BROWNELL: Thank you. Laura?

14 MS. CHAPPELLE: A quick question. And thank you
15 for this overview. You all can hear me? And I appreciate
16 the written material, and certainly the question I'm going
17 to ask seems to be answered here, but I just am hoping you
18 can help flesh it out a bit. You kind of ended your
19 overview today with the conclusion from DOE that economic
20 dispatch, the modifications to that would be preferred over
21 using the efficient dispatch. And if you could, can you
22 just expand on that and tell us what you perceive the
23 differences to be and why you think that modifications are
24 favorably to simply using the efficient dispatch model?

25 MR. MEYER: Well, it's hard to, if economic

1 dispatch is done well, then it's hard to improve on it. And
2 going to efficient dispatch is going to sort of take you off
3 that economic efficiency beacon. And I'm not saying that
4 one wants necessarily always to follow the economic
5 efficiency path, but you better have a pretty clear
6 rationale for going off that path. And it would tend, by
7 definition it would increase consumers' electricity costs.
8 Whether there would be offsetting benefits that would make
9 it worthwhile to bear those higher costs would have to be
10 shown. So, right now, I'm just skeptical that it would
11 appear to be an improvement.

12 CHAIRMAN BROWNELL: Alan?

13 MR. SCHRIBER: Thank you. Either Thanh or David.
14 If I'm the utility and I'm self-scheduling because I have
15 some inflexible generators and maybe kind of high cost,
16 doesn't that constrain you to some degree or maybe even to a
17 significant degree on what it is and how much you can
18 economically dispatch? I may have a plant that may be
19 somewhat economic in the stack because it's high cost from
20 inflexible. How does that fit into the dispatch role?

21 MR. MEYER: That's where some of the art, I
22 guess, in terms of designing these rules comes in because,
23 for example, a given unit may be inflexible in the sense
24 that you're talking about. It may be comparatively
25 inefficient for an hour or so when it first starts up. And

1 so, in some way, but it may then turn out to be more
2 efficient later in its operation. And so, you have to
3 balance these things in setting up the algorithm that
4 selects the unit to be run so that everything depends, in my
5 view at any rate, it depends on the input data. You have to
6 have pretty good data going in into the algorithm about when
7 that plant starts to become efficient to run and you need to
8 average these things over a longer period of time and
9 schedule it based on that longer term level.

10 MR. SCHRIBER: So, in other words, the more self-
11 scheduling inflexible generation that's on board, the
12 greater the possibility of deviating from what's most
13 economic in general? Is that correct?

14 MR. MEYER: It depends on the quality of the
15 information going in. If you've got good information about
16 the plant characteristics and that's accurate, then I think
17 the algorithm could handle that.

18 CHAIRMAN BROWNELL: Thank, if you want to add?

19 MR. LUONG: I think it depends on the portfolio
20 generation that you have. You know, in order to self
21 schedule and it's inflexible, I mean, it may be inflexible
22 in terms of the efficiency heat rate, you know, but it may
23 be constrained by the fuel contract, by certain other
24 constraints that you had to do. So, some utility look at it
25 in a longer term, you know, have a weekly unit commitment or

1 a monthly unit commitment to commit that unit. So, it
2 depends on the portfolio that you have. And on the surface,
3 it may be inefficient but there must be a constraint
4 somewhere. That's the reason you become inflexible to do
5 that.

6 CHAIRMAN BROWNELL: Wendell?

7 MR. HOLLAND: Sure. Mine is more a comment and
8 I'd be interested in hearing the debate in the pre-
9 distributed materials. Is it Jim Torgerson? I think his
10 testimony kind of went straight to this point and he
11 basically said that there seems to be some confusion about
12 economic versus efficient dispatch. And he says that
13 economic dispatch is in fact efficient dispatch. And the
14 real confusion seems to be one with respect to access.

15 I would be real interested, and I'm not asking
16 you a question but I am inviting him in his testimony to
17 comment on this particular issue because it seems to be, he
18 said something about a false red herring. So, it's more of
19 a comment rather than a question, and Jim, I hope you take
20 me up on that.

21 CHAIRMAN BROWNELL: You're the boss, he is going
22 to take you up on it. David?

23 MR. SAPPER: Hi, David. You touched on findings
24 or speculations about dis-economies of geographic scope or
25 scale with economic dispatch. It seems to suggest things

1 just become too complex at some point. I was wondering if
2 that comes from kind of the cost minimization side of SCED
3 or the reliability side in terms of things becoming too
4 complex.

5 MR. MEYER: That's simply reflecting some of the
6 input, the comments that we got from some parties. There
7 were commenters who felt that there was a significant risk
8 of systems becoming too large to manage effectively. The
9 people who were running very large and complex systems
10 didn't seem to exhibit that much concern about the problem.
11 So, our data is simply not systematic enough to enable us to
12 go deep into this subject. We simply acknowledge that the
13 problem has been raised and the issue has been raised. But
14 I don't think we have enough information to go much further.

15 MR. SAPPER: Okay. Does the study go into RTO
16 configuration at all?

17 MR. MEYER: No.

18 MR. SAPPER: Issues of contiguity, I guess?

19 MR. MEYER: No, we did not. Again, we simply
20 didn't have the, you know, we had essentially two bodies of
21 material to draw on: these existing studies and then the
22 body of commentary that we received from responses to our
23 questionnaire. So, dealing with some of these questions
24 more systematically is something that we can think about
25 going forward.

1 MR. SAPPER: Okay, thank you.

2 CHAIRMAN BROWNELL: Are there any more questions
3 from staff? Randy?

4 RANDY: Randy Reese Miller, staff of the Illinois
5 Commerce Commission. To follow up on David's question, both
6 of you gentlemen mentioned the potential benefits of
7 expanded geographic scope of economic dispatch. But I don't
8 believe either of you put it on what I noted down here as
9 the To Do List for this proceeding to examine. Did I get
10 that correct? And if you didn't put it on your To Do List
11 for this proceeding to examine, why not?

12 MR. MEYER: I certainly didn't mean to exclude
13 anything from your possible To Do List.

14 MR. LUONG: Yes, I think we put it in as initial
15 list of issues that need to be addressed but it's not a
16 complete list.

17 CHAIRMAN BROWNELL: I think one of the reasons
18 Congress set up this sequence, report, joint boards and then
19 meetings to determine what recommendations they want to make
20 is just that. The limitations of time to which David
21 referred clearly did not allow them to explore all of the
22 areas that they wanted to explore or we would like them to
23 explore. So, I think this is the opportunity to try and
24 identify those things.

25 Are there any other -- yes, sorry.

1 MR. HADLEY: Dave Hadley from the Indiana Utility
2 Commission. For David, Section 3 of your report talks about
3 the need for better data compared to the type of analysis
4 done on economic dispatch already available. And then you
5 pledged that you were going to be looking at that for next
6 year's report to Congress. In relation to this board's work
7 and trying to understand costs, benefits and data, what
8 specifically should this board be thinking about so as not
9 to duplicate the type of work you're doing but to add to
10 that body of work?

11 MR. MEYER: Well, I think the thing that we
12 particularly want to hear from you is get a sense of what
13 issues you want to pursue. The data question is I think
14 about questions first and then relevant data as the next
15 step. So, and the circumstances for your part of the
16 country are so different from other parts of the country
17 that it's going to be, for us at least, a very different set
18 of questions that I think you folks would be interested in
19 as compared to some of the other boards.

20 CHAIRMAN BROWNELL: And is that because there is
21 more transparency, we have more data? Is that --

22 MR. MEYER: No. It is more you've got more
23 transparency, the markets are organized. It's a question of
24 are those market rules in some way affecting economic
25 dispatch that we ought to try to learn more about.

1 CHAIRMAN BROWNELL: Okay. Sorry.

2 MR. HADLEY: Thank you.

3 MR. NICHOLAI: And this is to both of you. When
4 you look at the actual operation of the RTOs, for example
5 the transmission owner's agreement requires the management
6 of the RTO to maximize transmission revenues. So, I was
7 wondering if either of you had given any thought to whether
8 or not there is a potential conflict between the goal of
9 economic dispatch in the way the transmission owner's
10 agreement requires the maximization of transmission revenues
11 and whether that's something we might want to explore to
12 make sure that if there is a potential conflict, that we
13 eliminate it.

14 MR. LUONG: Yes, I think for the security
15 constrained economic dispatch in the RTO, actually when it
16 had a constraint, a missing constraint, using the SCED,
17 Security Constrained Economic Dispatch, every five minutes
18 is solving the most minimized, the most optimized way to
19 solve it unlike the TLR position to do the management
20 congestion. TLR has the tendency of more, it's starting
21 with a contact path. You know, that's not really a true
22 flow. And it had a tendency of, you know, over-
23 curtailment. So, actually it's harmful to the utilization
24 of transmission. Using the Security Constrained Economic
25 Dispatch software every five minutes, that's the most

1 efficient way to really do it. And it will maximize the
2 transmission revenue utilization based on the constraint of
3 the transmission and generation and the low forecast.

4 CHAIRMAN BROWNELL: Wendell?

5 MR. HOLLAND: Just to be specific, Dave asked the
6 question as to issues to pursue and I would like to put in a
7 plug that the young man from Illinois said about RTO
8 expansion. And specifically, I would be really interested
9 in including the RTO membership because with any
10 acquisition, there is always that transition where acquiring
11 companies have a chance to understand and appreciate the
12 cultures of a new company. I would be interested to hear
13 more stories quite frankly and to see if the integrations
14 are working as smoothly as they seem to be working. So, RTO
15 expansion would be an issue that I'd like you to pursue.

16 CHAIRMAN BROWNELL: Fred?

17 MR. BUTLER: Let me highlight a question that may
18 be the other side of that same coin, and that is, the
19 differences between the two RTOs/ISOs that are grouped
20 together in this joint board and perhaps if there are
21 differences or there are perhaps different approaches.
22 We're spending a lot of time talking about integrating and
23 rules and trying to erase seams between the two. I
24 sometimes wonder whether there aren't some differences that
25 we're not absorbing and maybe on this whole idea of economic

1 versus efficient dispatch there are some. And while we're
2 talking about this as one group, I wonder if we're also
3 going to identify some of the differences that need to be
4 addressed.

5 CHAIRMAN BROWNELL: I would hope, Jim and Phil,
6 that to the extent that you can, you could address whatever
7 differences you may see today and then we'll decide what
8 more we need to pursue. And Wendell, I want to clarify your
9 question. So, you're asking us to take a look at RTO
10 expansion as it impacts economic dispatch? You're not
11 asking us to look at merger --

12 MR. HOLLAND: Oh, absolutely not.

13 CHAIRMAN BROWNELL: Okay. Thank you. Fred
14 Kunkel. Oh, and I see a camera, Fred, so at the break.
15 Fred and I are posing for our Christmas card today.

16 MR. KUNKEL: Fred Kunkel, Wabash Valley Power.
17 The description of what I heard so far was economic dispatch
18 is implying that generators are inside the boundary such as
19 regional transmission organizations, PJM and MISO. But also
20 what I heard from Chairman Schriber, if I pronounced it
21 correctly, was describing a self-supplied generation which
22 if you're within the region, then so be it. But if you're
23 outside and using firm point to point transmission
24 reservations to get it into that ability to displace energy
25 charges for your customers, then that is a different issue

1 because now the only way the entity can save money is the
2 availability of the transmission system which is TLR'ed or
3 has the ability to be a constraint.

4 In an economic dispatch issue, it would imply in
5 my opinion that you have the ability to displace it within
6 the boundary of the regional transmission organization. So,
7 there's clearly two venues here. One of them is within the
8 PJM/MISO or RTO vision as well as an expansion viewpoint for
9 economic dispatch. And that would embrace the entity to
10 either join an RTO or make arrangements to have that
11 transmission organization join the RTO.

12 As an LSC, you are subjective to whoever the
13 transmission organization is. And if that transmission
14 organization joins that RTO, then that load ability goes
15 along with it. And this is some of the things that are on
16 the drawing board, the differences between, say PJM and
17 MISO, what had occurred in the last year or two with the
18 alliance.

19 Anyway, I wanted to bring that up because that I
20 think is the crux of one of the issues that you're
21 discussing on a global, high level vision. How do you go
22 ahead and foster people to join an RTO or some organization
23 that can lower that cost for their customers?

24 CHAIRMAN BROWNELL: Thank you. And I hope
25 perhaps the two of you will address that as well. And if

1 not, we'll pursue it further, Fred.

2 I have a question from the audience, and this is
3 for Dave Meyer or Steve Naumann. The distinction between
4 efficient dispatch and economic dispatch is not self
5 evident. Could you please give examples of how efficient
6 dispatch could be less than the most economic?

7 MR. MEYER: Well, we have, one example is plants
8 that have somewhat, that are not flexible to operate in that
9 they may not reach peak efficiency until after they have
10 been running for a period of time. And so, you have to take
11 that into account in terms of what assumptions you make
12 about the overall efficiency of that plant. Clearly, the
13 warmup problem, if you will, is going to tend to lower it a
14 little bit in the dispatch order.

15 If you simply order -- another issue, I guess, is
16 more directly related to natural gas fired plants. There
17 may be, the entity operating the unit has acquired access to
18 fuel at a very low rate. Even though the generating unit may
19 be somewhat less efficient because the fuel is low cost, the
20 entity operating it can bid in at a low cost. And so, the
21 consumer then gets the benefits. And so, but if you are
22 dispatching solely on the basis of the efficiency of the, in
23 terms of the heat rate involved, going over to always
24 dispatching the most efficient units first regardless of the
25 fuel cost involved would tend to increase consumers' costs,

1 electricity costs.

2 Now, there might be offsetting benefits to
3 somebody else or even to electricity users associated with
4 somewhat the potential improvement in the efficiency with
5 which gas is being used overall for the purposes of
6 generation. So, how these two things match up is not
7 obvious. But that's an example of how, if you dispatch
8 simply on the basis of heat rate efficiency which is what I
9 take efficient dispatch to be as opposed to economic
10 operating costs overall, you see you can come out with a
11 different pattern of dispatch.

12 CHAIRMAN BROWNELL: I think Steve Naumann wrote
13 this question for himself. So, Steve, there you go.

14 MR. NAUMANN: I'm not sure how I got so lucky as
15 to be volunteered. I think, first of all, it was never
16 clear to me exactly what the definition of efficient
17 dispatch is. But if we take it to be the lowest heat rate,
18 I think it's an oversimplification. I think that's what
19 David is saying.

20 Generators don't have, you know, don't
21 necessarily have a single heat rate for the entire operating
22 range. There are different heat rate points depending on
23 where the unit is operating. So, it's a lot more
24 complicated. If you say, if you're looking at the average
25 heat rate over the entire range, you're going to get a

1 different answer than if you're using a more complex
2 economic dispatch algorithm which looks at different load
3 levels and different heat rate points.

4 An example might be a simple cycle peaker which
5 has a fairly, a brand new simple cycle peaker has a fairly
6 good heat rate when it's operating at full load. As soon as
7 you get all full load, the heat rate is miserable. And so,
8 you really have to look at the dispatch over a much longer
9 period of time.

10 We would take into account not only the different
11 load points, you have to take into account as David said the
12 maneuverability, the ability to ramp from one point to
13 another, all because you've got an efficient dispatch at
14 hour one. The problem is what happens at hour two? And you
15 may end up having multiple starts and stops on units that in
16 effect have limited amount of starts and stops and some of
17 the other things.

18 So, I think, to me, it seems much more of an
19 oversimplification to say just look at heat rate when you
20 need to look at both the unit commitment and how to get from
21 hour to hour plus all the other limitations that are on the
22 generator.

23 CHAIRMAN BROWNELL: Thank you. Thank? I haven't
24 forgotten you.

25 MR. LUONG: Could I answer that? Yes, I think if

1 you really look at the economic dispatch and efficiency
2 dispatch, actually efficiency dispatch is a subset of
3 economic dispatch. Economic dispatch taking into account of
4 the heat rate in there is one element of the variable. And
5 on top of that, it takes a lot of operating units,
6 characteristics of the unit, you know, the minimum run time,
7 the minimum up time, the stop cost, so actually it takes
8 much more than just the heat rate. But the economic
9 dispatch only considers the heat rate in there.

10 So, efficient dispatch is only a subset of the
11 economic dispatch. That's based on engineering. We look at
12 it that way.

13 CHAIRMAN BROWNELL: Thank you. And the
14 distinguished Chairman of the Electricity Committee?

15 MR. ERVIN: Madam Chairman, I think we're
16 probably, I assume, acting on the assumption that we are
17 somewhere close to finish bothering David and Thanh, I did
18 while wearing my -- hat to thank DOE for the extent of their
19 outreach to state commissions. They were very good about
20 doing that. They went the extra mile in terms of contacting
21 us both through the DOE offices themselves and also through
22 Allison -- I counted up to 21 state commissions that
23 actually filed responses to this survey which given the time
24 constraint involved I think is pretty remarkable.

25 And I think somebody on the state side ought to

1 at least thank David for the extent to which he and Allison
2 and others went the extra mile in terms of trying to explain
3 the importance of this to us and also to make sure that we
4 participated in it. And I want to do that publicly.

5 CHAIRMAN BROWNELL: And I join you in your thanks
6 because I know this was a difficult task. We're actually
7 lucky not only to have the Chair but the Vice Chair of the
8 Electricity Committee here today. Laura Chappelle. So, if
9 you have any other issues, you could build their agenda as
10 long as we're here.

11 We're a little behind schedule, so I'm going to
12 turn it over to Phil and then Jim. Steve Naumann is now
13 going out to write some more questions for himself.

14 MR. HARRIS: Thank you. Thank you, Chair, for
15 letting me be here. As a system operator with over 30 years
16 experience, being able to come in and discuss Security
17 Constrained Economic Dispatch is about like sic 'em to a
18 junkyard dog. It is a pleasure to be here.

19 I was somewhat intrigued by the questions on
20 Security Constrained Economic Dispatch. In my career, I've
21 operated power systems in the West, I've operated power
22 systems in the South. I've operated PJM five years as a
23 tight power pool and now eight years as a market. And
24 virtually every system I've been familiar with or dealt with
25 from the West to the South to the North all operates with

1 Security Constrained Economic Dispatch. I know of none that
2 does not.

3 So, what is the real question as I was asking
4 myself and it seems to me that the real question is who is
5 deriving the benefits to the economics. Economics is like
6 beauty, it's in the eye of the beholder. And who is getting
7 the benefits of the economics? Who is making the decisions
8 on the economics of the dispatch? Who is bearing the risks
9 of the economics of the dispatch? And also on the
10 technologies, are technologies being employed and utilized
11 in the right way?

12 One of the things about Security Constrained
13 Economic Dispatch is that it's an evolution. It isn't a
14 status quo concept. And I think as public policy makers,
15 questions as to is the current practice en vogue in whatever
16 state or region you're in, is it an impediment to the
17 implementation of the provisions of open access under the
18 Energy Policy Act of '92 and '05? Or is it a barrier to
19 market entry and that would allow wholesale competition to
20 take place? And these are the real questions around it.

21 Perhaps, and I did want to discuss a little bit
22 of the history of PJM because to a large degree, PJM has
23 been the leader and the history of economic dispatch is
24 largely buried within the organization. And this goes back
25 to 1925 when a study was performed with three different

1 utilities that asked the questions if we operated together
2 as three utilities as opposed to singularly, as individual
3 utilities, wouldn't we be better served? For the same
4 reasons, a common dispatch among three as opposed to
5 operating separately. And that 1925 study showed that there
6 were benefits of \$45 million a year in 1935 dollars than if
7 you had three utilities operating together.

8 Now, in order to operate together, they had to
9 develop security constraints on how the transmission would
10 work and determine to build certain amount of transmission
11 to make it work and then to create algorithms and methods.
12 And basically, every utility followed that pattern as you
13 begin to grow and operate. And indeed, when you look at the
14 large holding companies in this country when they were
15 acquiring companies and growing, most of those advantages
16 said it was because they were going to be able to operate
17 more efficiently from having multiple companies in their
18 holding company structure.

19 This stayed the same in PJM until 1956. In 1956,
20 other companies joined the PJM pool, and by that time, some
21 of the sophistication had increased on how do you do
22 Security Constrained Economic Dispatch. Most of that at
23 that time was used in analog systems where you're trying to
24 simulate the power grid in order to solve the problem. And
25 the problem you're solving is really just a simple linear

1 programming problem of how do you reach that optimum point
2 between the balance of every unit, the heat rate of the unit
3 and the fuel cost based upon the transmission configuration.
4 It really is a simple control problem is all you're trying
5 to deal with.

6 In '56, the end of the pool codified that. They
7 staffed up appropriately. They put more people in
8 engineering and science into it trying to deal with that.
9 And other entities were driving the same way. As a matter
10 of fact, it wasn't until 1962 you might recall that we had
11 an interconnection to the Eastern Interconnection which
12 today is a 600,000 Megawatt interconnection.

13 The systems then evolved to the next step such
14 that by the late 60's, we began to understand that digital
15 control systems with the advent of computers could actually
16 solve this faster than using analog simulations. PJM
17 actually wrote the very first digital control system in the
18 late 60's. It was used to actually make these calculations
19 for balancing the pool.

20 And at that time, we had eight companies
21 operating as if they were one over a five-state region. And
22 that stayed in the status quo for a number of years and
23 actually had perfect bid-based dispatch. We saw every unit,
24 every heat rate, every cost of every unit every hour. And
25 this was audited and the information was distributed to each

1 state commission. So, you had perfect dispatch, perfect
2 auditability, every unit and fuel cost and what could
3 transpire.

4 It's interesting that by the 1990's, a study was
5 done by McKinsey looking at what was the value of operating
6 this way and the numbers were somewhere over a billion
7 dollars a year of savings to the customer by having perfect
8 information, perfect dispatch data, eight utilities
9 operating as if they're one over the five states. A very
10 good system and one that served very, very well.

11 As things progressed, and that study was
12 ultimately replicated, I know that New Jersey did one. It
13 came about with the same number, and Maryland did one also
14 during that period of time. As it began to grow, however,
15 and move into how do you bring in markets, then obviously
16 you are in competition among generators and that sort of
17 program wouldn't work. And a number of states asked us to
18 look at how we did this differently and then we got into
19 bid-based security constrained dispatch.

20 And we've had a lot of models as to how does that
21 work. Can you bid base better than you can cost base
22 dispatch? We ran models and models and sensitivity analyses
23 and so forth. We have some numbers, I'll talk about a
24 little bit later about how that came in to play.

25 With all of this throughout, you do get into the

1 area that size does matter. And I've heard that mentioned
2 several times here, that having diversity of units,
3 oversized, optimizing through the math and the calculations,
4 how does it work and can you optimize that dispatch. And
5 with the wonderful world with computers and technology where
6 these things can be solved, then you can see the numbers as
7 they produce the results of this kind of dispatch.
8 Certainly with the complications of constraints and the
9 distribution system, even the transmission system in real
10 time and knowing how you have to do that, you have to send
11 the price signals to allow it to happen.

12 I think the other part of it that's meaningful as
13 the evolution of Security Constrained Economic Dispatch
14 grows is how do you bring in the new players. How does
15 demand response be able to play? How do IPPs be able to get
16 the information to be able to show that they're able to
17 compete in a fair and equitable way as we move forward into
18 the future? And we have the technologies, the price
19 transparency, and the things today that we've never had
20 before that allowed that to take place.

21 Some of the numbers that have been looked at as
22 we go forward in this, certainly the forced outage rate has
23 dropped considerably. We've seen considerable savings with
24 innovative software. For example, because of the size, we'd
25 be able to use multiple energy programming in this dispatch

1 equation. This saved our customers \$56 million directly in
2 2004. In this year with the higher gas costs and the higher
3 gas prices, the savings have been calculated at over \$85
4 million just from having better math in the equation of your
5 Security Constrained Economic Dispatch.

6 Other studies such as September of '02, the
7 Center for the Advancement of Energy Markets said that
8 customers within PJM realized \$3.2 billion of savings as a
9 result of the dispatch. Synapse Energy showed that savings
10 around the neighborhood of the prices for consumers were 2
11 to 13 percent lower than if this kind of market didn't exist
12 in the dispatch where everyone could participate and share
13 in that. When Allegheny Power moved in, it was quite
14 telling. They were the first group to join the market after
15 we started where they were dispatching their system
16 separately. When they came into the dispatch equation and
17 started following the dispatch signals from PJM, the first
18 eight months they saved \$99 million.

19 Recent studies by AEP have shown a nominal net
20 benefit from '04 to '08 as \$188 million for AEP. Global
21 Energy Decisions found out with the integration of ComED,
22 AEP and Dayton, that annual production cost savings were
23 over \$85 million. Cambridge Energy Research had \$33 billion
24 of savings over seven years. A recent study by PJM which
25 I'll talk more about in a moment from Energy Security

1 Analysis said there were \$500 million in savings for
2 wholesale customers as a result of having a common dispatch
3 over a large footprint. And certainly the IRC Council has
4 showed the same savings coming up in different areas from
5 doing this.

6 Some of the key questions that you asked are what
7 are the benefits and costs compared to the previous system?
8 And I think PJM is a perfect test case. In the first
9 instance, you had eight utilities operating as one. We have
10 a 1925 study that projected you'd save \$45 million a year in
11 1935 dollars, the 1990 study that showed just operating at a
12 cost based system was saving over a billion dollars a year,
13 and then we have further studies now showing that a bid
14 based system where everyone can participate and play in the
15 energy picture equally is saving huge amounts of dollars
16 even above and beyond that.

17 We also have understood that as you get into this
18 kind of arrangements, it's much easier to coordinate. Back
19 into the power pool days, I remember in 1990 we had a
20 teletype that we coordinated with New York power pool.
21 Every four hours, we'd send 300 bits of data back and forth
22 over the teletype that had to be rekeyed. Today, we have
23 data links that tie in New York and PJM. We have data links
24 that tie in MISO and PJM over the world's largest interface
25 which has 71,000 Megawatt interface.

1 And the advantages of both of us using bid based
2 security constrained dispatch is you're seeing the price
3 convergence comes down between the MISO and the PJM border.
4 We have 11,000 Megawatt interface with the South and
5 agreements that work out between Progress and Duke so we can
6 compare and see what's happening at that particular
7 interface, and a 7,000 Megawatt interface with TVA where
8 we're sharing data and developing programs and systems with
9 TVA, so in short we're seeing what's happening with each
10 other's system with the dispatch.

11 So, the technology is allowing these synergies to
12 grow and develop because you have the large regions and you
13 have the capability to do that. Some of the other savings
14 that came out as part of the ESAR report, and I brought a
15 considerable copies back here, but I think they're quite
16 telling because it all ties back into what you can do with
17 the right use of technologies, the right price transparency.
18 Some of the findings, for example, is just because you have
19 a region-wide energy price, that the savings are 78 cents a
20 Megawatt or would have been 78 cents a Megawatt or higher
21 than if you were working all of them under the same sort of
22 dispatch.

23 Some of the other advantages coming about is
24 because you have an entity and this isn't so much about
25 structure as about having an entity that enables this kind

1 of activity to take place that the pricing conventions and
2 price transparency allow all the players to come in for
3 whether you're wind or you're bowel mass, solar or
4 whatever, you have a way to participate in the dispatch
5 equation openly and transparently as you move into the
6 future and then certainly innovative rights to use the
7 transmission system.

8 PJM's expanding forward market has no bias. And
9 how do you know that? Because we run the price signals.
10 The price signals are posted every five minutes with perfect
11 price transparency. You know the day-ahead market and the
12 day ahead prices are converging to the daily prices. This
13 is a huge benefit when you're trying to plan what you do in
14 an economic dispatch because you plan the unit commit the
15 day ahead, then you have to commit on the hour.

16 So, eliminating the bias between the day-ahead
17 market and the daily market is a huge considerable savings
18 as opposed to trying to do it internally. And the systems
19 that do it internally, you don't have the price transparency
20 to even know are you eliminating a bias between what's
21 happening in the bilateral market or not. You don't have
22 the information nor have the capability of doing that.

23 Other things that were found in the study is that
24 hedging with FTRs works out and they found that the FTRs are
25 an effective hedging mechanism within PJM. Another

1 interesting factor comes into it and I think this is
2 important with the high natural gas prices and the things
3 we're seeing today is that you have a large, more optimized
4 portfolio of generation assets and the use of those under
5 more appropriate dispatch.

6 For example, we're 165,000 Megawatt system within
7 PJM, 28 percent of our capacity is nuclear, 42 percent is
8 coal, 4 percent is hydro, 7 percent is oil, 1 percent is
9 green and other sorts of power and 28 percent gas. But if
10 you look at the actual dispatch that has taken place through
11 the summer, 56 percent energy comes from coal, 32 percent
12 comes from nuclear. That's 88 percent of the energy
13 provided comes from coal and nuclear. And many times it's
14 coal that is setting the price, it isn't gas. 7 percent
15 came from gas, 3 percent came from wind, 1 percent came from
16 solar, bowel mass and other new green type technologies, and
17 3 percent from hydroelectric sources. So, even though you
18 have a generation diversity of one sort, you can see the
19 energy has actually been provided by those that are willing
20 to bid and can do it and that gives you a much more
21 efficient operation over a very large footprint which is one
22 of the advantages of having geography and size.

23 The quantification of that according to the
24 studies says that that yields aggregate savings to electric
25 consumers on the order of \$1 to \$2 a Megawatt hour which

1 translates in our region from \$700 million to \$1.4 billion a
2 year savings to have been able to operate the system this
3 way with bid based security constrained dispatch. Other
4 savings were mentioned to it. I think particularly getting
5 into the fact is the huge savings in heat rate, and these
6 are all calculatable and quantifiable numbers, but the heat
7 rate of the system dropped from 9,000 to 7,300 BTU per
8 Kilowatt hour. Why is that? It's because you're able to
9 optimize the units and get them to a better heat rate range
10 and you're displacing those that have a poor heat rate, they
11 move out.

12 Then you say, well, is that a bad thing, because
13 what's happened to these other units? Well, what we saw
14 happening is that the power then of these other units has
15 nearly tripled flowing outside of the system. So, the other
16 units were able to bid and to sell bilaterally outside the
17 PJM system, so it becomes a win-win-win-win all the way
18 around for all the players into the market place.

19 Certainly the integration of demand side has been
20 a lot higher. If you look at the state of the market
21 reports, you can see considerable savings at 100,000
22 Megawatt load a day, we can see price reductions as much as
23 \$260 a Megawatt hour when you're at a peak heat day. If you
24 look at the operations throughout the summer with the heat
25 that we had over and over again, you'll see how moderate the

1 process where you see the influence of demand side and you
2 see the influence of generation diversity in spades.

3 Some other questions come in, too. How does the
4 power flow? We first anticipated that power would flow from
5 West to East. And what you're finding with the right kind
6 of dispatch and abilities to respond to processing those
7 many times, the power was flowing from East to West based
8 upon the time of day and the time of use. Again, economic
9 dispatch, price signals and the line the companies are
10 participating to respond to those signals appropriately will
11 give you a much more efficient utilization of those
12 resources than you are absent having that kind of a
13 dispatch.

14 I think the other note in this thing that they
15 talk about is this is a transition. It is a change. We're
16 going through capabilities with technology we have never had
17 before. And the digital control technologies and the
18 capabilities of processors to solve this control problem are
19 absolutely huge. We're now with our new control center
20 actually looking at running the state estimator for the
21 entire Eastern Interconnection because you can do that and
22 solve it in minutes today with the power of technology which
23 gives you a lot more information because you look at more
24 innovative uses of wind and solar and bowel mass and other
25 capabilities just doing the dispatch. You need that kind of

1 technology to enable them to get the price signals to
2 participate so you can optimize the dispatch equation.

3 And you also increase the reliability of the
4 system when you can do that and provide the right signals.
5 I think it's really telling to me, this one anecdote that I
6 think is quite telling though. If you remember in 1994, we
7 all got faced with the ice storm that came through. It
8 started West and things were shut down. I know I talked to
9 Kentucky several times because we had trouble getting oil
10 trucks through Kentucky into the Mid Atlantic region. At
11 that time, we shed 500 Megawatts of load over a three-and-a-
12 half-hour period but we had a 48,000 Megawatt peak, we had
13 15,000 Megawatts of generation on forced outage with only
14 60,000 Megawatt capability. Now start doing the math.
15 There just wasn't enough generation that we could command
16 the control in order to come online.

17 In May of '99, we had temperatures that we didn't
18 expect to see that early for five or six years out. We're
19 sitting there with a system then at 75,000 Megawatts that
20 had 5,000 Megawatts on a forced outage. We had 15,000
21 Megawatts out on planned outage. I mean, we were looking at
22 a massive shortfall. But we did the security constrained
23 economic dispatch. We had many buyers and sellers, had over
24 a hundred different companies bidding, selling and trading
25 into the market place. The prices never got above \$200 and

1 all the load was met for many active participants being able
2 to see the day ahead and respond to that with price and be
3 able to participate in the dispatch equation. So, we didn't
4 shed load.

5 I would tell you that it's a much more reliable
6 system. Same set of circumstances that we had to shed load
7 in '94, in May of '99 we didn't have to because you had the
8 right kind of dispatch equation. It's a more reliable
9 system.

10 Other factors that are kind of hard to talk about
11 that is because you get into this kind of security
12 constrained dispatch, you get into the ancillary services,
13 how do you regulate spending the reserve, et cetera. And
14 our regulation market is 50 to 100 percent better than it
15 was when we were trying to do it under a command and control
16 basis for providing the price signals in the dispatch
17 equation and allowing companies to respond to those over
18 time.

19 I was listening to the discussion on economics
20 versus efficiency and it's hard for me to understand what
21 the question is. It's almost like a distinction without a
22 difference. If you truly are looking at how you have a
23 security constrained dispatch as you have open price
24 transparency, if you're meeting the public policy needs of
25 the Energy Policy Act to enable competition, you have many

1 buyers and sellers and traders who can participate and make
2 judgments on their own is how you can go forth. You're able
3 to bring in the wind technologies. You're able to spur the
4 economic demand programs into that real time equation. Now
5 we're making progress. But it is an evolutionary progress
6 and one that will move forward step by step as we move to
7 the future.

8 Now, I'd be happy to answer any questions.

9 CHAIRMAN BROWNELL: Thank you. I think we'll
10 hold the questions until we hear from Jim, and then I'm sure
11 there will be lots of questions.

12 MR. TORGERSON: Thank you, Chair Brownell and
13 Vice Chairs and all those who are joint board members.
14 Thanks for the opportunity of coming here.

15 I'm going to hit on a couple of topics. One is a
16 discussion of the security constrained economic dispatch,
17 then also on the benefits of it and the responses to the
18 questions that were laid out to us. I also was asked to
19 talk about briefly on the white paper in the inter-RTO
20 council was this came from the CEOs of all the ISOs/RTOs
21 released.

22 Let me give you a little of my background. I do
23 not have 30 years operating power plants. My background is
24 merely in finance and strategic planning. And when you look
25 at the security constrained economic dispatch, it is very

1 complex. There are mathematical algorithms that run all
2 this. And on our staff, we have a number of people with
3 PhDs in mathematics and power system designs and electrical
4 engineering. They have gone through and worked with vendors
5 to put these complex algorithms in place to solve this
6 system.

7 I do know though how value gets created, and
8 that's what we look at when we're doing the security
9 constrained economic dispatch. And many of you can relate
10 when you look at why mergers among utilities are successful.
11 One of the big benefits they always point to is by
12 broadening the area they're going to dispatch over, that is
13 where significant savings come from, from economic dispatch
14 over a broader area. RTOs have expanded that area. We're
15 doing the economic dispatch over a very broad area now that
16 encompasses in our case 1,500 generators whereas in the past
17 you would have a utility or a control area just doing the
18 ones that they had access to.

19 But the security constrained economic dispatch
20 really is the system operator's dispatch to generation
21 resources that they have to meet the load in a most reliable
22 and economic matter. And it takes into account the
23 constraints on the system. I mean, that's very basic and
24 that's what it does. It's not a new concept. Whenever the
25 transmission system gets constrained which it does, there is

1 a need to ration capacity and to do it in a reliable manner.
2 And that's how this works.

3 The security constrained economic dispatch is
4 performed by an RTO and also by non-RTO utilities because it
5 is the most reliable and economic way to manage the system.
6 So, both do it whether you're in an RTO or not.

7 The concept of a security constrained dispatch
8 requires the system operator to account for the system
9 balance and frequency, to coordinate the power flows
10 recognizing that there are operational security limits, that
11 there are possible contingencies and there's transmission
12 congestion. We use our state estimator and real time
13 contingency analyzer as a feed into our, what we call unit
14 dispatch system which then determines every five minutes
15 what generators get utilized. So, we marry what was used
16 previously for reliability directly into the dispatch of the
17 system.

18 And the concept of economic dispatch requires the
19 system operator to select generation resources to dispatch
20 in some merit order based primarily on the incremental cost
21 of dispatching each unit at each level of output and taking
22 into account the security of the system. And this is to
23 suggest that economic dispatch and reliability really can't
24 be separated. The way we're operating the system, they are
25 integrated entirely today.

1 And when the question came about an economic
2 dispatch versus an efficient dispatch and David Meyer
3 mentioned it and so did some others, Steve Naumann, but
4 economic dispatch, when we do it, it takes into account
5 everything, the bids and offers that people put in. How
6 much, all their costs, all of the production costs, and that
7 includes what does it cost to ramp those units? What does
8 it cost to start and stop those units? What are their other
9 physical characteristics? What constraints are on the
10 system? So, when you look at it all in total, the total
11 production cost, that's where you get an economic dispatch
12 and it should be, by definition, efficient based on all the
13 constraints that are looked at within the system.

14 And as I said, over a large area such as those of
15 RTOs, it provides some very inherent benefits. We
16 internalize all of the loop flows across a larger area. And
17 it means more flows on the transmission system are managed
18 by dispatch rather than by that less efficient use using
19 TLRs which was what everyone used in the past. So, the
20 optimization of dispatch across a wider region does lead to
21 a more economic use of resources. And the regional approach
22 also leads to more efficient planning investment. You then,
23 by generating these LMP prices, you have a better idea how
24 to plan the system and how to plan for investment.

25 So, some of the questions that were raised, what

1 are the benefits and the costs of security constrained
2 economic dispatch compared to the previous systems? Well,
3 preliminary indications estimate that, and this was a study
4 that ICF did just recently, as a matter of fact it was just
5 released a couple of weeks ago for ours, and they looked at
6 one day on July 7th, 2005. And this was a follow up to a
7 study that DOE had done and it was one of the same
8 individuals, Jimmy Glockfeld had even done it for us. He
9 said, and they looked at one day, and keep in mind this is a
10 day, that the savings from an economic dispatch were between
11 \$600,000 and a million per day. So, that would translate
12 into \$220,000 to \$360,000 if you annualize those numbers.

13 We all recognize that one day you can't really
14 extrapolate over an entire year. So, we've asked ICF to go
15 back and then look at the six-month period we've been
16 operating, take all the data from our operations and then
17 come up with an analysis of those six months on an actual
18 basis of what we actually did as the Midwest ISO versus what
19 it was before when the market wasn't operational. So, we
20 also did a simulation of the pre-Midwest ISO security
21 constrained economic dispatch to post when there wasn't
22 really an economic dispatch before we started up. And we
23 modeled it and we saw a benefit that ranged from \$59 million
24 to \$154 million per month.

25 Now, the differences were you had to make

1 assumptions about how efficient the bilateral market was
2 before the Midwest ISO had started up. And we assumed a 90
3 percent efficiency in that bilateral market, and that would
4 give a benefit of the \$159 million. If the bilateral market
5 were perfectly efficient, it dropped it down to \$54 million.
6 We know that it wasn't perfectly efficient.

7 Also, there was a question on TLRs and, you know,
8 are we maximizing transmission owner revenues? Well, what
9 we found is that prior systems relying on TLRs was
10 inefficient because we'd call TLRs and it led to about a 12
11 percent under-utilization of the capacity on those
12 constrained flow gates after the TLR was put into effect.
13 With the economic dispatch, we get much closer, right to the
14 edge of how much transmission capacity can actually be
15 utilized.

16 The other questions, what lessons did you learn
17 in implementing the security constrained economic dispatch?
18 Well, implementing a regional dispatch in place of local
19 dispatch as Phil mentioned, it changes the preexisting
20 dispatch patterns. It clearly changed the dispatch based on
21 comments we've received about how we are actually
22 dispatching generators from the days before the market
23 started to today. And it also introduced transparent
24 pricing, and this has led to reduced congestion in formerly
25 high congested areas. We look at what happens in Wisconsin

1 where before we have been able to put more imports into
2 Wisconsin from remote sources than were being done in the
3 past. And that came from people in Wisconsin.

4 So, how does the operation of security
5 constrained economic dispatch relate to the operation of
6 regional market? Keep in mind that the LMP prices that come
7 out are the result of, they're not the cause of regional
8 dispatch, they're a result of doing the security constrained
9 economic dispatch. And transparency in the regional markets
10 has led to a more economic dispatch.

11 Prior to regional economic dispatch, the region
12 didn't have transparent prices. People would learn what the
13 price was by calling each other. And that was how the
14 bilateral market grew up. People would call back and forth,
15 find out who had a price they liked, and then either buy or
16 sell. And in that, how many people did you talk to in that
17 15 minutes or 30 minutes before the hour in order to do your
18 transaction? There was nothing posted.

19 So, what effect has security constrained economic
20 dispatch have on the reliability of the electric system in
21 your region? Well, the Midwest ISO process is based as I
22 said on advanced state estimator modeling, contingency
23 analysis and continued reliability monitoring. This is
24 totally integrated. We're actually looking at 180,000 data
25 points every few seconds that are integrated into our state

1 estimator. And it covers a very broad region, not just the
2 Midwest ISO, but we go into PJM, a little into Ontario,
3 cover the entire map region, TVA, Southwest Power Pool.

4 So, we cover an entire region because we need to
5 know where the flows are going to be coming from, not just
6 the flows within the Midwest ISO. And that aids in
7 reliability. Our operators even have told us that actions
8 that would have taken an hour before because of a TLR, now
9 they can resolve in five to ten minutes from constraints on
10 the system. So, we see a significant improvement in
11 reliability as a result of economic dispatch.

12 And what effect has economic dispatch had on the
13 cost of electric energy in your region after adjusting for
14 inputs? Well, I mentioned two of the studies we had already
15 done. In an analysis we did which was ordered by the
16 Commission prior to starting our market, we identified \$128
17 million in net benefits strictly from purchased power, cost
18 savings and increases in our system sales revenue. Added to
19 that would be savings and cost to sort of loaded market
20 prices net of market implementation costs and this should be
21 because of the transparent pricing driving down the overall
22 price. That was estimated at a net benefit of \$586 million
23 and these were per year.

24 In individual state and utility studies, we did
25 one in Wisconsin that identified after congestion, market

1 implementation cost \$51 million a year. We did another
2 analysis for Kentucky that identified \$46 million per year
3 based on comprehensive analysis of all cost revenue and
4 costs including the security constrained economic dispatch.
5 We did an analysis for Aquila and their Missouri operating
6 areas and we identified that it would reduce production and
7 purchased power costs by \$6 million a year and then lower
8 congestion costs an additional \$6 million a year. And these
9 were all recent analyses that we have done for different
10 states.

11 Now, having said that, last week we introduced a
12 new paper that talked about the value to RTOs and ISOs, the
13 value that they create for the grid and for electric
14 consumers. And I want to touch base on that just a little
15 bit. In the US, we have seven ISOs and RTOs that serve
16 about two-thirds of the US population and coordinate about
17 two-thirds of the generation in the nation. And these seven
18 US based RTOs were the ones that put together this paper,
19 and they maintained the reliability of the grid. And I just
20 want to lay out some of the major themes that are in this
21 paper. It's about a 50-page paper, but I think it's
22 important to look at the themes there.

23 We all use sophisticated tools and information
24 technologies to manage a very complex system that covers
25 more than 272,000 miles of high voltage transmission lines

1 and 585,000 Megawatts of generation. One of the most
2 important things we do do is coordinate closely on an
3 electronic and human basis the information exchange between
4 these regions. We have working agreements, joint operating
5 agreements.

6 Phil and I have one that was probably, it is the
7 model that most of these have been based on where we share
8 information and data in real time. And it goes a long way
9 to help eliminate problems on the system. And we know
10 what's going on in each other's area in real time. I mean,
11 to illustrate how much information we get, a couple of our
12 RTOs manage about as much information on a daily basis as
13 Visa, the credit card processor. So, I mean, it's a huge
14 amount of information that gets handled on a daily basis.

15 Now, much of the value comes from better use of
16 power plants. Again, the security constrained economic
17 dispatch, that is what we talk about in the paper. And
18 there is a couple of things I will mention. Some of the
19 savings, the heat rates in Ercott improved by about 40
20 percent, and that saved customers according to their
21 analysis over \$10 billion over a six-year period. New
22 England has nox emissions down by 32 percent. There is a
23 GED study I think Phil mentioned that had \$15.1 billion in
24 savings. And the Northeast has saved \$7.30 a Megawatt hour
25 from competition over seven years. So, SPP has identified

1 \$1.2 billion to be saved over ten years from their market
2 operations.

3 So, it's not just limited to those of us who are
4 running markets today. People are estimating these for
5 their future. And we also believe it's lowering customer
6 energy cost by billions a year. Again, we highlighted a few
7 of those already and then you have the studies that Phil
8 mentioned. It also gives independent power producers
9 greater access to the grid, increasing competition among the
10 generators and lower cost imports.

11 And the other thing that we do is regional
12 planning. And these investments often will lower the
13 delivered energy cost as well as eliminating millions of
14 dollars of congestion. I know Path 15 in California reduced
15 congestion by 40 percent. And Ercott has seen two billion
16 in transmission facilities with another 2.8 billion in
17 development right now. PJM has done 550 million since '99
18 and Midwest ISO has identified 2.9 billion in transmission
19 upgrades that need to be done by 2009.

20 The bottom line I think here is that the RTOs do
21 provide significant benefits. And the only thing we looked
22 at are our costs. What does it really cost for an RTO?
23 Well, on average, it's 44 cents per Megawatt hour. And when
24 you translate that to a residential customer, your average
25 residential customer across the US, it's somewhere between

1 \$3 and \$5 per year for the cost of an RTO. So, that is what
2 it costs to run an RTO when you get down to the individual
3 residential consumer.

4 And with that, I think I'll stop. I probably
5 spent enough time talking about this, so I'll be happy to
6 team up with Phil and we'll answer the questions.

7 CHAIRMAN BROWNELL: Great, thank you. I'm sure
8 it's just a question of who wants to go first. Ms.
9 Chappelle?

10 MS. CHAPPELLE: I don't necessarily want to go
11 first. This might be more pertinent to Jim, but Phil, jump
12 in if you can shed any light and I'm sure you both have
13 heard this issue. But one of the biggest complaints that I
14 hear back in Michigan is that since the advent of MISO, we
15 are dispatching allegedly uneconomic plants. We're
16 dispatching the peakers, the high cost natural gas plants at
17 a time when if the utilities were dispatching themselves,
18 they never would dispatch these plants. And because that is
19 being done, it's driving up allegedly the rates.

20 And so, I have a two-pronged question. Jim,
21 you've heard this issue for some time and we thought maybe
22 it was a bit of growing pains as MISO was unfolding, and it
23 seems to be continuing. So, can you talk a little bit about
24 that, whether or not in fact it is happening? And if so,
25 can you also touch on how these bids come in? I think,

1 Phil, you touched on this. Apparently, you feel that the
2 bids are coming in to give you sufficient information
3 regarding the actual economics of the plant, but can you
4 tell us a little bit if you actually can make that judgment
5 on the bids coming in?

6 MR. TORGERSON: Well, I think early on when we
7 first started up, and keep in mind the Midwest ISO started
8 its market in centralized dispatch April 1st, so I think our
9 people, our operators were probably a little conservative
10 the first couple of months. I mean, they were -- plus we
11 had cost-based bidding in the first two months, and so I
12 think our people were a little conservative, making certain
13 that they had sufficient generation online.

14 I would say that though today, we've gotten much
15 more efficient at the generation dispatch. And some of the
16 things that people have to keep in mind is we dispatch based
17 on the offers that come in. If people will offer in, they
18 offer in their units and they offer in the characteristics
19 they offer on are there startup costs, how much does it cost
20 to start that unit, how much ramp time do you have for those
21 units? And one of the things that we see is ramp time is
22 very important, like in the morning.

23 Even today we're seeing a ramp and this means a
24 change in about a two to three-hour period of about 10,000
25 Megawatts from where it was to where it has to go in the

1 morning. Then we see another, it can be as much as 10,000
2 to 15,000 Megawatts, and then another 8 to 10 in the
3 afternoon again in the winter, the days like now. So, we
4 have to have enough units on that can keep up with the
5 amount of load that's being required and the generation
6 that's being required.

7 So, at times if we have offers that can only ramp
8 a smaller amount, and keep in mind people are putting in
9 their own offers and you heard a question about flexibility.
10 Well, if we don't have the same flexibility on ramping a
11 coal unit that let's say they used in the past, then we have
12 to call on other units to do it because they're putting in
13 their offers. We can't change their offers. We can't
14 change the characteristics they're putting into the system.

15 So, you look at all the production costs and then
16 we determine which one based on the offers we have and the
17 constraints within the system, and that's another big thing
18 you have to keep in mind when we're looking at when we
19 dispatch certain units. What constraints are on the system
20 at any point in time? Because this is a security
21 constrained unit commitment in unit dispatch. So, we factor
22 all those in and then the algorithms determine which units
23 will run.

24 So, I'm actually fairly confident we're doing a
25 considerably better job and we're doing it based on the

1 economics and in the bid patterns that people put in. So,
2 you know, those are all the variables you have to look at
3 when you say we may be dispatching more peakers than were
4 done in the past.

5 MR. HARRIS: I think the question on is it more
6 efficient is a very good one and I think PJM is a perfect
7 test case. Again, we had perfect knowledge, perfect
8 economic cost-based dispatch every heat rate, every unit.
9 And we had a huge, had a whole department just dispatching a
10 hydroelectric system. We had the Saska and the River
11 Valley. We got pump storage. You got environmental
12 constraints. You've got to worry about running river.
13 You've got to worry about the temperature of the water, all
14 these different factors in order to handle the hydroelectric
15 system of the Saska and River Valley. So, we had a whole
16 department just calculating all that to make sure we didn't
17 bust any of those environment constraints on the
18 hydroelectric side.

19 All the models that we ran said that bid based
20 would be better. But even at that, we operated a year at a
21 cost base just to get people used to the bidding behavior.
22 The studies that are coming now are showing that, yes, it is
23 working better when people are making their own economic
24 decisions about ramp up, start times, you know, no load
25 costs, all these things that you have to factor in on their

1 own commercial interest that the bid based system is much
2 better because it transfers the risk.

3 If they make an error, they don't run. If they
4 make an error, then whoever owns that plant has the burden;
5 not society, not the public. So, it's their risk judgment
6 that they have to balance when you're in a bid based system.

7 CHAIRMAN BROWNELL: Wendell? Steve after
8 Wendell.

9 MR. HOLLAND: Phil and Jim, thank you for your
10 comments regarding economic versus efficient dispatch. I
11 truly appreciate that. And I liked both of your papers
12 quite frankly and I think I understand your savings analyses
13 and how RTOs create value and especially as it relates to
14 nox reductions because a number of retrofitting cost is
15 saved.

16 But my question is to Phil and it's something
17 that Jim actually brought up. And this makes it real
18 simple, Phil, in your paper you talk about how overall PJM
19 operations cost each household in the region about \$3.50 a
20 year, and Jim said between \$3 and \$5. Could you just
21 elaborate on that? Could you comment on it? I think I
22 understand it but could you just elaborate on it please?
23 Because I think that really simplifies this issue
24 enormously.

25 MR. HARRIS: Yes. It was just a simple

1 calculation. Our cost, our budget for example next year is
2 36 cents a Megawatt hour, and if you take the cost of PJM
3 and average it out across the 700 -- hours of power that
4 goes to the retail, it comes out calculated at \$3.50 a year
5 per residential customer.

6 Now, I think other things, again, let me preach
7 on this just a minute, but size really matters. In the
8 entire world, you got 3,600 Gigawatts of generation
9 capacity. Okay, the Eastern Interconnection is 600. You
10 know, you're one-sixth of the world in Eastern
11 Interconnection. Within the Eastern Interconnection between
12 MISO and PJM, we're nearly half. We got nearly 300
13 Gigawatts between the two of us.

14 So, you've got two entities operating an
15 extraordinarily large market. The value proposition of that
16 is where you're getting these huge numbers. It's a
17 tremendous value to society by getting those kind of
18 economies that you're dealing with. I think even the
19 transmission expansion numbers, many of you have seen these
20 calculations, we're looking to expand the transmission
21 system. We can make a \$4 billion investment and if that
22 investment was translated immediately to the retail customer
23 being one-tenth of a Kilowatt hour.

24 So, you're getting economies to sale that can
25 drive value that you can't get in smaller type enterprises.

1 And that's where these savings come down.

2 MR. HOLLAND: Okay, thank you.

3 CHAIRMAN BROWNELL: Steve?

4 MR. NAUMANN: I just wanted to make a quick
5 comment in response to the question Commissioner Chappelle
6 asked. It's based on the experience of when ComEd got
7 integrated into PJM. One of the things that you find is
8 once you go into a competitive system, the reliability
9 criteria whether they're good, bad or whichever they are,
10 have to be met exactly.

11 And the comment that Jim Torgerson made about
12 dealing with the ramping, it was not uncommon when utilities
13 were independent control areas. They have operating reserve
14 requirements. Well, when you're ramping up in the morning
15 and units are coming on, they don't always come on exactly
16 when you want them to come on because things aren't perfect.
17 The control area might go into their operating reserve.

18 When you have a competitive system when other
19 people are providing that reserve, you've got to compensate
20 that. And that's one of the reasons that the peakers, that
21 we found at least upon our integration initially, that there
22 was more use of peakers because PJM said these are the
23 operating reserve requirements, we're going to meet them.
24 And so, it is a different regime.

25 Now, one can argue that the requirements are

1 wrong or should be modified. But so long as you have them,
2 the RTOs are meeting them. And I think what you're seeing
3 there to some extent is the cost of reliability. And so, I
4 just wanted to add that because sometimes it's missed.

5 MS. CHAPPELLE: Very helpful, thank you.

6 CHAIRMAN BROWNELL: Chairman Davis?

7 MR. DAVIS: Jim, I've got two --

8 CHAIRMAN BROWNELL: Lean in to that mike please.

9 MR. DAVIS: Jim, I've got two questions. The
10 first question is, you know, in your savings analysis, do
11 you take into account uplift charges?

12 MR. TORGERSON: The uplifts are a, they are a
13 component of the overall because uplifts typically are
14 transfers from one party to another within the overall
15 region. That's what they really are. You're paying one
16 person, one group one load who's paying somebody else. So,
17 they do get factored in.

18 MR. DAVIS: Okay. So, you're saying that those
19 are included. Okay.

20 MR. TORGERSON: Yes.

21 MR. DAVIS: And then, my next question is with
22 regard to your savings analysis for Aquila. I mean, we've
23 got them in a rate case right now, so I have their numbers
24 laid out in front of me. I guess there is no other way for
25 me to ask this than, you know, I've got your spreadsheet

1 where it's got a little more depth about what the actual
2 analysis was. But you know, if I just calculated these
3 numbers right, you know, it's an estimated savings of \$41.5
4 million a year. Just tell me how much that share is
5 Missouri's portion and how much I can just yank out of their
6 revenue requirement.

7 MR. TORGERSON: That part I don't know. I do
8 know that --

9 MR. DAVIS: Well, you can file that with this
10 later.

11 MR. TORGERSON: Okay.

12 MR. DAVIS: But I just want to know. I mean, are
13 these numbers reliable?

14 MR. TORGERSON: The numbers that we've generated
15 for these economic analyses are, yes, they're reliable. But
16 you have to look at the assumptions that were made just like
17 any analysis that's being done. And the assumptions that
18 will drive these analyses, and we believe we took, you know,
19 appropriate assumptions when we developed it, and we looked
20 at each one and, yes, that's why like the ICF study, I want
21 them to look at the six months of actual data we now have,
22 or actually seven months now, and compare that to before
23 when there wasn't a market operating.

24 So, to answer your question, yes, I think you can
25 rely on it but you also have to look at what assumptions are

1 made and people can challenge those assumptions and that's
2 what going to drive it.

3 MR. DAVIS: I'm sure I'll have the opportunity to
4 hear more about this later. Thank you.

5 CHAIRMAN BROWNELL: Maybe ICF should come visit.
6 Chairman Hardy?

7 MR. HARDY: I listened to both you gentlemen very
8 carefully and I appreciate your information. If my ears
9 serve me well, only Mr. Torgerson used the word net when
10 talking about some of his studies. And Mr. Harris, I don't
11 believe the way you presented your information you ever used
12 the word net.

13 Net is really of concern to me because when I
14 look at what you're proposing, which sounds wonderful, I
15 have some difficulty in saying if this is projected to save
16 millions, billions, whatever, I need the meaning of context,
17 and to me, that context is net. And when you present your
18 numbers, if you would give me a net number on something
19 you're going to realize in savings over five years, that
20 would be much more useful than simply a projected savings.
21 Or have I misunderstood your position?

22 MR. HARRIS: No, I just don't think it may have
23 been characterized appropriately. What most of the analyses
24 are, it's analysis of you go back and actually calculate if
25 the entity had operated without being part of the large

1 market, what their cost would have been. Okay, then you
2 calculate what it actually was being part of the market, and
3 the delta is the savings your seeing. Those are the
4 efficiencies. Operating singularly and by yourself or
5 operating as part of a market. And that's what you're
6 gaining almost throughout the studies. And the numbers are
7 real and meaningful and calculatable.

8 MR. HARDY: So, I'm to understand --

9 MR. HARRIS: Same thing with the efficiencies on
10 heat rate. What's the heat rate prior and what's the heat
11 rate once you're in to a large market and operating in that
12 way.

13 MR. HARDY: So, you build into that calculation a
14 net number which is the cost of the operation of PJM, for
15 example?

16 MR. HARRIS: Absolutely.

17 MR. HARDY: So, your numbers are not gross, they
18 are net?

19 MR. HARRIS: It depends on what you're analyzing.
20 What we are analyzing for most of the numbers to try to show
21 the value of security constrained economic dispatch, what
22 did it cost you to operate by yourself. You calculate that,
23 you run those numbers. Okay. Then what did it cost to
24 operate as part of the pool including the pool cost and you
25 get the delta and that's where you're getting the savings.

1 MR. HARDY: Okay. Do you do it the same way,
2 Jim?

3 MR. TORGERSON: Well, Chairman Hardy, what we do
4 is we look at, let's say we're looking at production costs,
5 the production cost before, the production cost after, what
6 savings were there. Then we subtract all of our costs to
7 actually operate the market from the Midwest ISO
8 perspective. And in some cases, we look at, we've done it
9 with just the cost to operate the market, but then we looked
10 at the total cost to the Midwest ISO which would include all
11 the activities we do around reliability which are about half
12 of our costs and we subtracted all those to come up with a
13 true net number just to net out if the Midwest ISO, all its
14 costs were applied to these savings, to come up with a net
15 number.

16 So, we do it two different ways: one based on
17 just the market and then the total cost to the Midwest ISO.

18 MR. HARDY: Thank you.

19 CHAIRMAN BROWNELL: Okay. We have Susan Wefald.
20 Susan, I'm sorry, I didn't see you --

21 MS. WEFALD: Thank you, that's all right. Back
22 in 2004, the Ernest Orlando Lawrence Berkeley National
23 Laboratory did a study on their environmental energy
24 technologies division and they did it on the potential
25 impacts of a competitive wholesale market in the Midwest.

1 And all of us looked at that study at that time and we're
2 interested to see where our utilities would come out in that
3 as far as economic dispatch when the market was implemented.

4 And at that time, they showed several figures and
5 maps and one of them showed that, for example, that there
6 were going to be winners and losers. You know, some
7 companies' plants would be dispatched more and some would be
8 dispatched less. For example, it said the uplift change in
9 control area generation ranges from roughly 1,000 Megawatt
10 increase in the Detroit Edison Company area to a more than
11 1,000 Megawatt decrease in the First Energy area. And those
12 were the two biggest changes in the Midwest ISO region.

13 Do we have any more accurate data since the
14 market started and is that the study that you're talking
15 about that you want to have done in that next six months
16 that will actually show us what changes have occurred? And
17 will we still be able to get, will we as Commissioners be
18 able to get that data on a company by company basis or is
19 that considered privileged once the market went into effect?

20 MR. TORGERSON: The data, we have the data on how
21 we dispatched every unit since we started. So, we know how
22 each one was done. The study I was talking about was taking
23 what we did over the six-month period, compare to what it
24 would have been like with the companies dispatching
25 themselves which was prior to the market startup, doing that

1 comparison to see are we actually adding value. And that's
2 really what we're looking at.

3 To answer your other question on, you know, can
4 you get access to that data, I'm certain you can. We have
5 to look at, to make certain there isn't confidential
6 information and then we have obviously a process to go
7 through if it is. But the information, the studies, we're
8 more than happy to make available.

9 MS. WEFALD: Because it looks to me as if, from
10 this analysis that was done earlier, that there should be
11 some companies in our region who are feeling good about
12 economic dispatch because they're running their plants more.
13 And there are some companies who are feeling bad about
14 economic dispatch because they're running their plants less.
15 And so, it has to affect their bottom line as to how
16 efficient their own company is as far as making profits.

17 And I'm sure that that's part of the reason that
18 there's some, why they wanted the whole discussion about
19 economic dispatch because those decisions are no longer
20 being made by themselves, they're being made by an outside
21 entity. And so, they're concerned about the effect this has
22 on their bottom line. So, it would help me as a regulator
23 to know what effect this is having on the companies I
24 regulate and how it's affecting my customers, you know,
25 versus the big numbers that we get from you about this is

1 the economic impact for our whole region are interesting,
2 but on a control area by control area basis, they're
3 probably different.

4 And that's what I need to see is in my own
5 control areas, how is it impacting my customers in price.

6 MR. TORGERSON: Certainly, and I think the
7 overall benefits, you'll still see benefits because keep in
8 mind, take any particular utility, if they were running
9 their plants before, they're generating unit and they're not
10 today, it's because they found cheaper energy to move into
11 that area. So, it's an economic decision that says the
12 customer should be better off because they're not running
13 that plant, because we found energy that could be dispatched
14 to that load at a lower cost to them.

15 And then, you have to, and I don't know what all
16 the particular states are but many times the cost of
17 energies goes to a fuel charge. And did the fuel charge go
18 down as a result or should it because the dispatch was more
19 efficient, people were buying outside and not necessarily
20 running their own plants. And that's one of the things we
21 found, that, you know, the plants, we're running many more
22 coal plants today than that ran in the past at higher levels
23 because they weren't being able to be dispatched in their
24 own control area necessarily.

25 So, when you run those coal plants, yes, you may

1 be exporting the power within the Midwest ISO from one area
2 to another, but then that other area is benefitting because
3 they're getting lower cost power and the other one should be
4 getting a benefit because now they're selling elsewhere and
5 those revenues should be coming back into that utility in
6 that state. And then it's up to the Commission how they
7 deal with those off system sales or those sales.

8 MS. WEFALD: May I ask one more question?

9 CHAIRMAN BROWNELL: Sure.

10 MS. WEFALD: When I look at our fuel cost
11 adjustments though, because I announce those each month to
12 the public, I see one company where their fuel costs have
13 stayed relatively consistent from before to the present.
14 But I see two companies whose fuel cost adjustments have
15 gone up considerably substantially since, in this last
16 summer. And so, you know, that concerns me. When I hear
17 you say, well, you should see those cost efficiencies
18 reflected through your fuel cost adjustments, on two
19 companies, I'm not seeing them.

20 MR. TORGERSON: Well, the other thing to keep in
21 mind is what's happened to the fuel costs themselves. If
22 they're using gas, gas prices are up dramatically as I think
23 most everybody knows. And coal prices are up, too. So,
24 you've got to look at all that, and I was trying to equate
25 it to if you adjusted the fuel cost input, the fuel itself,

1 gas or coal, keep that equal, then look at the dispatch and
2 the efficiency that we gained from that, that you should see
3 something, you should see some savings.

4 Now, whether it's, well, it should be, if we're
5 doing the economic dispatching on overall savings, you
6 should see it.

7 MS. WEFALD: Thank you.

8 MR. TORGERSON: And we'll be happy to get you
9 data on whatever you need.

10 MS. WEFALD: All right. Thank you.

11 CHAIRMAN BROWNELL: Chairman Schisler, Chairman
12 Nicholai, David Sapper. Jimmy, you've been up and down,
13 maybe you're --

14 VICE CHAIR SCHISLER: Mr. Harris, I'm going to
15 ask you this question because you mentioned it in your oral
16 comments here today. But I would encourage other commenters
17 to this joint board to mention it perhaps in their written
18 comments and it is about the effects of bid based security
19 constrained economic dispatch within an RTO in the long-term
20 fuel diversity of generating units in the RTO.

21 To give my question some context, recognizing
22 that the right amount and types of fuel diversity are going
23 to differ from region to region based on the natural
24 resources and fuel availability, but that some degree of
25 fuel diversity serves as a physical hedge against price

1 spikes and serves as part of a component of our national
2 energy security, we probably all could agree and I believe
3 you inferred it in your comment that there is a social good
4 element in fuel diversity.

5 As it relates to security constrained economic
6 dispatch, when you throw in a number of variables that are
7 inherent, spot and futures prices, the geographic location
8 both domestically and internationally of energy sources, the
9 lumpiness of investment decisions in new generating stations
10 and a new one for me discussed, Mr. Naumann discussed the
11 variability of heat rate across the operating range of the
12 unit, does bid based security constrained economic dispatch
13 serve the fuel diversity needs? Or how can be
14 sure that it serves those needs or at least that it doesn't
15 bias investment decisions toward certain fuel types?

16 The second part of that question and I can repeat
17 the crux of the question, if security constrained economic
18 dispatch is neutral as to fuel diversity but yet we see a
19 social value in having some level of fuel diversity, is
20 there a need for some exogenous regulatory action to ensure
21 that we maintain fuel diversity over the long term?

22 MR. HARRIS: Let me answer it twofold. First of
23 all, as an operator of a market, we're agnostic as to fuel
24 type. The market is the market, a generator is a generator,
25 electricity is electricity. And we should be neutral

1 whether it's a neutral plant or a home generator ultimately.
2 Electricity is electricity and that's how the market would
3 work.

4 What you're seeing in practice is quite telling.
5 As I mentioned, the actual supply of energy this year, we
6 had 56 percent of energy so far supplied by coal, 32 percent
7 nuclear, but the others are quite telling. Only 7 percent
8 was gas. Another 7 percent was made up of 3 percent wind, 1
9 percent from bowel mass and other and 3 percent hydro. And
10 so, you're seeing a greater significant component coming
11 from the green side, if you will, and the capabilities and
12 the demand side that also factors into that.

13 So, what you're seeing happening through the very
14 hot summer is that you're getting the diversity because
15 everyone sees a price and they can play and participate in
16 that particular market place. I think that number is quite
17 telling.

18 On the side of the question as to what do you
19 have in the long run, that's why we have planning. And as
20 you know, the State of Maryland was the lead with PJM in
21 1994, requiring us to have a long-term planning protocol.
22 And it's under the long-term planning protocol that we take
23 into account the fuel diversity, the base load capability,
24 et cetera, over the long haul, transmission as the
25 alternative, et cetera. So, it's under the planning process

1 where that becomes a question for reliability of the power
2 grid.

3 And the actual dispatch, you have to be agnostic
4 as to fuel type. It's what people bid for the price and
5 that's how you select the stack or who runs.

6 VICE CHAIR SCHISLER: Thank you.

7 MR. NICHOLAI: Thanks. And Jim, this is for you.
8 And this is just to help my comfort level on this issue I
9 brought up earlier. In an integrated company, FERC has
10 rather elaborate rules about keeping the generation side
11 away from the transmission side because of concerns about
12 the kind of influence of decisions. Now you're in a
13 position where you have a fiduciary duty to the transmission
14 owners by the transmission owner's agreement under which you
15 operate, but at the same time, now you're also operating the
16 generation units.

17 Why shouldn't we be worried that there needs to
18 be reform to whom your fiduciary obligation is to make sure
19 that we really are going to get the most efficient economic
20 dispatch of generation?

21 MR. TORGERSON: That's a good question. I think
22 what happens by definition, and I can point to the examples
23 on TLRs where we will maximize the use of the transmission
24 system in order to dispatch most efficiently. And the part
25 on the transmission owner's agreement that says we have to

1 maximize transmission owner revenue, utilizing -- and I
2 think the rest of it says something to the effect utilizing
3 the transmission system as currently configured, so I mean,
4 we have to look at the configuration of the system and then
5 maximize that use which is what we would do because you want
6 to eliminate constraints. You want to redispatch around
7 those constraints. And when we looked at what happened in
8 Wisconsin, we had inefficiencies related to TLR the
9 utilization of the system to the extent of about 11 to 12
10 percent when you use the TLR.

11 So, I don't find them inconsistent but it's
12 probably good to look at and think about it. Are we doing
13 something that could put a conflict to those two
14 requirements? I mean, we're going to do it as an economic
15 dispatch. I don't think we are. I think we are probably
16 doing it right and we're maximizing both. But it's probably
17 worth thinking about.

18 CHAIRMAN BROWNELL: David? Oh, I'm sorry, Alan.

19 MR. SCHRIBER: That's all right. Go ahead.

20 CHAIRMAN BROWNELL: No, no. Chairmen go first,
21 sorry. It's not a perfect world.

22 MR. SCHRIBER: I'm also cursed with the title of
23 economist. If big is better, I'm just curious to how the
24 pursuit of the joint and common market it between the two.

25 MR. HARRIS: I think the most telling thing is

1 you got price convergence and that's what you wanted to
2 eliminate. You're eliminating the pancake rates and you're
3 seeing price convergence at the border between PJM and MISO.
4 And I think that tells you the concept is working, it's
5 coming to fruition and achievements are there.

6 The other thing that's working out is that we
7 have identified there is a filing recently made at FERC that
8 identified the things we can do to make more efficient
9 operations between us. Some things aren't worth pursuing
10 because they're not economic, not good enough business case
11 form. Some things are. But for the most part, the most
12 telling thing is the price convergence you're seeing at the
13 border and that tells you you've got a very large, very
14 efficient market place working.

15 MR. TORGERSON: I think, you know, when I look at
16 it, I think things are working rather well between the two
17 of us. The joint and common market, there are a lot of
18 activities that we can add to, I mean, getting on the same
19 time frame for FTRs which we will be doing. You know, we
20 run a market that allows people more flexibility. Sometimes
21 I think that's good, sometimes I think it may not be. But
22 you know, there are some differences that we're looking at
23 jointly, you know, what direction should we be heading to
24 make certain that the markets, the two markets are as close
25 together as they can be.

1 Then the other question goes, well, if they're,
2 you know, that close, why don't you just merge the two? Why
3 don't we just combine PJM and Midwest ISO and do one big
4 dispatch? Well, we looked at that and our people did an
5 analysis of it and the costs were so large and I'm not sure
6 the technology could do it yet. It's getting closer but the
7 costs would have exceeded the benefits on doing that and
8 that's what we put in the report to FERC when we looked at
9 one dispatch over the entire PJM/MISO region.

10 But all the other things, to allow price
11 convergence, to make sure data is being shared, those are
12 all being pursued rather aggressively right now. And I
13 think we have extremely good information flow between the
14 two entities. And we know what's going on in PJM and just
15 like they know what's going on in the Midwest ISO. And if
16 something pops up that we don't know about, they get on the
17 phone and they talk to each other constantly. We have some
18 people that are just identified on our desk that that is
19 their job, to make certain they're communicating with PJM.

20 MR. SCHRIBER: When you said the cost, you mean
21 the cost of joint dispatch would exceed the benefits?

22 MR. TORGERSON: The incremental cost of putting
23 in a single dispatch is actually taking, eliminating what we
24 have and then putting in a single dispatch over the entire
25 PJM/Midwest ISO region. The costs at least were identified

1 as being more than the benefits we'd derive from that
2 because we have an economic dispatch for the two and we can
3 communicate that now.

4 MR. HARRIS: Yes, the problem isn't stacking up
5 the generating units, you can do that for the whole Eastern
6 Interconnection. The problem is analyzing all the security
7 constraints.

8 MR. TORGERSON: The contingencies --

9 MR. HARRIS: And the contingencies around that.
10 But between the two of us, we're looking at probably close
11 to 150,000 contingencies that you're analyzing every ten
12 seconds. And so you do that for your entire transmission
13 system, it becomes a pretty massive data problem.

14 CHAIRMAN BROWNELL: How then are you doing a
15 state estimator for the entire Eastern Interconnect? I'm
16 sorry.

17 MR. HARRIS: We used a hierarchical state
18 estimator. It hasn't been done yet but we've got a
19 hierarchical practice into it. So you can take what the
20 distance, what has the most meaningful to it and you build
21 it down into what would impact PJM.

22 CHAIRMAN BROWNELL: Okay. We're going to have a
23 couple more questions, Chairman Jergeson, and then as my
24 chairman said, if you've got really, really, really
25 insightful questions that are short and get short answers,

1 we're going to you, Dave, and to people over here. Okay.

2 MR. JERGESON: My question is for Mr. Harris.
3 And it's prompted by just one of the very recent comments
4 that you made that you're seeing price convergence at the
5 border. Price convergence anywhere, if we did take into
6 account all of the studies and about all of the
7 efficiencies, we would assume lots of people are paying less
8 and there wasn't any discussion in all of those studies
9 about somebody paying more. But by definition, price
10 convergence means somebody is paying more, and for those
11 people who are fortunate enough to be served with low cost
12 power somehow is part of what's going on here is that they
13 are going to lose that economic advantage in the scenario
14 that's developing with this whole program.

15 MR. HARRIS: No, what we've seen empirically is
16 that they actually are going to be saving more than they
17 would be absent in part of the market place. So, while it's
18 low now, it will be lower because they're part of the market
19 place. The same system, the same thing we saw with
20 Allegheny. Now, dispatching over, you're able to get more
21 economic advantage to optimize units and actually reduce the
22 costs further than where you're already even though it is
23 low compared to the relative region.

24 The price convergence is that when you run a
25 separate market in MISO and then you run a separate market

1 in PJM, to the degree that those markets are getting to be
2 common and shared, then the price differential between what
3 the price is in PJM and the price is in MISO should come
4 together and start converging. And we're seeing very small
5 differences between the spot price of MISO and the spot
6 price of PJM.

7 MR. JERGESON: In Eastern Montana
8 and parts of North Dakota, our customers are served by a
9 utility that the price of power is \$20 a Megawatt compared
10 to higher costs elsewhere in the MISO region. What can we
11 do to assure our constituents and customers that somehow the
12 price they pay isn't going to converge to that higher level
13 that's apparent throughout the region?

14 MR. HARRIS: Well, I don't want to speak for Jim
15 but you can demonstrate quite readily as if they operated by
16 themselves what that price is and then what if they operated
17 again being part of a large system what the delta is in the
18 price. So, that can be demonstrated. It's a calculation
19 that can be made.

20 MR. TORGERSON: They're not necessarily paying
21 the LMP price for every transaction that occurs. I mean,
22 the LMP price is usually just paid on the imbalance or on a
23 very small amount of the transactions that happen. And in
24 your state, I mean, you still have vertically integrated
25 utilities, and you have, as state commissioners, you can

1 determine, you know, what gets passed through to customers
2 from your costs and from your generation, from the
3 generation that they do. They're offering it into the
4 market and we're dispatching it at \$20. If they are
5 offering it at \$20, that's always something you've got to
6 make sure that, you know, look at what they're really
7 offering, and then their generators are going to run.
8 They're going to have the power there and some of it is
9 going to be exported.

10 So, you'll have all that data and information on
11 what is actually being done. And then, as regulators, you
12 know, you will look at all this information to determine
13 what is appropriate in your state.

14 CHAIRMAN BROWNELL: I think you both better go
15 see the chairman in Montana. Dave?

16 MR. SAPPER: I can't help but follow up on
17 Chairman Schriber's question about joint and common market
18 and the point about we're seeing price convergence. It
19 seems to me you could set up a simple textbook example where
20 there are two applecart salespersons and either they were
21 prohibited somehow from selling and each was on one side of
22 the street. If they were prohibited in some way or to some
23 extent from crossing the street or customers were prohibited
24 in some way from crossing the street, I think you could
25 still see a price convergence though apples are still the

1 same price at both side of the street. But that doesn't
2 necessarily say that that price reflects a marginal cost of
3 selling those apples.

4 So, to me, price convergence isn't enough and
5 it's bringing that absolute price level down through
6 competition that really matters. So, I was wondering to
7 what extent there is competition across the seams. And
8 maybe a specific question, Jim, you mentioned higher imports
9 in Wisconsin, if you know, were those coming from
10 generators, was that electricity coming from generators in
11 PJM or just through PJM or was it coming from the West?

12 I guess that's two questions. But the most
13 important is how much dispatch across the seams do you think
14 is being driven by competitive forces versus reliability
15 needs?

16 MR. TORGERSON: Well, I think at the seams you're
17 going to have competitive forces because we see our net
18 schedule interchange fluctuate based on what the prices are
19 in either PJM or in the Midwest ISO. I mean, there are
20 people who may be selling power on an hourly basis and they
21 will look and see where the prices are. I look at what, you
22 know, the hub prices are. And when I look at the hubs at
23 ComEd, Northern Illinois and AEP, Dayton Power Light
24 compared to, let's say our Synergy hub or our Illinois hubs,
25 the prices early on, there is a bigger spread. And today,

1 it's down to pennies, I mean, cents. It's not, you're not
2 seeing the spread that we were before.

3 Where the flows are going in like into Wisconsin,
4 I'd be guessing at it right now because I haven't analyzed
5 it. But my guess would be, and that's all it is, is that
6 you're seeing more flow coming in from Manitoba. You're
7 probably seeing flows come in from the Western map region,
8 and then maybe even from ComEd. So, I would guess it's not
9 isolated to just one area.

10 CHAIRMAN BROWNELL: I think, because I have a
11 question from the audience, I think we're going to ask you
12 to come back for a rerun after lunch, because I want to keep
13 us on schedule to the extent that we can. So, gentlemen, if
14 you wouldn't mind waiting, we'll make sure that you're first
15 up.

16 A couple of housekeeping drills. Once again, the
17 cheap \$9 fast lunch is out the door and to your right. The
18 commissioners, we'd like to do a team photo with the
19 commissioners and I don't know where we want to do that team
20 photo. Against the wall, okay. And we will, it is now
21 12:15, we will start at 1:15.

22 (Lunch break from 12:15 p.m. to 1:12 p.m.)

23 MS. SCHISLER: I have a question for PJM and MISO
24 so, in terms of their presentations we've seen a lot of
25 presentations on historical benefits and since this region

1 really involves primarily two large dispatch areas, my
2 question is where does PJM and MISO see the greatest
3 possible benefits for improvements to the market systems
4 that they operate today?

5 I did not see any, well, PJM had a short
6 paragraph that addressed that but in generalities that I
7 think with this group and this board needs are some very
8 specifics that, that we can address in terms of how to
9 improve what we've got today.

10 Thank you.

11 MR. TORGERSON: On our behalf, I think there's
12 two areas that we need to improve on. One is transmission
13 planning. We need long term transmission plans and we need
14 to put the procedures in. We put the marketing efficiencies
15 as part of that equation and we're working on that but I
16 think that's an area we need to improve.

17 And the other is continue working on the ability
18 for demand side to participate in the dispatch equation.
19 There's some wonderful technologies on demand side. The
20 opportunities are huge. The capabilities are there with the
21 technology and, and the sooner we can get demand side to
22 fully participate in the economics of the dispatch, the
23 better we're going to be and it will really balance out the
24 supply side devices.

25 So I think pursuing long run transmission

1 planning and working harder with the demand side program so
2 they can participate in the economics are two big
3 improvement areas.

4 MS. HARRIS: For us, there's several things we're
5 doing. One we characterize as, overall as operational
6 excellence to make certain that we're going everything as
7 best we can which would include the dispatch and fine-tuning
8 all those things from when we started up.

9 So, we're not in the same position that PJM is,
10 having been running things for a long period of time. So we
11 have some more fine-tuning and just operational expertise
12 that has to be improved upon.

13 Secondly, then we need to be looking at what kind
14 of capacity market mechanism reserves, you know, have to be
15 done. And we've had many discussions with the State
16 Commissioners in the Midwest about that and where we go
17 from, next in that regard.

18 And then thirdly and I have to say, you know, we
19 need to be looking at what do customers want out of the
20 market and out of, what products, services do they really
21 thing they need or want that an RTO could be providing in
22 the future and I don't have any specific ideas about that
23 today.

24 But those are things, working with the customers,
25 what are they going to need for the future and how can we

1 work with them on providing that?

2 And we may not be the right entity to provide it,
3 but at least we can provide the form for it.

4 MS. BROWNELL: Thank you. Yes?

5 MR. HARVEY: John Harvey from the Iowa Utilities
6 Board. And a little bit different direction but I think
7 it's also something that has been addressed as kind of a
8 throw in and not that it isn't important but not that we
9 haven't talked a lot about it and that's the issue of
10 reliability.

11 And I'm particularly interested if, if either
12 Phil or Jim have an opinion on what the running of a market
13 does to improve reliability if, if you could, let's say that
14 PJM rates itself as getting a grade of A on reliability,
15 disaggregate the system or disaggregate PJM, disaggregate
16 from a market perspective only, continue to run a day one
17 type reliability operation but disaggregate the market
18 effect and tell me then what you think the grade would be
19 just doing the reliability operation.

20 And then if you want to, give me the grade for if
21 I didn't even do the reliability.

22 MR. HARRIS: Well, I'll speak to that first. I
23 will tell you, because I ran PJM for five years as a tight
24 power pool before we had markets. And we are more reliable
25 with markets than we were without markets.

1 And I can give you one anecdote this morning that
2 showed that and I can tell you over and over again we're
3 more reliable, the regulation market is better with markets
4 than we were without markets.

5 Voltage collapse is the single biggest threat to
6 the Eastern Inter-connection. We have better knowledge,
7 understanding on working with reactors than we ever did as a
8 tight power pool. So just empirically in experience I can
9 tell you we're better and more reliable with markets than we
10 were without markets.

11 As far as part two of your question, it is a
12 really interesting question and I'll dance on it just a
13 little bit. But the United States is the only country in
14 the world now that's combined the markets with a grid
15 operator.

16 And if you look at Europe, you look at Nordpool,
17 you look at New Zealand, Australia, you actually are running
18 the markets separate up to the day ahead market. And then
19 the market operators, actually the independent transmission
20 company that's operating the real time hourly market and
21 it's working quite well.

22 So I would say if you look at this as mission to
23 study that we're in a transition that's going to take a
24 generation, we're probably only ten years into it, I don't
25 think the current structure is necessary to the status quo.

1 You know, we may evolve and change and develop to have
2 better structures.

3 When you start looking at the markets you start
4 looking how to develop the derivatives and the risk
5 instruments on markets, that really is not an RTO expertise.
6 That's people that trade and sell in markets expertise. You
7 look at the clearing functions that need to take place that
8 aren't taking place today.

9 So I, I don't know where that's ultimately going
10 to settle. But it probably won't be exactly like we're
11 shaped today. But I think you'll always have a reliable
12 grid because either the RTO will do it or an independent
13 transmission company that can operate can operate the --
14 market and do something separate with the day ahead in the
15 futures markets.

16 MR. TORGERSON: I think when I looked NERC did a
17 little analysis and they had ranked the Midwest ISO and I
18 think it was six categories that we were best in class in
19 everyone from, with reliability.

20 But I will tell you that having even said that
21 that I know having, now that we're running the security
22 constraint economic dispatch, we're better and it's more
23 reliable than it was before.

24 So if you put that at an A, I would probably have
25 to say, you know, we're better so we probably couldn't have

1 been better than a B before.

2 MS. BROWNELL: Yes?

3 MR. GOSS: Phil, in your written comments that
4 dated, well dated today, you say "Regional grid operators
5 must constantly examine the market structure to identify and
6 remove barriers to optimal skid usage. For example, those
7 barriers could involve retail, wholesale, institutional or
8 regulatory barriers, etcetera."

9 And I'd like for Jim to weigh in too. You have a
10 room full here of State regulators and Federal regulators,
11 what regulatory barriers do you think need to be addressed?

12 I would really be interested to hear specifics.

13 MR. HARRIS: I think the first one we have to
14 look at is how do you get rate relief for transmission
15 expansion. You know, certain states have passed model
16 legislation that allows the rates to be passed through
17 currently to retail customers.

18 And for PJM, we can spend \$4 billion in
19 transmission construction and if it's passed through
20 currently to the retail customers, you're talking one mil
21 per kilowatt hour. And some states are passing legislation
22 enforcing that.

23 So I think for transmission it's approved and an
24 RTO rubic have no way to pass through those rates currently
25 is essential for rate relief.

1 I think the second question you need to address
2 is cost allocation. It is an integrated machine. It's a
3 huge network. And just because you build a transmission
4 line from West Virginia to New Jersey virtually everyone
5 benefits and no one can solve the cost allocation problem.

6 I mean we can calculate it but what percent
7 should Kentucky pick up or Wisconsin because the line's
8 going from West Virginia to New Jersey. And I think that
9 should be taken on head on, cost allocation is the issue.

10 And I think the third one is how do we get, we
11 truly get in demand side functionals and I really think that
12 the in-state will be demand that can participate in the
13 economics or real time dispatch.

14 But each state has different rules in retail,
15 different rules how demand would work, net metering rules.
16 You know, how to really concentrate in that area so that we
17 can really get the consumer participating in the economic
18 value of the dispatch equation.

19 And it almost has to be state by state but to the
20 degree we get commonality in moving that forward and get a
21 healthy, robust demand programs moving, we'll be much better
22 served quicker and it solves a host of other issues when you
23 get that into play.

24 MR. TORGERSON: I wouldn't characterize in so
25 much as regulatory barriers but as areas where we need to be

1 working with the State's and the Federal regulators on the
2 capacity mechanisms, whatever we end up doing and coming to
3 some consensus on what we want in place for determining what
4 capacity and what reserves are needed in the Midwest.

5 Secondly then would be also on our, the cost and
6 benefits of transmission expansion, same thing Phil
7 mentioned. How are we going to agree on that within the
8 OMS, with, you know, that can be actually put into place so
9 we do have some effective cost sharing across the region.

10 And do we, you know, break it down into sub-
11 regions or across the entire Midwest, so however we end up
12 doing that, those are probably the two biggest areas that we
13 need to work on.

14 And I wouldn't consider them regulatory barriers
15 because we have had very fruitful discussions, we just
16 haven't resolved it yet. So we've got a ways to go.

17 MS. BROWNELL: I have a question from the
18 audience for you, Jim, and it's related I think to your
19 comment that reliability and economic dispatch are basically
20 inextricably intertwined.

21 The question is that the number of frequency
22 excursions since MISO started the market seem to be
23 significant, is that the impact of having 28 balancing
24 authorities as opposed to I think one in PJM and if so, what
25 can we do about that?

1 That certainly has been a topic of discussion
2 since well before the market opened.

3 MR. TORGERSON: Well I think they're two
4 different things but the frequency excursions, I know it was
5 something that NERC had looked at, did a lot of analysis and
6 study on and determined that there really wasn't any big
7 impact simply from the Midwest ISO starting up that really
8 had nothing to do with it.

9 And there were a couple of frequency excursions
10 that were observed. But, then we have the bigger issue of
11 running 27 control areas and how do we manage within that,
12 which we're doing.

13 But I think we see it could be done much more
14 effectively and efficiently with fewer. And we have an
15 obligation to provide a report to the Commission a year from
16 the time we started the market which we already have a team
17 who's digging into that right now.

18 And we will be making recommendations,
19 suggestions, based on our experience and observation of
20 having to run those 27 different control areas which does
21 create some issues, particularly related to, you look at the
22 NERC standards for which the control areas have to operate
23 too and running inside of a centralized dispatch, it may not
24 make sense to have those same requirements on a particular
25 control area today when they're not doing the dispatch

1 anymore.

2 So there are a number of things I think we need
3 to tackle and I think it would make things more efficient
4 and probably would help on the reliability side too by
5 looking at fewer control areas.

6 MS. BROWNELL: And candidly as people talk a lot
7 about costs, when you look at what happened just at ERCOP,
8 when they had that consolidation, the savings that emerged
9 from them, I would think this is something that State
10 Commissions really probably want to look at in addition to
11 the reliability impact.

12 MR. TORGERSON: Right.

13 MS. BROWNELL: I couldn't resist. I know it's
14 about, not about economic dispatch and the team behind me is
15 going to give me the club in a minute.

16 David?

17 MR. HADLEY: Thank you, Madam Chair, this is
18 David Hadley from the Indiana Commission. Partially for
19 the, the two presenters but more specifically a question for
20 all of us to consider with the board.

21 And we've heard a lot of numbers and a lot of
22 studies indicating benefits. And yet with the Department of
23 Energy's analysis, they were saying that the very narrow
24 window of benefits that were defined in Section 1234 of the
25 Energy Policy Act, after reviewing 25 different studies,

1 failed to reach what they thought the Act was asking for
2 specifically.

3 And so perhaps if, I think the words was the
4 studies asked questions that are different from those
5 itemized in the Act and they need to be more analytical
6 models developed so that they can more appropriately answer
7 the question, and that's what I asked David Meyer about
8 earlier, that they intend to address in a year from now.

9 Perhaps, as much as anything, narrowing the
10 questions from all of the State regulators to a lot of
11 others who are saying credibility or not credibility in some
12 of these studies, believability or not, if you could just
13 help focus some key questions with the Department of Energy,
14 with the RTO's and with the members of this Board, what
15 needs to be asked and what needs to be answered
16 independently so that the benefits, as asked by Congress,
17 can be clearly articulated.

18 And I, I just found it interesting to see so many
19 studies and yet reducing to a real specific answer, we need
20 more studies. So maybe identifying what that should be
21 would be very helpful.

22 MS. BROWNELL: Thank you. A comment from, okay.
23 With that, gentlemen, you are excused. Thank you for doing
24 such a wonderful job. Again, if there are more questions
25 for these presenters, I hope that you will feel free to ask

1 them.

2 MR. HARRIS: Okay. Thank you.

3 MS. BROWNELL: Next. Perhaps next -- Board
4 should be about cost allocation. One of my favorite topics.

5 Okay. Right now we're going to hear from the
6 stakeholders, who were also asked some very specific
7 questions about economic dispatch. And even though I
8 deviated, no one else can, so let's remember the topic at
9 hand.

10 And have, are we starting from this side? Okay.
11 Doug, you're up.

12 MR. COLLINS: Okay. Thank you. First of all I
13 would like to thank you for allowing me to speak on behalf
14 of the Midwest ISO Vertically Integrated Transmission
15 Owners.

16 Getting the economic dispatch correct is very
17 important to us and to our customers. I'm going to dispense
18 with a lot of my prepared remarks because we brought out a
19 lot of the issues this morning. So if my presentation seems
20 a little disconnected, more than usual, it's because I'm
21 trying to pick up some points from this morning and
22 elaborate on them.

23 This morning we heard Jim talk about the start up
24 of day two market and how the Midwest ISO was conservative
25 and that resulted in generating units being run at lower

1 levels and additional peakers being brought on. He said
2 that that is, has been at least somewhat corrected.

3 In my opinion, it's still the case although
4 probably at a lesser level. The way the system is operated
5 today appears to be more conservative, more so than what's
6 needed for what I believe is a reasonable level of
7 reliability.

8 There was a question asked whether benefits had
9 been, had been realized in the MISO footprint and certainly
10 a true economic dispatch implemented MISO footprint-wide
11 holds great promise.

12 I would say we're a ways away from that but there
13 have been benefits realized. The question is not what
14 benefits have been realized but what is the potential and
15 how do we get there.

16 I got to qualify my remarks somewhat because I,
17 as I try to quantify what benefits there might be, what
18 struck me was we really don't have a good baseline to
19 compare after market to pre-market.

20 Jim talked about it this morning. We started the
21 market and immediately had the, one of the hottest summers
22 we've had in quite some time. Gas prices went through the
23 ceiling and then coal prices, because of the derailment also
24 increased. So to compare what the cost is today compared to
25 what it was before is a very difficult thing to do.

1 We have learned some lessons. We've learned that
2 generating units have very unique characteristics. And
3 those characteristics are difficult to incorporate into the
4 structured offered format. Jim talked about their running
5 economic dispatch but it was based upon bid prices.

6 Because of the unique characteristics, because of
7 the newness of the market, it seems like every time the
8 transmission owners or the load serving entities within MISO
9 talk about the apparent uneconomic dispatch. The answer we
10 get is our algorithm gives you an economic dispatch, it's
11 your bidding which is causing the problem.

12 I guess the statement I would like to make is it
13 is a market problem. It is not a load serving entity
14 problem. It is not a MISO Staff issue. It is something we
15 have to work together in order to solve.

16 MISO must take the lead so that we can get that
17 solved and reduce the problem and the increased costs that
18 we're seeing over what we could realize.

19 We knew that there were going to be transitional
20 pains. Part of that is caused by, you know, MISO rules to
21 dispatch are not necessarily clear and not necessarily
22 interpreted the same way by our, all parties. We need to
23 make sure that those rules are clearly understood by
24 everyone.

25 Appropriate training is definitely another lesson

1 learned. You know, if we were going to do it over, I think
2 we'd probably do much more training, make sure that
3 everybody understood the rules on how to bid before we went
4 into the market.

5 Possible improvements, we heard a lot this
6 morning about economic versus efficient dispatch. As was
7 said, I don't see that there's a whole lot of difference
8 between the two. But I think the one thing that I would
9 state is that where's, we may be doing an economic dispatch,
10 you've got to look at it and say it's an economic dispatch
11 over what time frame, based on what market rules.

12 Minor changes in market rules could have large
13 impacts on what that dispatch looks like. For instance,
14 there's a volatility in LMP pricing each five minutes and
15 that causes excessive swings in generation, base points
16 between economic min and economic max.

17 If you could smooth that out, then the asset
18 owners would be more comfortable in putting in different
19 RAMP rates which, in return, would make the economic
20 dispatch look different.

21 There's questions about how MISO treats jointly
22 owned units. And as you get at least in the western part of
23 MISO, those units are jointly owned by not only market
24 participants but also by people outside the market. We need
25 to clarify what those rules are. There is a solution that's

1 been proposed and hopefully we can move towards that.

2 There was a question around how does economic
3 dispatch affect markets, spot, day ahead and bilaterals.
4 You know, in my opinion the market or the economic dispatch
5 operated by MISO is, is the day ahead and the spot market.

6 In talking to, you know, the people that run our,
7 our merchant, what they have told me is that the bilateral
8 has shrunk considerably. They're still doing some longer
9 term transactions, but the people willing to be the other
10 side of that partnership is shrinking quickly.

11 And then finally, how do non-participants affect
12 economic dispatch? MISO has to be able to handle thousand
13 megawatt swings every 15 minutes. I think this is part of
14 the cause of what's, why they had so many peaking units
15 running.

16 If you look at the RAMP rates of units and having
17 to handle those, that magnitude of swing and it's, and it's
18 driven primarily by people just outside the market looking
19 at the different, differential and going from one market to
20 the other depending on where the price is better each 15
21 minutes.

22 A potential solution, if you get an agreement
23 with the non-participant parties, is a economic dispatch
24 scheme which has been implemented between Manitoba Hydro
25 coordinating member and MISO.

1 They worked out a real time dynamic dispatch
2 scheme to facilitate non-market entity dispatch for market
3 concerns. What this does is it allows MISO the flexibility
4 of dispatch some non-participant generation in a somewhat
5 comparable fashion to what they do with the market
6 generation.

7 And with that, that concludes my, my remarks.

8 MS. BROWNELL: Thank you. Bret? We're going to
9 save our question until afterwards, is that okay with
10 everybody?

11 MR. KRUSE: I'd like to echo Mr. Collins remarks
12 as far as my gratefulness and the gratefulness of my
13 company, Calpine and the other independent power producers
14 and PJM and MISO to have the opportunity to talk with you
15 guys this afternoon.

16 My view on economic dispatch is slightly
17 different than the view that Mr. Torgerson and Mr. Harris
18 purported earlier in as much as I think my company's
19 position on economic dispatch in non-RTO, non-ISO areas is
20 fairly clear on the record.

21 With that said, let me explain why we appreciate
22 and like the set up that both MISO and PJM have.

23 There's two key components that both of them
24 share. This independent and they're transparent. Those are
25 the two key things from an independent participant that we

1 expect in a market that helps make it work right, it helps
2 us have confidence that the market's done the most
3 economical way with no favorability to any of the other
4 participants

5 . Those are key in what makes the economic dispatch
6 decisions work right.

7 We also believe that the LMP pricing strategy
8 allows for the most optimal use of transmission. The old
9 TLR process certainly did not. And I think that shows, if
10 you look at the non-coordinated areas, consistently that
11 still rely on the old TLR process, it's just not the most
12 economic, efficient way to manage congestion.

13 The second part of the discussion we were asked
14 to talk about is improvements. There's been a lot of
15 discussion or at least some discussion this morning about
16 multiple control areas, ancillary services and a little bit
17 more telling about grid and flexibility.

18 Now this is an important distinction between PJM
19 and MISO. The PJM gen stack, if you will, is slightly
20 different, it is a little more situated as to where they
21 have more flexible plants to move around. MISO doesn't
22 quite have that opportunity. Part of this is driven by the
23 fact it's a lot more heavily on the solid fuel type plants.

24 The other piece of this is they've got a lot less
25 of what I'll call a dispatchable range on a given day. It

1 makes it hard to handle those megawatt swings that Mr.
2 Collins was referring to.

3 What this creates and how this affects economic
4 dispatch means they have to run more out of merit units to
5 make up for the inflexible needs that they have to manage
6 the grid system. This is inherently uneconomic.

7 Why is it like this? Well part of this is due to
8 bidding behaviors that people have and how they bring their
9 units in. There was some discussion earlier, I believe
10 about how you try to associate the value from the high end
11 of the spectrum where many plants, particularly gas fire
12 plants, for example, are much more efficient generators to
13 the lower end where they're lesser efficient.

14 There's ways to do that and there's ways to price
15 that. Not all of that in MISO currently is being
16 appreciated by all of the member participants.

17 There's some data that I requested from MISO last
18 week that they provided me that will show you lots of times
19 on a given day, from the day ahead perspective to the real
20 time perspective, what they'll see is a collapse of anywhere
21 up to 50 percent of their dispatch full range.

22 And this affects them several ways. One thing,
23 they have to run their peakers. I think there's only 17
24 combined cycle plants in all my cell which is a lower number
25 than you'll see percentage-wise in the other RTO's. Not a

1 lot of what I'll call intermediate plants.

2 That means they have to fire peakers to give them
3 that extra flexibility. In fact, when there's some
4 discussion, I believe the Commissioner from Michigan brought
5 up about the running of the peakers, I think my analysts
6 that were looking at the market going in figured they
7 probably ran a little bit less than we thought they would.

8 So the fact that they were running more peakers
9 really didn't, didn't surprise us a whole lot. They, if
10 you're used to understanding how grid operations work, they
11 needed that additional flexibility.

12 So that's an important thing to understand and
13 it's important to understand how the bidding behaviors goes
14 into that. What you have to have is a wide enough range, a
15 physically wide enough range with each generation aspect
16 such that the MISO dispatcher can deploy those plants
17 through those ranges.

18 If you make say 100 megawatts of a 500 megawatt
19 plant available for RAMPing day ahead, then when it gets
20 struck, because that will help make it more, more
21 advantageous from a cost standpoint.

22 Then when you take it in an intra day and you
23 take five percent off the top end, because you're messing
24 with your reserves, and I'll talk a little bit more about
25 how a simple reserve market would fix that, and you pull 30

1 percent off the bottom, which in some of the cases is what
2 they did, what that does for you is two things.

3 One, it keeps you out of that lower end range,
4 where your plant managers don't want to operate in the first
5 place because even though they can legally do it by their
6 environmental permits and they can operationally do it, it's
7 less efficient and quite frankly, they don't like to run
8 there.

9 But what that does to MISO is it changes the day
10 ahead plan as they go into real time. If you've ever looked
11 at studies of how control rooms work, whether they're plant
12 control rooms or grid control rooms, if you have a better
13 day ahead plan and the operators that have to put that plan
14 into process believe in it and are comfortable with it,
15 they're going to work more effectively and more efficiently,
16 which by definition brings lower costs to your rate payers.

17 So it's important that the day ahead plans
18 mirrors as closely as possible to the real time plan such
19 that the real time plan, when they're implementing it is
20 merely a delta a things like lines tripping and generators
21 tripping off line and other mechanical and electrical issues
22 that you simply can't get around.

23 But they have to be confident in their day ahead
24 plan. That will help bring down costs. So there's, let me
25 talk just a little bit more about the bidding behavior.

1 It's important and I know MISO is trying to push
2 some rules through or they're really starting look through
3 them, up through their reliability sub-committee, they start
4 locking people in day ahead with only certain exceptions for
5 mechanical failures. It's very important that we do that.

6 I don't think, I'm not going to try to put myself
7 in the minds of these people that, that do collapse these
8 ranges. What I will say is there's a discernable affect on
9 reliability that also translates back into economics. That,
10 in my estimation and my staff's estimation is one of the key
11 drivers of what's driving up their uplift costs, the revenue
12 sufficiency guarantee or RSG's for those people that, that
13 follow MISO. So it's important that that point's made.

14 It's, it's interesting that, to hear Mr. Harris
15 and Mr. Torgerson talk about improvements. I would have to
16 agree, slightly, in as much as what Mr. Harris says about
17 demand side management is certainly the forefront of the
18 future for, for a lot of reasons.

19 And you can certainly pick up on the fact that
20 PJM's been doing this a lot longer than MISO has, so you
21 would expect to see a much more mature organization.

22 With MISO, I think Mr. Torgerson kind of
23 stretched a little bit about what we can do as far as
24 consolidating the balancing areas. There's a misnomer out
25 there that PJM really operates this single balance area.

1 That's, if you dig down to the technical aspects of it,
2 quite frankly that's not true.

3 If you compare it to traditional control areas,
4 they way they've been in the many decades leading up to now,
5 what they really do is have more of a shared area control
6 area, they're regulation figure or their ability to maintain
7 the grids stably and they have a centralized reserve market.

8 So these things bring out natural reliability
9 efficiencies and natural economic deficiencies such that
10 these, the inflexible plants, if you will, they don't have
11 to provide any kind of discernable to dynamic power services
12 anymore.

13 They don't have to have a cold plant, for
14 instance, providing regulation all the time. The plant can
15 run at a 100 percent like it's designed to do. The
16 intermediate plants can pick up most of that regulation
17 range. They RAMP faster anyway. Why not have a plant that
18 can give you 20 megawatts of range in five minutes instead
19 of one that can give you two or three.

20 It just, it makes better sense economically and
21 it makes good sense from a reliability standpoint. These,
22 these are key aspects that PJM provides that MISO has not
23 provided yet.

24 Now I can tell you, because I'm on this panel
25 that Mr. Torgerson talked about that's looking at ancillary

1 service markets, we're starting to get there. Part of
2 that's people getting past their paradigm of what is
3 probably not the best phrase of controlled air consolidation
4 and starting to really dig down to the aspects of what's
5 really going to change, from a balance in area to balance in
6 area perspective, what's really going to change.

7 And it's not that much. It's better for
8 reliability and it's better for economics. And it does
9 affect economic dispatch. Once you have everything being
10 run more centrally, whether you're talking reserves or
11 regulation because they go hand-in-hand, you're going to
12 drive your costs down and you're going to improve
13 reliability.

14 There's no secret that everyone of the other
15 formal markets and Calpine Merchant Services, my
16 subsidiaries of Calpine is involved in every market in North
17 America. It's no secret that they all went to this. It's
18 been successful for all of them.

19 Every study I've ever seen that talked about it
20 before or after has always shown it's more economical. So
21 this is a natural staff for MISO to take that will be better
22 in return with economic dispatch. You're optimizing not
23 only your energy and your location aspect of it where you're
24 trying to optimize the transmission system, but now you're
25 bringing these other dynamic factors in if you need to run

1 the grid and optimizing around that whole spectrum.

2 So you're going to give yourself a better
3 economic output. You're going to have a more true economic
4 dispatch.

5 How does this affect the markets as they are
6 today? I can tell you if you sat through a lot of ERCOT
7 meetings like I do, you'll see exactly what happens if you
8 don't have a good, solid day ahead market. ERCOT really
9 doesn't have that right now. They run into a lot of
10 problems because of that.

11 They're kind of in some ways MISO, they're, they
12 do, they've kind of got a single control area but they kind
13 of don't because they use a little thing called portfolio
14 dispatch that creates a whole lot of other problems. So
15 it's not necessarily the optimal design.

16 So if you want to see something that's good about
17 what currently exists today in MISO and PJM, that's the
18 relationship between day ahead market and real time LMP and
19 real time dispatch, that the two go hand in hand for optimal
20 design.

21 The last thing I'd like to bring up is non-
22 participants and what affect they have on the markets. I
23 think the, if you have non-participants inside of a
24 geographical area of the market, the thing that they don't
25 provide or the problems they cause are pretty apparent.

1 I will let go something that Mr. Collins just
2 said about opportunities and I think this is key. He
3 mentioned the Manitoba situation. There was a similar
4 situation that PJM had with Wiley Ridge that they cut a re-
5 dispatch agreement with MISO before MISO came into their day
6 two market.

7 That was good for both parties. It saved PJM a
8 lot of cost. I'll look at that and say that's a textbook
9 example of where the two RTO's could reach out to other
10 people whether they're in the MRO area, TBA, these other
11 type areas and say if we had some re-dispatch rights with
12 this generator than that would help alleviate strain in our
13 system. Let's find a way to make it work economically for
14 both of us.

15 I think that's a tremendous opportunity they
16 have, particularly for some of these areas that aren't going
17 to be in a formal market anytime soon.

18 That concludes my remarks.

19 MS. BROWNELL: Thank you. Fred?

20 MR. KUNKEL: Good afternoon. Fred Kunkel, Wabash
21 Valley Power. Thank you for the opportunity to allow us to,
22 allow me to voice my opinion on economic dispatch.

23 My predecessors here, Bret and Doug did a fine
24 job of taking away all my, my wind. And I thank them for it
25 because I don't have to speak as long.

1 But one of the things that I would want to bring
2 to the forum here is the PJM/MISO market, right now, we
3 don't have a combined market. Going forward with this, the
4 advent of having spending reserve available in MISO and as
5 well as in PJM, somewhere along the line a pilot program, if
6 you want to call it that in my opinion, whereby this is a
7 real rude and crude issue but getting to allow MISO and PJM
8 to experiment on this seam exchange for economic power.

9 This is something, you know, years ago and I'm
10 dating myself near a power pool, but where we did do
11 economic dispatch and share the savings between that, if, if
12 nothing in the beginning, to learn how these things would
13 occur between the pools or the RTO's rather and learn how to
14 grow into a larger vista.

15 The other thing that I would like very much to,
16 to expand on, Bret's issue that he brought was the bid in
17 process.

18 I, I am a supporter of once you put your bid in
19 the day ahead, you're locked into it for the, for the next
20 day. That, that causes less fluctuation in your, in your
21 market.

22 The third thing that I would like also to be
23 addressed down the road is the fact that MISO and PJM both
24 have operating periods different for those entities that
25 share load serving entity responsibility, such as Wabash

1 Valley, we operate in eight control areas. Seven of them
2 are in MISO and one in AEP which forces Wabash Valley to be
3 part to PJM.

4 And we have different characteristics for
5 operations and we have different bidding characteristics.
6 So they are inherently differences between those companies
7 that share both RTO's.

8 Somewhere along the line I would, I would think
9 that it would be a logical convergence that you get into a
10 single bath for allocation of the time period, January,
11 February, March, whatever you, the RTO's choose and try to
12 converge to that as a goal.

13 That would be very helpful in bridging this issue
14 of bidding in process. I thank you very much.

15 MS. BROWNELL: Steve?

16 MR. NAUMANN: Thank you Commissioner Brownell and
17 all the State Commissioners for asking me to appear. I'm
18 here on behalf of Exelon which has a number of operating
19 units, ComEd in Chicago, PICO in the Philadelphia area,
20 Exelon Generation which owns Generation throughout the
21 country and Exelon Energy which is a retail provider.

22 I would be remissed if I didn't welcome you to
23 the Chicago area as Mr. Wright did and mention I believe
24 O'Hare Airport is the only airport with a dinosaur in it.
25 So for those who get a chance to go to terminal one, you, I

1 think it's a brachiosaurus, and it violates the TSA rules
2 and it goes from the secure area, it's tail goes in the
3 unsecured area. And I'm sure someone will do something.

4 I, on economic dispatch, to me this is deja vu.
5 If you go back to integrated utilities, how they operated,
6 that security constraint economic dispatch was how those
7 systems were operated.

8 There was congestion in the integrated utilities.
9 There was out of merit dispatch due to transmission
10 constraints and it was internalized but it wasn't visible.
11 So a lot of the things that, that we're seeing when we go to
12 a market is simply that you're seeing it now instead of it
13 being buried in the entire cost of service.

14 But still the cost of dispatch were minimized as
15 much as possible and the costs were paid by the captive
16 customers and the system worked pretty well.

17 Then we got restructuring and now we have
18 independent generators and we have customers seeking access.
19 And, and that's where we ran into this issue of how to
20 substitute in a deregulated market or an unintegrated market
21 what we had before.

22 I think we found that LMP is the best substitute.
23 I don't think the question is whether the security
24 constraint economic dispatch is good. I mean, it's hard to
25 argue with bringing cost down and bringing efficiency up.

1 The question is how do you do it especially in
2 areas that you don't have the organized, organized markets.
3 It's not just a matter of saying I want to do economic
4 dispatch. There's a whole what I would call infrastructure
5 that PJM brought to the table and MISO has developed to
6 apply and that is, that is the market mechanism that is
7 mechanisms to compensate the generators that are not owned
8 by the, by the operators or don't have captive customers.

9 It's the congestion management infrastructure and
10 to echo something that's been said, it's the rules, it's the
11 rules, it's the rules.

12 All of that stuff, all of those things are needed
13 to do security constrained economic dispatch.

14 Benefits. I can tell you Exelon is very pleased
15 with ComEd's integration into PJM. We think it has brought
16 more efficient operations. There are things that ComEd is
17 no longer doing. We're no longer a control area operator
18 and that makes me happy.

19 Years ago, years ago there was a saying in the
20 industry and pardon my political incorrectness, real
21 utilities or control area operators, now I'm not sure I want
22 to be a control area operator. We're not the transmission
23 provider. We're not the, we don't run the oasis. These are
24 a lot of things we're not doing.

25 And, in fact, the job that I used to have doesn't

1 exist anymore. So to some extent I'm a casualty of this.

2 We're also pleased with the start up of the MISO
3 market. We do own a, in effect a merchant nuclear plant in
4 MISO and it makes the ability to sell that into the market
5 much easier.

6 Obviously security constraint economic dispatch
7 we think you get the most economic generation, considering
8 transmission and other reliability constraints. Better use
9 of the transmission system.

10 Another thing that, that is inherent and I don't
11 think it's been talked about are the transactional costs
12 under the old system. To actually do a transaction for a
13 few pennies, it, you needed people to put something in
14 Oasis, make a transmission reservation, confirm it, do a
15 tag, do all these little things that had to be done and, and
16 for half a dollar or 25 cents, I don't know what the cut off
17 was, it wasn't worth it.

18 Internalizing all of that through the PJM LMP
19 system, you don't have to do those things so it happens
20 naturally, just like it used to.

21 So those were, I don't know if you would call it
22 administrative barriers to, that you do away with when you
23 go through a market and security constraint economic
24 dispatch.

25 Congestion management is much better than it was

1 in the old physical rights days. That's for several
2 reasons. One, the larger amount of generators that will
3 respond to the price signals and the greater geographic
4 areas that you're dealing with.

5 That means you're, you have more, in a control
6 system point of view, you have more things to control than
7 you did before.

8 NERC TLR, I think everybody said this, it's not
9 the best way to do it. It's command and control and it
10 doesn't take in to account economics. But there's another
11 thing and, and people have eluded to this, it takes time.

12 TLR occurs after there is a problem. Security
13 constraint economic dispatch anticipates the problem through
14 the State estimator and the dispatch system.

15 It takes time to affect the TLR and I've said
16 this in other forums, I believe that security constraint
17 economic dispatch improves the reliability of the system.
18 Just look at TLR as an example. Operators should be
19 worrying about what will come next. They should not be
20 spending time on unwinding transactions that have already
21 caused a problem when they could have avoided that in the
22 first place.

23 That is a major reliability benefit of security
24 constraint economic dispatch over a large area.

25 Improvements. There, there are a couple of,

1 couple of area I'd just like to touch on. One is, for lack
2 of better word, seams issues and the other is reliability
3 rules. And it, to some extent, I am going to get down into
4 the weeds because you end up having to get down into the
5 details on the improvements.

6 First I want to say the joint operating agreement
7 between PJM and MISO is a template, I think, for the seams
8 that are between PJM/MISO and other areas that don't have
9 economic dispatch.

10 There's a lot of experience there. The two RTO's
11 have done a lot and they've come up with innovative
12 solutions.

13 One thing that we would suggest that they should
14 look at for improvement, you've heard about the price
15 convergence, but right now they're aggregate RTO to RTO
16 proxy prices. We think that moving to more interface
17 points, provided that's done in a coordinated basis and
18 provide their rules to avoid game playing will improve the
19 economic dispatch.

20 I would note that, that PJM has had to react in
21 the past to this game playing on the multiple interface
22 points and I'm sure that's, that memory of that has to be
23 taken into account. But we think that more work on that can
24 get you more granularity.

25 Somebody mentioned different, the differences in

1 the algorithms and Commissioner Brownell, I think this
2 morning you asked David Meyer about who should the, the
3 algorithms are, so to speak.

4 These are subtle and it seems that there, we
5 should try to move to one standard. I know that's hard when
6 you have history there and going, it's not, not that easy to
7 go in and make a patch. But the subtle differences can
8 cause subtle changes.

9 The other piece I wanted to talk about is
10 reliability rules. As I mentioned earlier, these, these do
11 have costs. One of the things that we found and I think PJM
12 has found, PJM is driven is as an example the NERC TLR
13 rules.

14 Right now, the fact that PJM and MISO re-dispatch
15 automatically, before a system gets overloaded is very nice,
16 thank you, but once there's a problem all the good deeds
17 they did don't get any credit. They, they're at time zero
18 so to speak and now the PJM and MISO systems get hit just
19 like the third parties who haven't yet re-dispatched.

20 That, that creates a real equity problem and a
21 real disincentive for economic dispatch on the part of
22 others.

23 Now PJM has been and MISO have been driving this
24 at NERC to try to find a solution. I understand in June the
25 operating committee approved the concept of essentially

1 giving credit for prior re-dispatch but there's a long way
2 to go to put this into effect.

3 So an example of the interaction of where a
4 reliability rule can impact the costs. And if there were,
5 you know, in our opinion that is one place where if we could
6 get some quick action, I think you would get some better
7 dispatch because then you would get the third parties who
8 aren't subject to re-dispatch would be carrying the burden
9 of these TLR's rather than the people who have done well and
10 done the right thing having to shoulder burden that they
11 shouldn't have to.

12 Another thing is the, the multiple sets of rules
13 that the RTO's are under. I think Bret mentioned in PJM
14 that it is one balancing area but right now there are
15 slightly different operating reserve requirements in
16 different parts of PJM.

17 Well, hopefully January 1st with Reliability
18 First Corporation, we're going to take care of most of that.
19 Having one set and that will help in a single reserve
20 market. That won't get going to all of MISO.

21 But things like that having common reliability
22 rules will help. First of all, you'll get a review of why
23 those rules should, what they are, making sure that they are
24 the best rules and eliminating the differences so that you
25 get more efficient operations.

1 So I think that's, that's what I have for now.
2 And again, thank you very much for inviting us to speak.

3 MS. BROWNELL: John?

4 MR. ORR: Hi. I'm John Orr, I'm with
5 Constellation Energy. We do a little bit of everything
6 across this region here. We are a generator, a load serving
7 entity on some transmission and do a lot of power marketing
8 to both retail and wholesale customers.

9 Thanks to all of you for allowing me to speak
10 today and I'm very happy to be here to share some thoughts
11 about economic dispatch.

12 What I'm going to do here is try to kind of bring
13 up, come up a level. A lot of things have been said already
14 today and I think to try to put some perspective on just
15 generally what's this economic dispatch's value to all of
16 you in this room and what's the value to the customers here
17 and that's the, in this region, and that's the context I'd
18 like you to take my comments in.

19 And so lets start off with saying, look, MISO and
20 PJM both should be, you know, applauded frankly for
21 establishing operating some of the most reasonably and
22 workable security constraint economic dispatch models in the
23 country. There's no question about that.

24 They're at different stages in their evolution
25 but both of them are on the right track, they're brining

1 benefits to consumers and they should be noted for that.

2 The second thing, and you've heard this is as an
3 undercurrent, I don't think some, anyone said it explicitly,
4 maybe Phil or Jim did, is that the reason this is good is
5 because it brings, and especially in the LMP form that we
6 see it in here in this region is because it brings price
7 transparency to the marketplace.

8 And what that allows people to do, whether you're
9 a load or a generator or a transmission owner, all right,
10 what you can do is you choose now, on an economic basis, how
11 to deploy your assets and manage the risks for your
12 constituency, whether that be a generator, load, etcetera.

13 All right, that's what you're getting. You're
14 getting price transparency in a, in a real time information.
15 And then you can manage risk forward off of that
16 information.

17 The last thing here in the general sense is that
18 we should encourage PJM and MISO to continue down this path
19 and continue evolving until they are both, become the widest
20 area possible of deployed economic resources if you will.

21 I think you want to continue development. You
22 don't want to say we've got it good enough right now. And
23 that's kind of been an undercurrent of things, but that's
24 how I would generally characterize the message that I want
25 to send you.

1 Now, to get into the specific questions that were
2 asked of this panel, you know, the first question really
3 dealt with what are the qualitative and quantitative
4 benefits? Well I just told you the big qualitative one.
5 It's transparency and the ability to manage risk around that
6 and just make asset deployment decisions, if you will.

7 The, but as for quantitative benefits, I don't
8 think any one of the individuals sitting here, we could all
9 say, well we got this out of it, you know, he got that out
10 of it. The truth of the matter is is that Phil and Jim
11 really are the experts on that. They see the big picture.
12 They've given you reports. Matter of fact, I haven't seen a
13 report that says this was a really bad idea in any way,
14 shape or form.

15 All the, all the reports that were done prior to
16 say MISO implementation said it was a good idea. And MISO
17 itself is confirming that. And they're back of the envelope
18 presented in the October advisory committee was a
19 confirmation of that, just, like I said it was a back of the
20 envelope they presented to everybody.

21 The last thing is that, or on that subject too is
22 that, you know, I think from a lessons learned perspective
23 here is that, you know, you've got large geographic scope,
24 that's a good thing when you're looking at security
25 constraint economic dispatch.

1 Some of the measures that you could see of
2 whether this is successful is the amount of trading
3 liquidity you have and how many participants do you have in
4 this market that are actively trading. Are there forward
5 markets being made off the prices and operations that are
6 being generated by these models?

7 And in both of these markets the answer is yes,
8 there's a lot of those things. We have a lot of liquidity,
9 particularly in PJM, financial liquidity around say PJM West
10 Hub. You see it already developing in the MISO as well,
11 just six months into its operation.

12 So if you look at number of participants and a
13 matter of liquidity, this is really good. And this goes
14 back to my point about why do you really want to do this.
15 The more of that you see, the more chances loads and those
16 who regulate them have a chance of protecting themselves and
17 managing risks.

18 That's what this is all about. It's about
19 getting the best price for the risk profile that you select
20 for your customers.

21 I mean we have a, and when I say risk profile,
22 one of those measures is reliability, like Steve's talking
23 about. What, what level service do you want and how much
24 does it cost? You want the best deal for that. That's what
25 this is all about, security constraint economic dispatch is

1 a big piece of that. It is the foundation upon which people
2 can act.

3 I know that's like a broken record, but I really
4 want to get that point across. So it's just a tool in the
5 toolbox is what I'd say.

6 Let's talk about some improvements. You know, I
7 said they need to continue to evolve here. What are those
8 areas? You know, remember the gull here is low cost to
9 consumers overall for the reliability that we desire for
10 them all and here are some things and we've heard these
11 before, and I won't go into detail. But MISO, in
12 particular, needs to continue to work to develop bid basing
13 ancillary services markets.

14 And that doesn't mean we have to do them all
15 tomorrow, but we certainly should start with some of the
16 easy things, some of the things Bret was talking about and
17 start moving forward.

18 That means things like regulation and reserves
19 should be first on the list and start bringing those more
20 into an economically, an economic deployment mechanism
21 rather than a command and control mechanism split up among
22 control areas or balancing authorities I believe is the
23 technical term today.

24 The second thing I would suggest, and you ought
25 to think about this because it's part of the continuum of

1 overall costs to consumers is to make economic dispatch
2 work, you want a level playing field among all the
3 participants.

4 And this goes to one of the issues that almost
5 seems not in, in the zone of economic dispatch but capacity
6 markets. You want everybody to have a similar profile and
7 the enter the energy markets where security constraint
8 economic dispatch takes place.

9 This means that you don't want some people having
10 a capacity payment and some people not. In other words,
11 some people having their fixed costs governed and some
12 people not. That's not a good program. Everybody needs to
13 be thrown into the same bucket in some way so that you, you
14 get the right economic mix.

15 The, kind of going hand in hand with that, I'd
16 say is that you have to be careful about excessive
17 mitigation. It sounds really good to get involved in
18 capping prices and trying to keep a lid on things but the
19 more you do that, the more you create problems.

20 And some of the things that people have already
21 talked about here, about people having to change their bids
22 from what would be their true cost of serving someone to
23 accommodate some type of incentive created by mitigation
24 schemes.

25 And so I would caution you and be careful to say

1 is that we need to make sure that excessive mitigation
2 doesn't occur as we're employing the skid process here.

3 And last, this has already been a mention also
4 too is that MISO and PJM should continue to work to manage
5 seams issues around this. Those are the areas of
6 improvement, I think, that we should see.

7 You know, the third question asked to this panel
8 was how does economic dispatch affect the markets, spot, day
9 ahead, bilaterals and I'll tell you, I think this goes back
10 to my point about why are we doing this and it is the
11 transparency that, that this device gives you gives people a
12 lot of confidence in the market.

13 And what I mean by that is it lets people know
14 that the pricing is efficient and it lets them have a
15 benchmark for which they can compare what they're actions
16 have yielded. It's just that simple. It's confidence.
17 That's what you get from having a good economic dispatch in
18 the marketplace.

19 And finally, the last question was what affect do
20 non-market or do non-participants have on economic dispatch?
21 And I wasn't sure what to take the context of this question,
22 so the context that I'm going to lend to is this is for
23 people choosing not to participate in RTO administered bid
24 based markets, is the context that I'm going to assign to
25 this question.

1 And that is what I think they're doing is they
2 are reducing the RTO's choices about how to best serve load.
3 If they choose not to participate they are, to some degree,
4 affecting reliability and tying the hand of the RTO.

5 And then part two of that and this is important
6 for their customers and for those of you who regulate people
7 who are choosing not to do this is they can never really be
8 sure that their customers are getting the best deals because
9 if they take themselves out of this marketplace, and they're
10 not participating in security constraint economic dispatch
11 where they're getting the benefits that we see that Jim and
12 Phil talked about ascribing to their marketplaces, how do,
13 how do they ever know that they're getting the best deal for
14 their consumers?

15 How can we ever really be sure if they don't
16 participate?

17 And, and really that's what I'd like to leave you
18 with is. This is a good, security constraint economic
19 dispatch is a good thing. PJM and MISO should be
20 complimented for that and we should keep moving forward to
21 create more transparency through just about anything that
22 could be priced as a megawatt hour type service as an energy
23 price mechanism.

24 Thanks again for your time.

25 MS. BROWNELL: Thank you. Ed?

1 MR. TATUM: Commissioner, thank you very much.
2 Appreciate the opportunity to be here and I've really
3 enjoyed this morning and this afternoon, the different
4 perspectives that have been brought.

5 I, I'm hearing some very consistent themes and I
6 suspect others might be as well. I'm Ed Tatum, I'm with Old
7 Dominion Electric Cooperative, we're an electric
8 cooperative. We've been experiencing the PJM experience
9 since day one and the Del Marva Peninsula and now with the
10 integration of Dominion Virginia Power, into PJM as well as
11 AEP in Alagany, we now have our entire load within PJM.

12 So, we've been there for a while. It's, it's
13 been a very interesting, enlightening experience.

14 What I've been hearing today as we talk about
15 something that the electric utility industry has been doing
16 for many, many years and this is security constraint
17 economic dispatch.

18 And I liked what Phil Harris said about the
19 evolution of this is changing. And our industry is
20 dramatically changing as well as so it's appropriate that
21 this changes.

22 I was listening to the comments earlier with
23 Steve, listened to Doug, listened to John, Fred, I'll listen
24 to you as well and the things that I was hearing, the things
25 that I was hearing --

1 MS. BROWNELL: You better. He's tough if you
2 don't.

3 MR. TATUM: Oh, I know. And he's got a camera.
4 The things that I'm hearing though really are
5 indicative of how our market has changed and how our
6 industry has changed and we apply these changes to this old
7 friend, if you will.

8 And so we're transitioning, we're evolving.
9 There's a tremendous amount of details. We talked about how
10 the market rules will affect a security constraint economic
11 dispatch.

12 We talked about more granularity. We talked
13 about how reliability comes through. What's I'm hearing is
14 there's a lot of exogenous variables that affect a security
15 constraint economic dispatch. We talked about the rules, we
16 talked about the fleet.

17 The aspect that I wish to bring to this is
18 another piece and that's the underlying transmission grid
19 that enables the economic dispatch to take place.

20 And again, as Phil was talking this morning about
21 the evolution of PJM, these three utilities got together and
22 they planned the resources and the transmission to make that
23 economic dispatch happen. And so I don't want to lose sight
24 of this one other piece.

25 We changed our paradigm significantly and when

1 we're, previously we were on a integrated resource planning
2 type of environment where we'd actually trade some
3 generation for transmission and make decisions based on
4 cost.

5 And I understand that as we are in a market
6 environment, we hope that the market will enable us to
7 indeed get back to cost. But I love the comment earlier of,
8 with regards to the MISO response that we're, we're not
9 bidding right.

10 Well, yeah, you're bidding right. You're bidding
11 what the market will bear. I submit to you that we're still
12 evolving and our infrastructure is not allowing the
13 transportation to take place. But we're changing.

14 Separation of generation to a competitive market
15 while transmission remains a regulated monopoly requires
16 development of new standards to reflect that new
17 relationship and that still needs to fully evolve.

18 We were integrated in inter-related grid and the
19 economies of skill are certainly something that you're
20 looking for in a security constraint economic dispatch, but
21 you need to be able to get there from here.

22 Lower voltage local facilities that are operated
23 under the same protocol as network pull facilities can
24 result in significant congestion. And we've seen that,
25 transmission congestion. That directly does affect dispatch

1 decisions and affects competitiveness.

2 And Steve was talking about common reliability
3 rules. I think those are indeed crux and are good
4 opportunities to take a look at that.

5 As we apply new rules and new paradigms to old
6 environments, we do have significant change.

7 Possible improvements to the current economic
8 dispatch practices, both within an RTO or outside, it comes
9 back to the need to have a better underlying transmission
10 grid upon which to apply this dispatch.

11 Even with an RTO in place to address the
12 mechanism for all generation to bid into the market, if you,
13 if you don't have the adequate transmission, you still will
14 not be able to get that generation to dispatch and displace
15 others.

16 Some potential solutions I'd like to offer up.
17 For those that are not in an RTO or are still trying to
18 figure out how they're going to do, they perhaps consider
19 phased implementation of, of this economic dispatch and
20 start with the bulk network facilities. Start with
21 integrated grid, the high voltage facilities that was
22 designed under different standards than local radial
23 systems.

24 Develop consistent reliability and economic
25 criteria that must be satisfied prior to lower voltage,

1 local facilities being turned over to operation by the RTO.

2 I have a list here of, of how you might acquire
3 that. Let's see, you evaluate the facilities under the
4 criteria. You take a look at their functionality, how they
5 may help or hinder overall operations.

6 You take a look at the short and long term impact
7 of facilities on congestion. And include in the dispatch
8 only those that pass the criteria and reject those that
9 don't.

10 Another potential suggestion I bring forward,
11 given that we are in a new environment is to implement a
12 collaborative and inclusive transmission planning process
13 for local transmission owners and all their wholesale
14 customers.

15 Again, this is an opportunity that we think could
16 be more evolved and applied in our little neck of the woods
17 and we think it might be helpful in other areas and that way
18 all stakeholders of the transmission grid would have an
19 opportunity to be involved in the planning of that grid.

20 I might take a different position than my friend
21 John with regards to market monitoring. We think that the
22 market monitor, they wish to focus a little bit more
23 attention with regards to the potential exercise of market
24 power on a transmission grid itself.

25 The dynamics and the inter-relationship and

1 interaction that you see of bidding behavior and congestion
2 and the impact the transmission construction can have on the
3 relief of that congestion are serious issues.

4 There are opportunities there that, that there
5 could be gaining. I can't say that there was, but it's
6 something to be thoughtful about.

7 The, Mr. Harris made the comment about cost of
8 new transmission investments being recovered and a little
9 bit of surety there. We suggest that the, a number of ways
10 to handle that might be implementation of formulary rates as
11 a ways to, and again an ability to recover new investment in
12 a timely manner.

13 We strongly support moving forward with the State
14 and Federal partnerships for inter-state facilities.
15 Gatherings like this are particularly exciting. I think
16 there are a lot of opportunities to come from this.

17 And we'd like to suggest that we, that there be a
18 recognition that regional transmission should have regional
19 rates applied to it and we think that this will spur a lot
20 of new investment.

21 The affect of security constraint economic
22 dispatch in the market, it has the potential for tremendous
23 benefit if applied to the facilities capable of supporting a
24 competitive marketplace.

25 But it has the potential for tremendous harm, in

1 local areas to certain constituents if applied without
2 sufficient infrastructure. We've well documented this in
3 another case that I'll leave silent for today.

4 And with regards to the last question, with
5 regards to non-participants. I would hope that as we
6 evolve, and I want to be very clear with this, Old Dominion
7 is an active participant in PJM, we feel we are a member of
8 that RTO and that as PJM goes so does, so does Old Dominion.

9 It's to our benefit that PJM be successful, we
10 are much better off in a competitive marketplace wit open
11 access than we are in balkanized regions. But one thing as
12 far as non-participants, I think it's a function of
13 continuing to evolve.

14 It's a function of continuing to design the
15 market rules such that folks who do not wish to play are
16 able to see that it's irrationally economic not to do so.

17 I thank you for your time. I hope I stayed on
18 topic, Commissioner.

19 MS. BROWNELL: Um-hum. Thank you for that
20 silence on that certain topic.

21 MR. TATUM: Yes, ma'am.

22 MR. KRUK: Good afternoon, everybody. My name is
23 Derek Kruk and I work for Citgo Petroleum Corporation. And
24 I will say that my comments will generally reflect similar
25 point of view, in particular an industrial consumer point of

1 view.

2 My first advice to all the generators is keep
3 those bid prices down really low, it helps us as a consumer.
4 And I think it also helps the Commissioners from all the
5 states here do their job as well.

6 One of my opening statements here is we really
7 believe in free markets. And when we see markets are really
8 free, we say let's make them freer. And I, it's amazing
9 what a lot of competition can really do in terms of
10 increasing efficiencies and that benefits everybody.

11 But in terms of this economic dispatch and some
12 of our reflections on what that does to an industrial
13 customer, I'll talk about some positive, positives first.

14 One of them is price transparency. It, it's
15 wonderful when you can just get online and go to PJM.com and
16 find out what power's costing, costing you this hour and you
17 can act accordingly. We think that's really a great benefit
18 for a consumer.

19 Also from a retail basis we've seen some really
20 imaginative product offerings that hereto forward just not
21 available and that really helps us, makes life, you know,
22 more confusing and potentially more risky but it can really
23 add value for your operation.

24 We have a few questions on PJM/MISO and the
25 impacts that economic dispatch may have and one of them is,

1 is producer of market power. We, we got concern where
2 somebody can, really has a constrained area that could
3 really raise their bid prices and produce some really high
4 returns that you wouldn't necessarily see in a free
5 marketplace.

6 We, we'd like to see that continued to be, to be
7 monitored. Because we know there's a lot of smart people
8 on, for these electric generators that are trying to
9 optimize all this and getting whatever the market can bear.
10 And the consume is not necessarily that sophisticated.

11 Also, another question we have is, is this seems
12 issue between PJM and MISO, it appears to be working itself
13 out. If it, if it doesn't, it just doesn't seem right to
14 have a free market and have, you look over the fence and the
15 price is significantly different, it just doesn't, it could
16 never sell to an industrial customer.

17 Some suggestions for improvements. First of all,
18 we'd like to see more states in this, in this process in the
19 open market. We just, I know that it's not going to benefit
20 everybody but overall I think it adds efficiency.

21 And also what I think would be very important is
22 that industrial customers, or for that matter, small
23 commercial or even residential customers have an opportunity
24 to participate in this market on a demand response point of
25 view. So instead of a generator bidding in a price, we

1 would bid on a price to shed load, I think that would
2 really, really help keep everybody honest and have a lot of
3 different types of competitors in this market to truly make
4 these, this market a free one.

5 Thank you for having me here this afternoon.

6 MS. BROWNELL: Thank you. And last but not
7 least, Mr. Welch.

8 MR. WELCH: Well first I want to thank Ed for, I
9 thought I was going to be the only person here to talk about
10 anything to do with transmission. So, with that, I thank
11 you, Ed.

12 Good afternoon. My name is Joseph Welch. I'm
13 the president and chief executive officer of International
14 Transmission Company.

15 As the only truly independent transmission
16 company, International Transmission is not a market
17 participant, does not materially benefit from the energy
18 market and is uniquely qualified to comment on the benefits
19 that can be realized by a truly competitive marketplace.

20 Our perspective is unique, not only because of
21 our independent status but also because of our history.
22 From 1969 until 2001, the Michigan Electric Coordinated
23 System provided many of the functions of and in some cases
24 more functions than our provided by RTO's today.

25 The two major Michigan utilities which operated

1 the Michigan Electric Power Coordinated System performed
2 joint economic dispatch generation, jointly planned
3 transmission capacity expansions, but more importantly built
4 the transmission system to eliminate all internal congestion
5 for their generation to be economically dispatched.

6 Although the joint economic dispatch in Michigan
7 ended, much progress has been made in the drive towards
8 energy markets. There's a greater price transparency and an
9 increasing number of market participants are bidding into
10 the market.

11 Unfortunately, markets are hampered by the
12 shortcomings of the transmission system.

13 In today's world of energy markets, the
14 transmission system is being used for a purpose for which it
15 was not designed and the result is visible in the price
16 differentials within energy markets.

17 If we could start over again, from scratch, and
18 create an environment that was conducive to economic
19 dispatch based energy markets, all transmission facilities
20 would be placed into independent ownership and large
21 regional transmission organizations would take a proactive
22 role in the planning and oversight of regionally based,
23 economically motivated transmission expansion projects.

24 As long as ownership of the transmission grid
25 remains in the hands of the generation owners, protected by

1 its congestion, the benefits of economic dispatch will not
2 be a reality for end users.

3 As long as the intra-market price differences
4 exist, there is more work to be done. True competition
5 cannot exist until the constraints that cause these price
6 differentials are eliminated.

7 International Transmission is not a market
8 participant but is interested in the efficient use of the
9 transmission system. We're deeply concerned that economic
10 dispatch and the consequent pricing of a congestion is a
11 dangerous remedy from a reliability standpoint.

12 Uneconomic re-dispatch to relieve congestion can
13 create the situation where physical needs of the system are
14 overlooked because there is a re-dispatch remedy for
15 congestion.

16 Economic solutions cannot and will not fix
17 physical limitations of the grid. The best way to ensure
18 the cost of delivered energy is lower is to fix the physical
19 limitations, expand the system and eliminate the constraints
20 that are causing the congestion in the first place.

21 Transmission infrastructure investment yields
22 benefits of an economic nature, has increased capacity,
23 reduces congestion rents associated with the periods of
24 heavy demand and are crucial in sustaining system
25 reliability.

1 If the transmission resources are inadequate, it
2 is not only rolling the dice with the Nation's electric
3 infrastructure from a reliability standpoint, but it is
4 unrealistic to expect that the forces of competition will
5 deliver the lasting benefits to consumers.

6 International Transmission believes strongly that
7 the competition in the electric industry, it's progressive
8 steps toward lower prices, better reliability, more
9 opportunity for alternative price producers.

10 If the policy makers want to bring the benefits
11 of economic dispatch to end users, the benefits of
12 alternative supply to end users, they must create a
13 regulatory environment that enables real competition to take
14 place.

15 The success of the electricity market hinges
16 crucially on the ability of low cost energy to be delivered
17 and this is why a robust transmission grid is crucial and
18 the market based approach is to succeed.

19 In 2003, the Midwest Transmission, Midwest ISO
20 Transmission Expansion Plan had claimed \$1.84 billion in
21 infrastructure investment through 2007 will yield \$304
22 million to \$1.6 billion in reduced annual marginal cost of
23 wholesale energy.

24 These investments will not take place unless
25 there's a process that attracts investment dollars and

1 returns them in a predictable and formulate manner.

2 The FERC had the vision and International
3 Transmission has responded by substantially upgrading the
4 quality of southeastern Michigan's transmission system in
5 our two and half years as an independent transmission
6 company.

7 Customers in our footprint have seen the benefit
8 of added capacity as we have set a new all time peak demand
9 this summer and we have all benefitted from a more reliable
10 system.

11 Our studies show that for the first 120 million
12 of capital that we invested on the behalf of our customers,
13 they have received benefits of approximately \$100 million
14 annually.

15 While we're proud of what we've done, we know
16 that there are many issues unresolved. When asked how they
17 faired since the start of the Midwest ISO energy market, a
18 large industrial customer in our zone recently lamented the
19 transmission constraints were causing higher than usual
20 congestion costs and there is no certainty as to how long
21 the contemplated fixes will be instituted. Who pays during
22 the interim? The customer.

23 In conclusion, International Transmission
24 supports competition and feels that economic dispatch is a
25 good way to allow economically superior producers to supply

1 the market. The first steps have been taken but the job is
2 far from finished.

3 It's not sufficient to think that the pretense of
4 competitive markets is enough to ensure the competition is
5 alive and well.

6 If we are truly ready to go down the path of
7 competition, we cannot expect to see the benefits by going
8 halfway. We cannot have the constraints of the transmission
9 system disallow economic generation resources from coming to
10 the market, denying end use customers that economic benefit.

11 Thank you very much.

12 MS. BROWNELL: Thank you, Joe. Questions? Okay.

13 MR. SCHRIBER: Well, for one I'm really happy to
14 see that our panelists didn't wade into the swamp of
15 economic versus efficiency in terms of dispatch.

16 And from that point I would advocate, we talk
17 about optimum dispatch so that we, we don't have to get
18 involved with that.

19 Out of curiosity, ancillary services are
20 obviously a critical component of what goes on here. And in
21 terms of dispatch, would it make any sense, and I'm just
22 sort of thinking out loud, would it make any sense to have
23 a, sort of a segmented market for ancillary services, aside
24 from those which would otherwise be dispatched?

25 In other words, could you just have a market for

1 and dispatch ancillary services as sort of boutique
2 offering, if you will? Aside from, from that which you are
3 otherwise dispatching?

4 MR. KRUSE: I'll take a stab at that. I think
5 yes and no. If you look at, for instance, PJM and I'll use
6 that because I think our, my company's belief, and those of
7 our clients that we serve and those, most IPP's and power
8 marketers is that PJM probably has the best model for a
9 variety of reasons.

10 If you look at what they do, there's two
11 components there. One, they do offer those services
12 segmented. In other words, they have a regulation market,
13 they have a reserves market, so forth and so on. So there
14 is some of that segmenting.

15 But what's important is the way they dispatch
16 those services in real time and they do that hour by hour is
17 integrated such that the algorithm that they use looks for
18 the lowest cost determinant for all the little components
19 that go into it such that if you may have a strong
20 regulation provider with a wide range that would normally be
21 a very good provider of regulation if the congestion cost
22 locally, for whatever reason that particular day or hour are
23 high, that's going to figure into the component that maybe
24 in the overall, the big picture, if you will, it's not the
25 lowest cost provider.

1 So it will then go to another alternative. So
2 it's important and this is one of the things I tell my
3 colleagues on the ancillary service task force in MISO, it's
4 important to use an integrated system.

5 If they were to use something like the Sprego
6 system that PJM uses, it already takes all those components
7 in there so it's a very good model to work off of, if not
8 copy for a variety of reasons because it does all of those
9 things.

10 So, yes, you've got defined markets but they all
11 are interactive. And that's really the best way to look at
12 it because that will end up bringing up the lowest cost for
13 the product.

14 MS. BROWNELL: You asked the show stopper there.
15 Susan?

16 MS. WEFALD: My question is for Bret Kruse of
17 Calpine and if anyone else cares to comment on it, that's
18 fine too. You mentioned about, you said between the day
19 ahead and the real time market, you said there's a collapse
20 of 50 percent between generation that's made available in
21 the day ahead and then in the real time market.

22 Would you please comment on that more and the
23 implications you think that that has on security, economic
24 dispatch?

25 MR. KRUSE: What that is is you're talking about

1 a deployable range. It is flexibility that that particular
2 generator is providing the overseeing system operators to
3 move it through that range based on the economic profile
4 that they submitted as part of their bid, their bid curve,
5 if you will.

6 It's very important that they pretty closely
7 reflect what they've provided day ahead that they were
8 chosen for under that financial contract when they take that
9 into real time.

10 The other RTO's and part of what I do, well
11 actually I work for Calpine Merchant Services, which is a
12 spinoff between Calpine and Bear Stearns, part of what we
13 look at all the time is we want, we want to take our clients
14 as close in to margin as we can.

15 We want to give every physical limitation the
16 right price. For instance peaking turbines, there was some
17 discussion earlier about how they worked the best at the
18 highest end, they're most efficient. That's true.

19 But there's, for a price, we'll RAMP them down.
20 We use our peakers in MISO, for instance, all the time, move
21 them around on AGC, even though it costs more to move them
22 down, we put the right price on them, we want to be able to
23 give MISO that flexibility. That's inherently good for the
24 market and it's fundamentally a economic good bidding
25 policy. Not everybody does that.

1 In part because some of the individual BA's have
2 to carry their own reserves. There's some duplicity, if you
3 will, between the reserves that MISO carries and the BA's,
4 that is inherently inefficient. That's something they're
5 working to get past, that ancillary markets will help get us
6 there.

7 The other piece of that is plant managers, and I
8 can tell you from my own experience, you don't like running
9 at lower ends. It's less efficient. It causes a lot of
10 other problems, even though it may be legal by your
11 environmental permits, those people tend to be conservative
12 in nature.

13 And it's, without, this is one of the great
14 things, price transparency gives you is real clear economic
15 signals on it, what's it really worth to go that far down.
16 You're not going to violate anything, your machine's not
17 working as good. Maybe it's going to increase your
18 maintenance costs a little bit, but let's get down to the
19 real choices and put some prices to that.

20 It's the same argument that demand response is
21 looking for right now. At what price will I start
22 curtailing load. And those, that transparency that John and
23 many of the others touched on it are really what drives RTO
24 markets to make them better than non-RTO markets.

25 So, so it's important that you understand that

1 what you physically can, are capable of doing, that you
2 develop the right curve, based on economics and you take
3 that curve in every day, into the market day ahead and make
4 it available.

5 At the end of the day there are physical changes,
6 you lose a pump or something else happens that can make you
7 change your profile in intra-day, that you can't get around
8 that. But it's important that you take everything in, as
9 best you can, economically day in and you don't change that
10 going into real time.

11 I hate to put myself in the mind of others, but I
12 can't get away from it in this example. There are sometimes
13 that people would want to change, for a variety of reasons
14 that are centered around the fact that they still have to
15 maintain their, their NERC criteria, their CPS I and CPS II
16 scores, as a result of their BA.

17 That's one of the other things that go into a
18 wider footprint of control, if you will, would help.

19 So there's, there's a couple of aspects that play
20 into that but it's important that that's not only bad
21 economics when you consider economic dispatch, but it's
22 inherently bad for reliability and that's something MISO can
23 fix.

24 It's interesting that PJM's rules don't allow you
25 do to that and in PJM it's a little bit more mature market

1 so it works a little more efficiently.

2 MS. BROWNELL: Anyone else who'd like to comment
3 on that? Ken?

4 MR. NICHOLAS: Thank you. Doug, I heard you
5 talking about, and I want to make sure I was understanding.
6 I think I heard you talking about inefficiencies that you
7 think are actually being created by the, by the market.

8 You mentioned that the, I think the system was
9 being operated more conservatively than the needed and that
10 the unique operating characteristics were not, you weren't
11 able to capture those in the way this is operating.

12 Are these, are these minor issues that just need
13 to be tweaked or are they serious enough that we're not
14 getting the benefits from the market that we expected
15 because of the nature of this inflexibility?

16 MR. COLLINS: I'll start the answer and if I
17 don't do a sufficient job, Fred will finish it.

18 But, you know, they are, they are tweaks. They
19 are keeping us from fully realizing the full benefits.
20 Doesn't mean there are no benefits but they certainly are
21 keeping us from getting the benefits.

22 They likely are the cause of the, of the high
23 uplift charges that we see. And I think that, you know, as
24 I talk about the unique characteristics and learning how to
25 put those into bids, talk about the volatility in LMP's,

1 it's probably related to market rules and those rules can be
2 adjusted.

3 I think that, you know, the main message is the
4 market participant has some ability to change the way they
5 bid but we don't necessarily have the data available to know
6 what a certain change will do.

7 And that's why I stated earlier that, that it
8 really has to be in cooperation with MISO. We've got to
9 work jointly in order to get the dispatch correct and get
10 the rules correct.

11 MS. BROWNELL: Chairman Hardy, oh, I'm sorry.
12 And then Winslow, sorry.

13 MR. HARDY: Gee whiz. Okay. Also for Mr.
14 Collins. I thought I heard you making a progression to a
15 conclusion that you did not express and I'm curious if you
16 have a feeling. I thought you were going to say, at least
17 to date, probably the start up costs and all the related
18 costs of establishing the MISO probably have not paid back
19 more than the start up costs, at least as of today. Perhaps
20 it will in the future.

21 And I'm just curious if, if I heard your
22 progression correctly and, and you're more politic than
23 perhaps I am and you didn't want to say that?

24 MR. COLLINS: With four of my regulators in here,
25 I'm not sure I would want to say that. But I, you know, I

1 think it's really difficult to tell. You know, like I said,
2 we, we don't really have a good baseline to compare it to.

3 You know, hot summer, high gas prices, high coal
4 prices. There's no way of knowing exactly what the dispatch
5 would have been, particularly with the oddball year that
6 we've had.

7 I think we are, my opinion is, you know, we're
8 significantly under the benefits that we could see. But I
9 don't really have a good base line to compare it to to say
10 are we, have we seen enough benefits to offset the costs
11 that have been incurred.

12 In the one, in the one fashion you're talking
13 about capital costs and another you're talking O&M so it's
14 even harder to, to determine.

15 But I don't, I don't have a good answer for you.

16 MR. HARDY: Just that you're thinking, just that
17 you're thinking about it, I appreciate.

18 MR. HARRIS: Thank you.

19 MR. WINSLOW: I was at my first -- meeting this
20 last, just recently and there I believe unanimously the
21 Commissioner, sort of got on board with respect to economic
22 dispatch and everything I've heard today has been almost
23 uniformly positive, not obviously uniformly positive.

24 And most of it's been in the area of operations,
25 in terms of improved operations. I was happy to hear from

1 Mr. Tatum and Mr. Welch about some of the constraints on the
2 system and might happen to improve that because as a person
3 who lives on the Del Mar Peninsula, that's a great concern
4 of ours.

5 And how economic dispatch and the capital side of
6 the house actually may, may not or may fit together and what
7 we can do to improve those constraints because that
8 obviously leads to higher costs, as pointed out to the
9 consumer.

10 So I don't want to hear from Mr. Tatum. If Mr.
11 Welch, you neither, please, sir, although I, because I think
12 I know what you would say. But some of the other gentlemen
13 here, can you give me some insight into what we might do as
14 part of this economic dispatch at this course to improve or
15 make more robust the transmission system, either bulk as
16 well as local? Anybody want to volunteer? John?

17 MR. ORR: I'll take a try here. I think, I think
18 the key message here is that having good economic dispatch,
19 and that means as extensive as possible, and this was kind
20 of my point, helps you make a, the decision and it's what
21 you want to know, whether making the investment decisions
22 these gentlemen were talking about are proper or not.

23 It starts, it sends you the price signal. That's
24 the reason it's good. That's the connection here. It's the
25 better you do economic dispatch the better decision making

1 you can make about whether it's worth spending the money to
2 build that line or not.

3 It's that straightforward.

4 MR. WINSLOW: Would you then be supporting what
5 Mr. Harris suggested, which are the transmission costs pass
6 through ideas or the formulary idea of Mr. Tatum and also, I
7 guess the, I guess the cost allocation is a term I heard as
8 well?

9 Those, some of those regulatory things would be
10 of assistance along with the market signals you get from
11 the, from the market or not?

12 Could somebody who's accustomed to us regulators
13 might answer that question.

14 MR. NAUMANN: As a transmission owner, and maybe
15 I, as a transmission owner --

16 MR. ORR: It's my third day.

17 MR. NAUMANN: Let me try to answer, answer a
18 couple of things. Pass through is always good from, from
19 the transmission owner's point of view. There is this
20 Federal, State dichotomy that I do think that the State
21 regulators here need to work with FERC on because it's not
22 as easy as just waving your hands and say pass it through,
23 there are local political issues.

24 Obviously, as a transmission owner, I'd love to
25 get the rates passed through immediately on the State but

1 they were, in Illinois for example, there was a policy
2 decision made by the State Legislature to have a rate freeze
3 for X amount of time.

4 And so we need to live with that until, for
5 another year and, what is it? Year and a month and X
6 number of days.

7 And so it's, that's a State by State issue that's
8 pretty difficult.

9 I don't think you need formulated rates. I think
10 that's a decision that the owner has that option of having
11 it but I don't think forcing, forcing someone on that.
12 There are down sides of formulated rates.

13 You don't know what it means if your O&M costs
14 happen to go up, those get passed through. If your O&M
15 costs get, go down, goes get passed through. It has to be
16 tied in with, and I noticed that FERC just put out a no-par
17 on some of these incentives.

18 So, yes, we think there needs to be working
19 together to deal with those issues.

20 But the bottom line for expansion of the system
21 is the regional planning process. That's really where the,
22 where the rubber hits the road.

23 PJM has had that regional expansion process for
24 awhile. As Phil mentioned, they're in the process of trying
25 to change it. I think that's, that's where you have to look

1 for the lines.

2 But I don't think economic dispatch in itself
3 creates the congestion. As I said earlier, at the beginning
4 of my remarks, that congestion was always there in the
5 individual utilities. It wasn't as visible.

6 Now what you're doing is seeing vices and if, if
7 that gets people more interested or more excited about it
8 then, then in fact it has accomplished one of the goals and
9 it say, you know, there really is congestion here, it might
10 be worth looking at and eliminating it.

11 MR. WINSLOW: Thank you very much.

12 MS. BROWNELL: Joe?

13 MR. WELCH: I've got a little bit of different
14 take on this. And I'd like to start off by talking about
15 the difference between involvement and commitment.

16 Our, we only are in the transmission business, so
17 we're definitely committed and it's not just a part of our
18 business like it is with vertically integrated utilities.

19 Let me start from the top. There clearly is a
20 problem with split jurisdictions. State and Federal
21 mandates you always hear, every time you start to talk about
22 a transmission expansion, especially for something like the
23 State of Michigan, which is a peninsula state, surrounded by
24 water but to the south, about trying to get more throughput
25 or import capability into the state, most of the constraints

1 now lie outside the state.

2 And the common answer is, I'm not going to ask my
3 customers to pay for that upgrade to service Michigan. So
4 there's a problem there and that's a big problem.

5 The second thing is is that I totally disagree
6 with the, the concept that formula rates should be a
7 pick'em. In fact I will tell you that unless everyone is
8 under formula rates, we're creating a disincentive to not
9 build transmission.

10 One of the things that comes through in the
11 formula rates and you have to go through all of the
12 calculations though is, but the biggest one is is that all
13 of the revenues that we collect for point to point service
14 are flowed back to customers in the form of a revenue credit
15 every year.

16 If you don't have a formula rate, you keep that
17 money. Let me give you the math on this. We're a small
18 system and, for investment-wise, about \$500 million. We get
19 that big FERC enhanced ROE that everyone thinks that we make
20 a lot of money with.

21 That enhanced ROE is worth about \$4 million
22 annually to us. Our point to point revenue, that if we were
23 able to freeze our rates and not flow it back to customers
24 in the form of lower rates, is \$22 million.

25 I'll take the other deal, freeze my rates. When

1 I freeze my rates, I also then start to earn higher returns
2 year after year as I continue to not invest in the system
3 because my rate base is declining with my depreciation and
4 as a matter of fact, the lack of formula rates is causing
5 for lack of investment in the system. And it's causing,
6 this is mine, not yours.

7 The last thing, and this is big, is the
8 allocation of benefits. If we can't get the transmission
9 grid expanded and realize now that it is truly regional, the
10 markets that everyone's talking about here cover multiple,
11 multiple states. Hundreds of thousands of megawatts.

12 We had a situation in Michigan, where internal to
13 the state, joining another utility in the state, it was
14 identified that early on, a year ago, that we were starting
15 to experience a transmission congestion problem.

16 Now understand that there's a deficiency of total
17 generation in southeastern Michigan. So anytime there's a
18 constraint on that transmission system, it actually could
19 result in load shedding having to take place.

20 We identified it. We started to work it through
21 the process. The adjoining utility did not want to upgrade
22 their portion of the system because they didn't want to
23 raise the rates to their customers. They just purely didn't
24 want to do it.

25 The amount of the investment that they had to

1 make was under \$100, I'm not even going to tell you how far
2 under \$100, but it was pathetically low, considering the
3 investment that he made.

4 It increased the throughput in Michigan by 1,000
5 megawatts on our day of system peak, we consumed 700 of that
6 1,000 megawatts that day. Had that system not been there,
7 had it not been for the Michigan Public Service Commission
8 helping us get that done, we would have had to curtail load
9 in southeast Michigan.

10 So let me summarize. The Federal State
11 jurisdiction split, we've got to get this fixed. We can't
12 have us versus them.

13 Allocation of costs, we've got to get this
14 straightened out. We've got to come out to the point where
15 people who get benefits pay for it and transmission upgrades
16 absolutely uniform.

17 Third, formula rates. Last thing, we built a
18 project in Michigan called the Jewel Spokane line, \$10
19 million investment reduced congestion costs by 63 million
20 annually in Michigan.

21 So you say, well that's a great deal. The real,
22 the other problem is or the other part of the coin is is had
23 \$93 million worth of benefits for the region. So others
24 benefitted from it too. No one was asked to pay.

25 We have to get this worked out.

1 MS. BROWNELL: Thank you. Ken?

2 MR. NICHOLAS: I'll refrain.

3 MS. BROWNELL: Oops. Sorry, Fred.

4 MR. BUTLER: No, I just put the card up because I
5 was, I've been quiet most of the day because, as coming from
6 the State that's the J in PJM, I'm kind of used to some of
7 this discussion. We've had it a lot. I'm comfortable with
8 a lot of what's going on.

9 But we just got into a subject that causes me a
10 little heartburn and that's the whole idea of transmission.
11 When we talk about economic dispatch and we heard the
12 comment earlier today that we're dispatching a whole lot of
13 coal, a whole lot more coal, that's coming from farther and
14 farther away from the State that I represent.

15 And Dallas, you and I are the east enders in this
16 whole discussion. And in order to get that economic
17 dispatch to us, there needs to be increased transmission.
18 And some, under some formulas, we're the ones that are going
19 to have to pay for that. We're the only ones that are going
20 to have to pay for a lot of that transmission because we are
21 the "beneficiaries."

22 Well we're the beneficiaries because of the
23 economic dispatch that's causing it to be dispatched from
24 the other end of the, of the region. And I'd ask the panel
25 to comment on how they think there's equity in that or

1 whether there's a way around that.

2 We all want to get to the same goal, we all want
3 to have the best value for our shareholders, for our
4 customers or your shareholders. But at the same time, to
5 put the onus for construction on one set of states of one
6 region because economics says the best dispatch comes from
7 the other end of the, of the system causes me and some of
8 the people that I have to report to and be responsible to
9 some problems.

10 MR. WELCH: Let me take a quick stab at that.
11 The first thing that we do on our system is we don't build a
12 project unless the net economic benefits are there for the
13 customer.

14 Our goal is to get the lowest cost power to the
15 customers in the most economical fashion and if it's not
16 cost justified, why do it?

17 We've got a large industrial base in Michigan and
18 all we can possibly do is further drive them out of Michigan
19 and everywhere else.

20 The cost allocation benefits that you're looking
21 at, I've never seen one piece of transmission, ever in my
22 life, unless it's D.C., ever be, have, ever could ever pass
23 the straight faced test to be directly assigned.

24 Right now, today, I could tell you that even
25 though Michigan's a peninsula state, we support a lot of

1 transactions that actually wind up in your state. We have,
2 MISO has told me now that they now understand what lube flow
3 is after years of me beating my gums on it.

4 Because we experience about 1,000 megawatts daily
5 and overload one of our nodes with just lube flow, that's
6 unscheduled flow through our system every day to the tune of
7 about 1,000 megawatts.

8 Really, if you want to get to the bottom line and
9 cut to the chase, a postage stamp rate across the region is
10 where this always ends. When you get to the allocation of
11 benefits, the transmission's going to get built, and if you
12 run the math out long enough and you keep running the
13 algorithm, it goes to a postage stamp rate for everybody
14 inside of there.

15 Everybody pays the same delivery cost. The most
16 economic generation gets dispatched. That is the final and
17 the answer. We'll probably spend 20 years getting there.

18 MS. BROWNELL: Then we better buy candles.

19 MR. BUTLER: Well, hopefully not.

20 MR. NAUMANN: I, I want to, I'd like to try to
21 answer the question as best I can. I think some of us have
22 to be very careful in what we say because there, there is a
23 proceeding right now, at FERC involving this issue and so
24 I'd appreciate someone raising the red flag if we go a
25 little too far.

1 I think what you raised, Commissioner, is a ver
2 difficult issue and one we've been trying to grapple with.
3 But let me try to answer that from the view of Exelon which
4 has two load serving companies, PICO in the east and ComEd
5 in the west.

6 And if we look at your example, for instance, and
7 the, let's just take this theoretical project PJM has, maybe
8 it's not theoretical, this project Mountaineer, \$4 billion
9 investment from the coal fields of Ohio and Kentucky, how do
10 I go to Commissioner Wright and say the ComEd Illinois
11 customers should pick up 16 percent of that line that's
12 going, that set of lines or whatever it is, that's going,
13 that's being built explicitly to transport coal from Ohio
14 and Kentucky to the east.

15 That's the problem I have and that's the one
16 we're struggling with. On the other hand, I do agree it's
17 hard to say that an AC line benefits for over its, its full
18 length of time one particular set of customers.

19 I think the way, PJM has a method now, as you
20 know, and I think what you're asking is, in that particular
21 case, why should New Jersey and I think Pennsylvania in that
22 respect and Delaware, I guess everybody to the east of Ohio
23 and Kentucky pick up those lines.

24 I think the way that needs to be done is I think
25 we need to get the states in a sense that they can and the

1 customers in the same room and try to work out something
2 that's fair. Because it's, it's not only going to be the
3 cost allocation, it's going to be the sighting.

4 And while your concern about rightfully so,
5 picking up the costs, I think Chairman Schriber might be
6 concerned about sighting a line where the primary
7 justification for the line, in the case of this project
8 Mountaineer is to deliver, deliver power to the east.

9 And then his, I don't want to put words in your
10 mouth, Chairman, but, you know, are his constituents going
11 to have to pay for that cost or what, in return for the
12 environmental detriment or whatever you want to call it,
13 what are they getting?

14 And I think the only way to solve that, I don't
15 think just saying we're going to go to a postage stamp rate
16 is going to solve that. I think you got to get the states,
17 the load serving entities and the planners in the room just
18 like you have today and say, on this project, how are we
19 going to deal with it?

20 Let's talk about the need, let's talk about the,
21 the overall, all the benefits which are net of some of the,
22 the environmental or whatever you want to call them and try
23 to deal with that.

24 I think it's just, and hopefully I didn't cross
25 the line on the other issue.

1 MS. BROWNELL: I, Steve, you're wonderfully
2 cognizant of the limitations we have. But we will put the
3 transcript into any dockets that are open before us if we
4 think they're impacted.

5 But no, you, you didn't.

6 MR. NAUMANN: Okay.

7 MS. BROWNELL: Karen obviously has you by a
8 little leash back there.

9 MR. NAUMANN: Okay.

10 MS. BROWNELL: Yes. Jimmy?

11 MR. ERVIN: And this is more of comment than a
12 question but I, the issue that we've been discussing that
13 Fred brought up for the last few minutes is one that has
14 interested me for some time and I think without beating the
15 horse too much, it might behoove a lot of us to follow
16 what's been done down in the SPP area because I think they
17 have tried to grapple fairly hard with some of these
18 difficult allocation questions.

19 I don't, and I think they ultimately concluded,
20 as best I understood what they did, that while fine tuning
21 probably wasn't proper that some kind of rough justice could
22 probably be worked out using essentially the kind of process
23 that Steve was describing.

24 And I know that Sandy Hachstetter over here,
25 she'd want to talk to you at length about how they did that.

1 But I just offer that up as a suggestion around the problem
2 that, that is a very real one that you all have been talking
3 about because there are equity issues arising out of this
4 kind of thing that different people can look at and feel
5 pretty strongly about differently.

6 But there are ways, perhaps to work them out too,
7 as long as you don't require excessively fine calibrations.

8 MR. TATUM: If I may respond to that. I share
9 that sentiment and I'd like to echo's Steve's, Steve's
10 comments. All we've talked about today, with regards to
11 economic dispatch, we've said well this affects it, this
12 affects it, this, it's a whole system here and regardless of
13 how we've tried to unbundle it and piece it out, it still
14 has to be integrated and worked together.

15 And so, I mean, if we looked at the whole system
16 impacts, and there's going to be a generation, there's going
17 to be new generation constructed, there's going to be folks
18 that adverse environmental impacts there's with a positive
19 economic benefit and sit in a room and if we have some basic
20 truths that we do believe that a regional pool is a good way
21 to go, if we do believe that a competitive market's a good
22 way to go, if we believe we need transmission, set those up
23 and then come up with some, some compromise and well thought
24 out positions taking into account not just a single issue
25 but the whole, more holistic situation.

1 MS. BROWNELL: Questions? Everybody's tired. A
2 lot of economic dispatch. I'm, I'm going to take a, we're
3 not going to break because I think people have planes to get
4 plus I know no one will come back.

5 And I want to be sure that we have a little plan
6 here for going forward. I'm --

7 MR. ERVIN: Madam Chairman, I think as long as
8 you tell us to come back, we'll come back.

9 MS. BROWNELL: Some of you are better behaved
10 than others.

11 MR. ERVIN: I was going to say some of us are
12 more beautiful than others.

13 MS. BROWNELL: I am, I'm going to just describe
14 what I see happening next. In summary, and this was a
15 terrific panel, you really gave wonderful, wonderful
16 recommendations.

17 I think we've come away with a better sense of
18 what economic dispatch is, what it can do, it does bring
19 transparency, it does bring clearer economic signals, but
20 that in fact there are a number of things we can do,
21 particularly in the newer markets.

22 But even in PJM, like getting that common
23 algorithm to do, to make it better and improve it. And I, I
24 started to list them but I have so many we would be here
25 until midnight if I listed them.

1 So what we will plan on is this. December 12th,
2 I remind you the comments are due for this conference.
3 Bret, for example, it would be great if you and Doug kind of
4 expanded on the specifics of the market rules that you think
5 need to be changed. The more specific we are in comments
6 the easier this report is going to be to write.

7 You, as joint board members, if you would be good
8 enough to have your recommendations is, because this is
9 really, as Congress directed, recommendations from you and
10 the joint boards to us for the report, we will publish those
11 and have some teleconference on what we agree, what we don't
12 agree on as we try and put together a report.

13 Bud Earle who is on our staff will be in charge
14 of amassing all those recommendations.

15 As I mentioned earlier, we can also have a
16 teleconference with DOE if, as you read the report, which
17 has a lot of really interesting information, most of which
18 got discussed today but not all of which did.

19 We can also, I think, fine tune our thoughts on
20 the further studies that they recommend and we, perhaps,
21 would like to see.

22 February 3rd we'll send out the consolidated list
23 of recommendations for discussion at a meeting at Naruk,
24 because we think that's the most convenient, we can have
25 fewer or more teleconferences as you want before that.

1 If you want to designate staff to be your stand
2 in, it would be good to know who those are and just have
3 some consistency because when we get a different person on
4 the project we find it a little difficult to get the project
5 done.

6 If in fact we need further meetings after that,
7 we can certainly do that, but I know the Chairman's desire,
8 and I think he expressed this at the meeting at Naruk is to
9 get this to Congress as soon as possible.

10 It strikes me that if we all, for example,
11 identify the need for more and better information from DOE,
12 perhaps Congress would like us not to wait a year but maybe
13 to take the next step sooner rather than later.

14 So to my --

15 MR. BUTLER: Madam Chair?

16 MS. BROWNELL: Yes.

17 MR. BUTLER: Can you just go over those dates
18 again?

19 MS. BROWNELL: Yes.

20 MR. BUTLER: December 12th?

21 MS. BROWNELL: Yes. And we'll, we'll send out a
22 note to everybody as well. December 12th the comments are
23 due from today's conference. January 6th you should have
24 your recommendations in to Bud Earle, Bud will stand up and
25 give his e-mail address.

1 We'll consolidate those and send them out
2 February 3rd for discussion at the Naruk meeting in
3 February. If anybody has preferences, I think we'll
4 probably try and coordinate it with the other joint boards
5 so that we don't take up all of Naruk's time.

6 Jimmy?

7 MR. ERVIN: And one other thing I would point out
8 and we discussed this at the south joint board meeting in
9 Palm Springs is that, for your planning purposes, Madam
10 Chairman, we are already obligated on Wednesday and Thursday
11 to a DOE Naruk electricity delivery conference.

12 And so one thing that we have suggested to the
13 Chairman in Palm Springs was to the extent that you wanted
14 to have any of these joint board meetings in connection with
15 winter meetings that you look at either Sunday or maybe
16 Monday morning --

17 MS. BROWNELL: Okay.

18 MR. ERVIN: -- as a possibility and obviously if
19 you'll just get your staff to get with me we can --

20 MS. BROWNELL: Okay.

21 MR. ERVIN: -- coordinate that so that we can
22 make the maximum use of the time that's available.

23 MS. BROWNELL: And we will try and do that as
24 soon as possible so that people can make travel
25 arrangements.

1 Kevin?

2 MR. WRIGHT: Well I found this to be quite
3 extraordinary and I particularly appreciate the stakeholder
4 panel that was assembled and gave us some very frank and
5 forthright views.

6 I always appreciate hearing from the CEO's of the
7 RTO's but I appreciate even more hearing from those that are
8 actually out there day in and day out living under this type
9 of framework that we have.

10 So I specifically kudos to the stakeholder panel
11 in improving my knowledge and hopefully the contribution
12 that I can make to this process very informative. Thank
13 you.

14 MS. BROWNELL: Ken?

15 MR. SCHISLER: Ditto. Have a safe trip.

16 MS. BROWNELL: Thank you again and, oh, yes?

17 MR. JERGESON: Well, I don't know how much time
18 you planned on discussing this. I too, appreciated the
19 stakeholder panel but other than some nuances in their
20 presentation, there didn't seem to be a lot of major
21 differences between any of those panelists or the
22 presentation that we had from the leadership of the two
23 RTO's this morning.

24 But we have the interesting question about the
25 affects of the non-participants. And when I think of non-

1 participants I'm not sure what exactly the definition of
2 that is, but I did not have or we did not have today
3 anybody, like for example, from WAPA. We didn't have
4 anybody from non-jurisdictional entities like Basin Electric
5 who are skeptics about the RTO notion in particular and, and
6 what place and what role they may play in that.

7 And I'm wondering if we can really, as any kind
8 of a group, actually offer a balanced analysis of this whole
9 notion, without having had some of those key providers of a
10 variety of utility services to a number of customers
11 throughout the regions without their participation in the
12 discussion.

13 And I don't know whether they were invited and
14 declined to come and participate on a panel here or what
15 happened.

16 But, but I think there's a huge body of folks out
17 there with very key interests on behalf of their own
18 consumers who were not represented today. And, and that
19 gives me some pause to wonder about what I can participate
20 as a Commissioner from my state in some sort of a final
21 product as a recommendation to either FERC or to, to the
22 Congress on this subject.

23 MS. BROWNELL: I think that is a fair statement.
24 Candidly we, with recommendations from many people, invited
25 people who were participating and had direct experience with

1 the economic dispatch.

2 But why don't we take your comments, which I take
3 seriously, and see if we can set up something with a non-
4 jurisdictionals. We'll work with their associations and
5 some of the members to see what we can do to answer that
6 question. I appreciate that.

7 Yes, Jimmy?

8 MR. ERVIN: And again, I was a little bit
9 confused about the definition of non-participants too, but
10 if you are referring to people who are on the periphery of
11 these bodies but are affected by it there are some of us
12 that can help you line up folks --

13 MS. BROWNELL: Okay.

14 MR. ERVIN: Because there are all kinds of
15 opinions on the periphery of these bodies as to how
16 effective or not effective they are that I won't bore you
17 with today.

18 MS. BROWNELL: Okay. Good. I would also remind
19 everybody and if you would be good enough to use your
20 platforms in your states that public comments are welcome
21 and will be included.

22 But we'll see if we can set up, you know, albeit
23 a focus group, perhaps, but I think include the RTO's so
24 that there can be a dialogue back and forth, or anybody else
25 who wants to participate.

1 Thank you, good reminder. And I didn't mean to
2 rush this to a close, I just could see people looking
3 longingly at the door. So I'm glad you stepped in.

4 MR. NAUMANN: Commissioner Brownell, they want to
5 see the dinosaur.

6 MS. BROWNELL: They do indeed, but I don't want
7 to get in trouble with TSA because I'm on airplanes five
8 days a week. So take a picture. Fred, take a picture of
9 that dinosaur, would you?

10 MR. KUNKEL: I will.

11 MS. BROWNELL: Okay. Thank you.

12 (Whereupon at 3:15 p.m. the conference was
13 adjourned.)

14

15

16

17

18

19

20

21

22

23

24

25