

BEFORE THE  
FEDERAL ENERGY REGULATORY COMMISSION

- - - - - x

BRASSUA PROJECT : Project Number  
: P-2615-035

- - - - - x

Holiday Inn, York Room  
110 Community Drive  
Augusta, Maine

Thursday, June 28, 2007

The above-entitled matter came on for scoping  
meeting, pursuant to notice, at 12:15 p.m.

BEFORE:

JOHN COSTELLO, FERC

1 P R O C E E D I N G S

2 12:15 p.m.

3 MR. COSTELLO: It's 12:15, so I guess we might as  
4 well go ahead and get started. First, I'd like to welcome  
5 you all to the Federal Energy Regulatory Commission's public  
6 scoping meeting for the licensing for the proposed Brassua  
7 Project.

8 My name is John Costello, the FERC coordinator  
9 for the project. The other Commission staff working on this  
10 project are Annie Blanchard, an attorney with OGC, and John  
11 Smith is doing aquatic resources.

12 Michael Watts is the civil engineer. Christian  
13 Murphy, who is not with us today, will do terrestrial  
14 resources and endangered species, as well as recreation and  
15 land use. That only leaves me with soils and cultural  
16 resources.

17 Today, also representing the licensee, is Frank  
18 Dunlap of FDL Energy Maine Hydro, and maybe Frank would like  
19 a little -- if you could introduce some of the other members  
20 representing -- you can do it now or later on, if you want  
21 to do your little talk.

22 MR. DUNLAP: Go ahead and finish your  
23 introduction.

24 MR. COSTELLO: Okay, sure. Next slide, please.  
25 Here is the agenda for the scoping meeting, so that you know

1 what to expect, and I will start off with some introductory  
2 remarks and review the milestone of the licensing process,  
3 and explain the purpose of scoping.

4 Then Frank will give you a brief overview of the  
5 proposed project. We will then follow up with describing  
6 the proposed project facilities and operation.

7 I will follow with identifying environmental  
8 issues, after which Frank will identify the proposed  
9 studies, as stated in the pre-application document.

10 John Smith will then discuss the criteria for  
11 requesting studies and explaining some key dates during the  
12 study plan development.

13 During the presentation, we will periodically ask  
14 if anyone has any comments or questions about the  
15 information presented, and also at the end of our  
16 presentation, we will also ask if anyone has any comments or  
17 questions before adjourning the meeting.

18 Next slide, please. First, I hope everyone has a  
19 copy of the scoping document, and the expanded flow chart  
20 for the Commission's licensing process. If not, there's  
21 several copies on the table for future reference.

22 For those wishing to speak, we have a court  
23 reporter here to transcribe today's meeting, because it will  
24 be serving as part of the Commission's record.

25 While we want to keep things as informal as

1 possible, we ask that you state your name and affiliation  
2 before commenting, so that our reporter can accurately  
3 attribute the comments to you.

4 Also, if anyone wishes -- we have a pass around  
5 microphone, so when you do speak, if you would wait for that  
6 to come to you, so that we get some clear pickups for the  
7 reporter.

8 If anyone wishes to file written comments, the  
9 mailing address is on page 18 of the scoping document, and  
10 you can also file comments electronically. Instructions for  
11 filing written comments and the electronic filing are found  
12 in the same location.

13 Finally, for those of you who wish to be on  
14 FERC's official meeting list, this is important. We  
15 distributed the scoping document to everyone on the first  
16 mailing list, and the Brassua distribution list. However,  
17 future mailing lists from FERC will only include those  
18 entities on the official mailing list.

19 So please check the list at the back of the  
20 scoping document, and if your name and address is not there,  
21 or if it's incorrect, and you want to be added, please  
22 follow the instructions on page 18.

23 Okay. At this point, we'd like to have John give  
24 a brief description of the innovative licensing process.

25 MR. SMITH: Also known as the ILP. We had the

1 NOI and PAD filed on -- sorry, John Smith. We had the NOI  
2 and PAD filed on March 29th of this year. We're right in  
3 scoping, scoping out the issues and determining what studies  
4 are needed.

5           The PAD includes a process plan listing all of  
6 the dates and who's responsible for what. Over the next  
7 year, we'll pretty much be determining what studies are  
8 needed and developing a study plan, and then FERC will issue  
9 a study plan determination at the end of that particular  
10 part of the process.

11           Following the study plan determination, the  
12 studies will commence for one or two years. At least one  
13 year of studies is contemplated under the ILP and then the  
14 stakeholders will get together and determine whether a  
15 second year is necessary.

16           Following the studies, an application is filed,  
17 and if the application is found adequate, we would issue a  
18 Ready for EA Notice, which would trigger the terms and  
19 conditions from the agencies, any other comments, and a  
20 request for a 401 certification.

21           Following receipt of those comments, the  
22 Commission staff would prepare either an EA or an EIS. In  
23 this case, we're proposing to do a single EA. If it turns  
24 out that there's a lot of issues that we need, or a lot of  
25 comments filed on the EA, we would consider doing a final

1 EA.

2 After that, hopefully shortly after that, we  
3 would be in a position to issue a Commission order on the  
4 licensing decision. Now there's a flow chart. I encourage  
5 you to pick up the flow chart. It's got a lot more boxes  
6 than what's shown there.

7 If there's any questions on the process, we'll be  
8 happy to answer them.

9 MR. COSTELLO: Also on the table, there's a  
10 document that we recently -- excuse me. John Costello with  
11 the FERC.

12 Also on the table is a document that we recently  
13 put together, providing some hints on how to participate.  
14 It was put together with the assistance of what we call the  
15 Pioneers. I think it's the original five or six licensees  
16 that helped get started with their licensing process using  
17 the ILP procedure.

18 It's got some pretty good information in it. So  
19 I encourage you all to pick it up and at least read through  
20 it. Okay.

21 Under the Federal Power Act, FERC has a  
22 responsibility to issue licenses for non-federal  
23 hydroelectric projects. You can read more about this on our  
24 website at [www.ferc.gov](http://www.ferc.gov).

25 The National Environmental Policy Act requires

1 the disclosure of the environmental effects of FERC's  
2 licensing actions, and in the case of the Brassua Project,  
3 we are proposing to do an analysis and an environmental  
4 assessment.

5 The scoping document issued in May includes a  
6 brief description of the existing project facility, a  
7 preliminary list of resource issues, and describes the study  
8 proposed by the licensees. The scoping document also  
9 describes the types of information that we are seeking as  
10 part of scoping, and pre-planning schedule. That's all for  
11 MFNSB, and a proposed outline and time line for the EA.

12 So the main purpose for our meeting, of which  
13 we're here this afternoon, is to solicit comments and input  
14 from the public and interested non-governmental  
15 organizations, federal, state and local agencies about  
16 issues that need to be considered or not considered in an  
17 EA.

18 Specifically, we want to talk to you about the  
19 issues we have identified, make sure we understand the  
20 issues you've raised, and ensure that we do not omit any  
21 issues that should be included and further refine or  
22 eliminate any identified issues where needed.

23 We also want to talk about what information will  
24 be needed to address the issue, and finally we want to  
25 review, discuss and finalize the process plan and schedule

1 for pre-planning activity.

2 At this time, we'll call on Frank Dunlap to talk  
3 about the project. Start with the project location.

4 MR. DUNLAP: Good afternoon. My name is Frank  
5 Dunlap. Most of the folks here at the hearing know each  
6 other, but for the record we'll go through a round of  
7 introductions. I'll be acting as the licensing coordinator  
8 for the licensees on the Brassua licensing.

9 Also here is Bill Hanson, senior biologist for  
10 FPL Energy; Sarah Tomalty, counsel for FPL Energy out of  
11 Washington, D.C., and Wes Hallowell, who is the Kennebec  
12 Water Power river engineer. Wes will be describing some of  
13 the operations for us this afternoon. Also here as a  
14 licensee is Chris Dean, from Madison Power.

15 In general, or broadly speaking, the Brassua  
16 Project is licensed to several entities, including FPL  
17 Energy, Madison Power Industries, and Merimil Limited  
18 Partnership. Meramil is owner of the Lockwood Project, that  
19 most folks are familiar with. FPL is 50 percent owner of  
20 Merimil, and a general partner there.

21 FPL Energy owns about 70 percent of the project  
22 in round numbers. Madison, I believe, is about 17 percent  
23 or so -- is that right Chris -- and Merimil owning the  
24 remainder.

25 Also, as a co-licensee, not represented here

1 today but co-licensee is the Brassua Hydroelectric Limited  
2 Partnership. They own the power house at Brassua, but none  
3 of the lands or the site. They lease the site. That lease  
4 runs through 2012, at which point that will terminate and  
5 the power house will likely revert to the other existing  
6 owners.

7 So the licensees going forward will be Madison,  
8 FPL and Merimil.

9 The interest of the owners for Brassua is as an  
10 operating storage facility primarily, along with the  
11 generation. So our major interests and concerns there are  
12 both flood control and managing the lake for generation, as  
13 well as for downstream generation. It's one of the three  
14 storage projects on the Upper Kennebec, the other two being  
15 Flagstaff and Moosehead Lake.

16 But as we work through those interests,  
17 generation of flood control, loss of looking at the balance  
18 as we all need to, the interest of the natural resources and  
19 environmental concerns at the project, which is a large part  
20 of what we're looking at today, is an introduction to the  
21 study, needs and interests of the resource groups, and what  
22 we'll be looking forward to as studies on this project.

23 So with that, I think that's the introductory  
24 remarks. If anybody has any questions on that, the  
25 licensees, ownership or anything, we could entertain that

1 now. Fred?

2 MR. SEAVEY: Fred Seavey, U.S. Fish and Wildlife  
3 Service. I was just wondering, in terms of the interest on  
4 flood control, whether that has to do with downstream  
5 facilities that are owned by either FPL or Madison Paper, or  
6 some other interest.

7 MR. DUNLAP: The flood control, and Wes can  
8 expound on this a little bit as we get into the operations  
9 and so on, the upper storages serve as flood control  
10 facilities, if you will.

11 They're not constructed as flood control per se.  
12 They were constructed either for log storage and timber  
13 management, and then further developed for hydroelectric  
14 storage and hydropower storage.

15 But they also serve as flood control facilities  
16 for the whole of the Kennebec, such that when the three  
17 ponds are down in the late winter and early spring, they  
18 then have the capacity to catch the spring rains and the  
19 snow melt, and hold that back from the main river, so that  
20 the downstream industries and municipalities are all  
21 protected. So there's an element of flood control in that,  
22 Fred.

23 MR. SEAVEY: Fred Seavey again. I was wondering  
24 if there was a liability that the Brassua partners are  
25 obligated underneath that for flood control?

1 MR. DUNLAP: No, there's not. Again, this is a  
2 general benefit of the facilities, but it's not operated,  
3 for instance, as the western Army Corps flood control  
4 facilities would be, with a mandate to manage those levels.  
5 This is an added benefit to these facilities here. Dana?

6 MR. MURCH: Dana Murch, Maine DEP. I see that  
7 Scott Paper was previously listed as a co-licensee, and you  
8 didn't name them in your future list of licensees. So what  
9 happened to them?

10 MR. BEAN: Dana, Christopher Bean, Madison Paper.  
11 Madison Paper acquired the Scott interest back in 1999, I  
12 believe, from Kimberly-Clark. So we have their shares now.

13 MR. DUNLAP: Any other questions on those topics?

14

15 (No response.)

16 MR. COSTELLO: Move to the next slide, Frank, or  
17 do you want to --

18 MR. DUNLAP: We'll address the location. Several  
19 of us were able to visit the site yesterday. The Brassua  
20 Project is located on the Moose River, which is the  
21 headwater or tributary, however you want to describe it, of  
22 Moosehead Lake.

23 The Moose River flows down out of Addian Pond and  
24 Long Pond, and the facility again was originally a lake,  
25 Brassua Lake. That was enlarged by creating the hydropower

1 dam into the present-day Brassua Lake.

2 Again, it serves as the headwaters to Moosehead,  
3 and Moosehead and Flagstaff and Moxie Stream all feed the  
4 Kennebec River. Go on to the next slide.

5 Project facilities consist of a dam with two  
6 earth lakes, with concrete core walls, and a concrete  
7 spillway section in the center, with a number of gates that  
8 we can manage water flows with. It also includes the power  
9 house, with an approximately 4.2 megawatt unit in it, a  
10 single horizontal unit.

11 The ownership of the lands around the lake are  
12 for a short distance from the lake, in the control of the  
13 owners of Brassua. Those are the individual entities that I  
14 described before, being Madison, Merimil and FPL Energy,  
15 collectively known as the owners of Brassua. That is not a  
16 formal entity but the general description of the owners and  
17 co-licensees.

18 We own for two feet in elevation above the full  
19 pond line, around the entire perimeter of the lake including  
20 the islands. A large portion of the lands behind licensees'  
21 lands is owned by either John Willard and Tomhegan Township  
22 or Plumb Creek Timberlands for the remainder of the lake  
23 perimeter.

24 Go on to the next slide.

25 MR. COSTELLO: Excuse me, Frank. John Costello.

1 Do any of the licensees own any land downstream from the  
2 dam?

3 MR. DUNLAP: The project properties include lands  
4 for approximately 700 feet downstream of the dam, a fairly  
5 small acreage included within the project boundary. But the  
6 dam owner's house, the power house that you saw yesterday,  
7 and down to approximately the first bend in the river are  
8 included in the project boundary, yes.

9 MR. COSTELLO: Approximately how far from the  
10 high water, up from the land?

11 MR. DUNLAP: The downstream lands are by leaps  
12 and bounds, and I don't have that figure right in front of  
13 me. There's a number of acres in the tens of acres  
14 downstream of the project that are within the project  
15 boundary.

16 But it's not to an elevation, as it is upstream.  
17 It's included on the Exhibit G maps that we included in the  
18 pre-application document.

19 MR. SMITH: John Smith. Does it include that  
20 little fishing access trail, or is that trail outside the  
21 project boundary?

22 MR. DUNLAP: That isn't in the project.

23 MR. SMITH: Okay.

24 MR. DUNLAP: Next slide in the FERC presentation  
25 here is the Brassua. If you'd go back to that one, Annie?

1 Thank you.

2 The lake level plots for a period of  
3 approximately 16 years, and Wes Hallowell will describe the  
4 general operation of the project, including lake levels and  
5 minimum flows.

6 MR. HALLOWELL: Wes Hallowell, Kennebec Water  
7 Power Company and FPL Energy, river engineer, responsible  
8 for the water management. I'll give you a brief description  
9 up front of the operating arrangements bestrewn the  
10 different companies.

11 Kennebec Water Power Company is chartered and has  
12 the authority and responsibility to manage the three storage  
13 reservoirs for the mutual benefit of the downstream users,  
14 head water benefactors.

15 They have contracted with FPL Energy to provide  
16 the day to day Operations of those facilities, and they  
17 retain the water management authority and the budgetary  
18 responsibility.

19 Consequently, I work for FPL Energy, but in  
20 essence am contracted back to provide those services to  
21 Kennebec Water Power Company. So hopefully that will  
22 describe the relationship there.

23 So the three storage reservoirs are operated  
24 jointly and in concert, to provide a target flow at Madison,  
25 Maine, given normal weather conditions and water is released

1 out of those storages, based on their relative fullness and  
2 capacity to make that flow at Madison.

3 Brassua is the smallest of three reservoirs, at  
4 about nine billion cubic feet of storage. It feeds directly  
5 into Moosehead Lake down the Moose River, and through  
6 Rockwood. Moosehead is the largest facility at about 23 and  
7 a half billion cubic feet.

8 Releases through the east and west outlets down  
9 into the Kennebec River, and Flagstaff comes along from the  
10 other side in the middle at about 12 billion cubic feet, and  
11 comes through the Dead River and joins the Kennebec at the  
12 forks, somewhat above Madison.

13 Interestingly enough though, Brassua is the  
14 smallest lake. It has the largest watershed behind it, at  
15 about 716 square miles. Moosehead is supported by about 552  
16 square miles, and Flagstaff by 516 square miles.

17 The water comes basically from the west, from the  
18 Canadian border, down through the lakes Frank described in  
19 the Moose River to Brassua, and then feeds into Moosehead.

20 So to describe an annual cycle, if you started at  
21 approximately June 1st, full or near-full condition with  
22 Brassua. We try to keep it feeding into Moosehead to  
23 support all the users downstream, and keep it within about  
24 three feet of full through the summer months, based on  
25 weather conditions and precipitation and so forth.

1           Around September 15th, we're at a target  
2 elevation, where we establish a fish spawning attraction  
3 flow as part of our license agreement with U.S. Fish and  
4 Wildlife and IF&W, of between 800 and 1,200 CFS, and we  
5 consult with the people in the field from those agencies to  
6 determine that flow, somewhere in that range, and then try  
7 to keep it steady through that period. That's the intent or  
8 the desire.

9           Should weather conditions dictate that we have to  
10 change that flow, consult with them again, agree on a new  
11 flow and go from there. On October 15th, we reduced the  
12 flow through the dam to essentially minimum flow, a little  
13 cushion so we don't violate the license conditions.

14           Then we leave that study until November 5th, for  
15 spawning conditions themselves for the fish. After that, we  
16 program from about mid-December on is the hard freeze, when  
17 most of the precipitation falls as snow and is stored.

18           We go out periodically through the winter and  
19 monitor the snow pack and the water content of the snow  
20 pack, draw the lake accordingly to try to be able to retain  
21 as much of that water at the spring refill as we can between  
22 Brassua and Moosehead.

23           The spring refill typically starts about March  
24 25th, although it can be tremendously variable from year to  
25 year. Brassua, with that huge watershed relatively behind

1 it, fills fairly easily. So we play the flow out of Brassua  
2 as we're in that fill cycle, to keep from causing extreme  
3 flows in the Moose River down through Rockwood.

4 Put that water into Moosehead as best we can, so  
5 that we top out at Brassua somewhere between a foot and six  
6 inches down, leaving a little freeboard for spring rains and  
7 unusual weather conditions, and then start through the  
8 summer cycle again.

9 That in a nutshell, I guess, is the intended  
10 operation of the facility.

11 We typically draw it down 20 to 24 feet by the  
12 start of the spring refill, with anywhere near a normal snow  
13 pack and normal expected spring rains. That gives us a good  
14 margin for a refill.

15 We typically, as I said, have the three foot  
16 drawdown by the end of the summer and then get somewhat of a  
17 partial refill with late fall rains, November, early  
18 December rains, and then run that through the window.

19 You know, one thing I might mention is that the  
20 power unit is a strictly leased facility, and this is  
21 operated basically as a storage facility. We decide what  
22 flows we want into Moosehead Lake and to support the flows  
23 down river. Then the generating facility has access to that  
24 water for their use, as much as they can use or want to use  
25 through their facility.

1           They can use up to about 1,865 CFS at full pawn  
2 and full production, and if we're setting the flow, as we  
3 were today at 979 CFS, that's what we want for storage  
4 purpose release, and that goes through their unit. If it  
5 goes above 1,860, we release it through the other gates.  
6 Questions?

7           MR. MURCH: Dana Murch, Maine DEP. Wes, what is  
8 the flow that you target at Madison?

9           MR. HALLOWELL: Actually, that's reviewed  
10 periodically, based on the amount of water and storage,  
11 weather conditions, projected weather conditions for the  
12 time of year. I report to and advise conditions to an  
13 engineering advisory Committee, which is Kennebec Water  
14 Power Company, made up of the downstream benefactors.

15           They will set that targeted flow, based on  
16 usually a six to eight week projected outlook, and then  
17 change it as conditions don't come in as expected.

18           MR. MURCH: And what's the minimum flow from the  
19 Brassua Project?

20           MR. HALLOWELL: Wes Hallowell again. Depends on  
21 the time of year and it's like --

22           MR. MURCH: What's the inflow?

23           MR. HALLOWELL: 212 for inflow, I believe,  
24 something along that neighborhood. We almost never get  
25 there, so I don't use it much. It's all inflow is the basic

1 bottom of it.

2 MR. MURCH: The reason I ask is that it's a  
3 little confusing to me, from reading the PAD, what the  
4 lowest minimum flow was. I thought I read that it was 250,  
5 Without reference to a lower minimum.

6 But it wasn't abundantly clear to me whether it's  
7 250 flat or 250 for inflow, whichever's less.

8 MR. HALLOWELL: That's 250 or inflow, whichever  
9 is less.

10 MR. HANSON: Bill Hanson, FPL. I think it's that  
11 the way it is stated, I'm not sure if that's what you meant.  
12 It's 250 or inflow, whichever is greater. So through the  
13 technical slide, 250 is the floor.

14 MR. DUNLAP: The minimum flows were laid out in a  
15 number of the license articles, and summarized in the  
16 scoping document, page 11. It's not an easy pattern to  
17 follow, Dana, at all on this one, because of the attraction  
18 flows for salmon fish in the fall. But again, it's  
19 seasonal, and there's several steps, and I won't try to  
20 describe them all. But several steps, including the 250 at  
21 358 and a 425 CFS or inflow.

22 So it's in essence a set flow or greater, if  
23 there's inflow above that. So it's a 250 -- for instance,  
24 the lower that you have is 250 or CFS or inflow, whichever  
25 is greater. So it can bottom out at some seasons, primarily

1 in the May-September period, at 250 CFS.

2 MR. SEAVEY: Fred Seavey, U.S. Fish and Wildlife.  
3 Could you give me a sense of what, I mean a range at  
4 Madison, what targets you are going for? You said they were  
5 projected between a six to eight week period, and I just  
6 wanted to get a sense of what that range might be?

7 MR. HALLOWELL: Well Hallowell again. It varies  
8 greatly obviously, but historically in a dry summer it will  
9 go from a 1,600 CFS to 1,800 CFS, to an upwards desirable  
10 target if around 6,000 CFS, which is at or around the wheel  
11 capacity of several of the units on the river.

12 (Simultaneous discussion.)

13 MR. HALLOWELL: And then -- in Madison,  
14 including Madison. At Madison, yes, at Madison. Then  
15 obviously, with uncontrolled streams and watershed coming in  
16 above Madison and below the forks, it goes upwards to  
17 287,000 or something in the flood of '87. But basically  
18 1,600 to 6,000 would be the desirable targets.

19 MR. MURCH: Dana Murch, Maine DEP. I'm assuming  
20 it's FPL that's going to own and operate the powerhouse  
21 after the current lease expires?

22 MR. DUNLAP: FPL or the partners.

23 MR. MURCH: FPL or the partners was the answer.  
24 Do you expect the operation of the project to change when  
25 the partners own and operate that generating station, and if

1 so, how?

2 MR. DUNLAP: At this point, we fully anticipate  
3 that, Dana, that that would change. We don't have plans or  
4 proposals for that, no.

5 MR. MURCH: Dana Murch again. I don't doubt you  
6 when you say that, but the current situation is one in which  
7 for storage purposes, if you wanted to release more than the  
8 turbine capacity at that generating station, you do.

9 That's fine with you and the generator, owner of  
10 the generating station uses what flow they can, and the rest  
11 is -- from their standpoint, the rest of the water is  
12 wasted.

13 I'm assuming there would be greater pressure on  
14 the owners to generate more power with the water that's  
15 available. That's why I asked the question, if your project  
16 operation will change.

17 MR. DUNLAP: It's a fairly speculative question,  
18 Dana. I'm sure I can't do entire justice on that.  
19 Obviously, as the partners and ownership and co-licensees  
20 own that, it will be coordinated even closer with the rest  
21 of the operations of the downstream.

22 What that does for day to day, I think, would  
23 maintain still within the license conditions that we have.  
24 But we're not -- the answer is we're not planning on  
25 changing the fundamental operation of the project, as far as

1 the pattern of annual drawdowns, the general extent of those  
2 drawdowns or minimal flows.

3 Certainly, the day to day will be coordinated  
4 even closer with the generation of downstream, I'm sure.

5 MR. MURCH: Dana Murch again. The last question.  
6 The chart that's on the board, Brassua Lake elevation, goes  
7 from 1990 to 2006. Why only 1990 when the project has  
8 existed significantly longer than that, and does this  
9 project operate to a rule curve?

10 MR. DUNLAP: Wes can address the rule curve  
11 question further. Is it tied to absolutely targeting the  
12 dates of historic operation? No. That graph illustrates  
13 the pattern of operation over the years, within the license  
14 conditions.

15 The reason for the dates on that, Dana, is that  
16 the generating facility started operation in late '89 or  
17 early '90, and so we took those water years to reflect that  
18 the generation, with any changes that may have taken -- the  
19 operation, with any changes that may have taken place with a  
20 new generating facility.

21 Yes, and that is -- Wes reminds me that's in  
22 accordance with the amendment to the license that was issued  
23 by FERC for the installation of the generating facility, and  
24 subsequent studies thereafter, which established the  
25 downstream flow regime for salmodid enhancements, etcetera.

1           So that's why we have the other historic data for  
2 the pawn levels. Dana, you're welcome to look at it if  
3 you'd like to at some time. But that's the reason we use  
4 this period of record.

5           MR. HALLOWELL: Wes Hallowell again, no. It's  
6 not operated to a rule curve. We try to stay and return to  
7 that long term average -- this relatively long term average  
8 curve, given the different license constraints that we have  
9 in operating the facility.

10           MR. DUNLAP: If there's no further questions on  
11 the operations, Annie, if you would return to the cover?  
12 Dana's got more questions.

13           MR. MURCH: This is Dana Murch from the DEP  
14 again. In the PAD, Figure 4.4-2, is a graph of Brassua  
15 Storage Reservoir Maximum Annual Drawdown, 1951 to 2006.

16           There are several things here that aren't clear  
17 to me. First, if you read the FERC license, the license  
18 clearly says the maximum allowable drawdown is 31 feet.

19           Yet this table says maximum allowable drawdown is  
20 40 feet, and in fact shows historically many drawdowns in  
21 excess of 30 feet. I'm just wondering why the discrepancy?

22           MR. DUNLAP: Most of that is back to your  
23 question on period of record, Dana. The period of record  
24 for the graph, the bar chart if you will, that you reference  
25 is to 1951.

1           This was initially put together for different  
2 purposes, but without the illustrative for the licensee, to  
3 see how frequently the pawn reached certain conditions. So  
4 without double-checking the license limit that you cited,  
5 this does include pre-license operating conditions.

6           The maximum allowable that you see on this  
7 particular chart is more the physical capability of the pawn  
8 to be drawn that far.

9           Then the bar charts that you -- the bars that you  
10 see, states a number of times that the pawn has been drawn  
11 down between or less than ten feet, between 10 and 20 feet,  
12 between 20 and 30 feet, and greater than 30 feet, and  
13 illustrates the long-term operation of the project in that  
14 way.

15           So the pawn has been, since that period, since  
16 1950, has been down greater than 30 feet, for instance, 25  
17 times, between 20 and 30 feet 23 times, representing for  
18 that period of record about 40 percent of the annual  
19 occurrences.

20           MR. MURCH: Dana Murch, Maine DEP again. What is  
21 the maximum drawdown that the owners are seeking in the new  
22 license? Let me explain the reason I asked the question.

23           The current license clearly says 31 feet. It's  
24 not clear from this chart whether that's how the project has  
25 been operated in the past, or how you plan to operate it in

1 the future.

2 MR. DUNLAP: We've been operating within those  
3 license conditions, and are not proposing to reduce the  
4 level of that allowable draw, if you will, from the 31 foot  
5 allowable.

6 MR. MURCH: Dana Murch again. So this chart,  
7 when it says maximum draw 40 feet, would not accurately  
8 reflect future operations?

9 MR. DUNLAP: Again, without going back and  
10 double-checking the limit that you cite, that would --  
11 you're right. The chart would include on page 49, Figure  
12 4.4-2, I guess that would include historic operations and  
13 not necessarily be the absolute number that you would see in  
14 the future.

15 That's correct. That would be within the current  
16 limits. Dana indicates he doesn't have any further  
17 questions on that topic. Steve Timpano.

18 MR. TIMPANO: Steve Timpano, Maine Department of  
19 Inland Fisheries and Wildlife. I guess, Frank, if I could  
20 get just one clarification on the project boundaries  
21 description again.

22 I think you indicated that it -- is it fee  
23 ownership to two feet above which elevation? The normal,  
24 high water or --

25 MR. DUNLAP: The answer, Steve, is we own fee

1 ownership. We, the joint licensees have fee ownership  
2 around the entirety of the impoundment.

3 That is -- that land was bought prior to  
4 construction. So that includes lands that have been flooded  
5 by the dam, up to Elevation 1,076. Full pawn is 1,074, and  
6 our fee ownership is up to 1,076, around the perimeter of  
7 the impoundment again.

8 It's a slightly different downstream porch for a  
9 couple of acres. But for the impoundment, it's two feet  
10 above full pawn, normal full pawn if you will. It's 1,076.

11 MR. COSTELLO: Excuse me, Frank. John Costello.  
12 Above the 1,076, do you have a flowage easements?

13 MR. DUNLAP: No, no. That's pretty much the  
14 entirety of the ownership, or all the ownership within the  
15 project boundary is fee, and we don't have a fee or flowage  
16 rights around the perimeter in general beyond that, as far  
17 as project operations and project lands.

18 MR. TIMPANO: Maybe I should follow up on -- oh,  
19 Steve Timpano again -- follow-up on that, I guess. Has  
20 there ever been any attempt to actually locate that 1,076  
21 elevation on the ground, i.e., what width of strip that  
22 includes as far as upland or adjacent wetland areas?

23 MR. DUNLAP: Steve asked if we've mapped that or  
24 flagged it, I guess. It's almost two different questions.  
25 I'm not aware that that has been flagged in the field, but

1 we flew that pawn the winter before this Steve, and have  
2 mapped that, the contours for four to six feet above full  
3 pawn.

4 So we do have mapping of the extent of that  
5 ownership. So if you were to look at that, and I don't have  
6 it here with me today, but that would show the extent of dry  
7 land, if you will, or wetlands associated with the project  
8 boundary.

9 In general, it's a fairly narrow perimeter. Even  
10 in the lower wetland areas, it's a fairly narrow area. On  
11 the site visit yesterday, we visited several wetlands that  
12 are within the project boundary, including a couple of  
13 floating peat bogs and so on. But it's a fairly narrow  
14 perimeter.

15 The next slide that you had, FERC had on the  
16 PowerPoint presentation was project components. If you go  
17 back to the photo, the cover photo if you could Annie?

18 We touched upon this description briefly, but for  
19 those who weren't able to make the site visit yesterday, and  
20 I was told it was fairly dark, this is Brassua Lake.

21 About 9,700 acres being fed primarily by the  
22 Moose River to the west, and flowing through Little Brassua  
23 Lake and Brassua Lake to the dam, down here in the lower  
24 sector of the photo.

25 To the left, looking -- this is an aerial view

1 for the record, an aerial view of the dam, showing some of  
2 the lake behind it. To the left is the damkeeper's house.  
3 The center is the power house with the single unit, with a  
4 4.18 megawatt rated capacity.

5 The center section is the concrete section with  
6 the number of gauges, eight or ten gauge -- I forget the  
7 exact number right now. On the right hand side of the  
8 concrete section is an old fishway that we viewed yesterday  
9 and discussed briefly.

10 The inland fisheries and wildlife biologists  
11 indicated that her preference, that that doesn't operate at  
12 this point. So we don't get bass, which had been identified  
13 in Moosehead Lake and the lower Moose River, to exclude  
14 bass from the upper watershed.

15 There's been some potential reports of bass in  
16 the upper watershed and not -- I don't believe that those  
17 have been confirmed yet, but we want to prevent that. So  
18 that fishway is inactive basically.

19 We have, as one of the items being discussed  
20 during licensing, whether there is a need or desire to have  
21 any fish passage facilities included. Then on either end of  
22 the concrete section are earth embankments, with concrete  
23 core walls.

24 These are topped by a paved access road and so-  
25 called jersey barriers, which are wave barriers for extreme

1 floods. So that's a view of the project facilities. The  
2 downstream section of the project boundary extends about two  
3 or three times the length of what is shown on the photo  
4 here, and includes these islands and several good fishing  
5 areas.

6 John had asked about the fishing trail earlier in  
7 this afternoon's meeting. That comes from the parking lot  
8 by the damkeeper's garage. It comes around that facility  
9 and down to the embankment below the power house, as a  
10 favored fishing area.

11 That should cover the basics of the project  
12 components, unless anybody has any questions there. John,  
13 I'll turn it back over to you for any thoughts that you had  
14 on issue identified by the Commission.

15 MR. COSTELLO: Okay. Any other questions for  
16 Frank at this time? We can always have time later on for  
17 additional questions if we need to. John Costello with  
18 FERC.

19 In the section 4.2 of the scoping document, pages  
20 14 to 15, we've listed environmental issues and concerns  
21 that FERC plans to analyze in the EA. The list is not  
22 intended to an exhaustive or final, but it's an initial  
23 listing of issues that have been identified and should be  
24 potentially significant.

25 Hopefully everyone has had an opportunity to redo

1 this list of issues, and the list is not intended to be  
2 exhaustive or final. But it's an initial list of resource  
3 issues that have been identified and have the potential to  
4 be affected by licensing the project.

5 As you can see, we have identified geology and  
6 soils, aquatic, terrestrial, threatened and endangered  
7 species, recreation, land use, cultural and developmental  
8 resources as issues to be addressed in the EA.

9 We are particularly interested in hearing from  
10 you whether we have captured all of the issues or where some  
11 issues need to be added or eliminated. At this time, I'm  
12 going to ask the FERC Resource Team, including myself, to  
13 say a little bit about the issues that they are responsible  
14 for covering in the EA.

15 I'll start with geology and soils. Basically, so  
16 far it's just the effects of continued project operations on  
17 shoreline erosion in Brassua Lake and downstream of the  
18 project. John will talk about the aquatic resources.

19 MR. SMITH: So far preliminarily, I've listed  
20 here four bullet items on page 14 for aquatic resources. A  
21 general one that we'll be looking at will be the project's  
22 effects, if any, on water quality, primarily dissolved  
23 oxygen and temperature within the lake and downstream in the  
24 Moose River.

25 Another one would be the effects of project

1 operation, including minimum flow releases and peaking, if  
2 that occurs, on habitat or fish and other aquatic species in  
3 the Moose River downstream of the project.

4 We'll be looking at the effects of the  
5 impoundment level fluctuations on the near zone, near shore  
6 aquatic habitats, and the last bullet item was whether or  
7 not any fish passage is needed at the site.

8 Then a couple of pages -- I think the page before  
9 that, we listed our cumulative impacts analysis of what we  
10 propose to do there, and the one item that I identified was  
11 water quantity, how this project relates to other projects  
12 in the basin, and how changes at this project might affect  
13 the other projects.

14 I guess you can see a lot of other indirect  
15 effects to various resources. But we left it rather broad  
16 and wanted to hear what people thought about that, whether  
17 we needed to be more specific or just look at the block of  
18 water as it's going down the stream.

19 I guess I would just like to throw that out to  
20 the agencies, if they have any clarifications or additions  
21 or subtractions to this tentative list.

22 MR. SEAVEY: Fred Seavey, U.S. Fish and Wildlife  
23 Service. On the cumulative pacts, we may want to look at  
24 the changes to that natural hydrograph, and how that might  
25 affect the effects to the river geomorphology downstream.

1 Under the aquatic resources section, we may want  
2 to have a specific investigation on the mercury effects, and  
3 whether the impoundment increases the release of mercury,  
4 and how those effects are biomagnified in the food chain in  
5 the reservoir.

6 MR. TIMPANO: Steve Timpano. On the -- where  
7 you're showing on cumulative effects on page 15, Geographic  
8 Scope, 4.1.2, and you say you've identified the scope for  
9 recreational access to the shoreline, to be within 200 feet  
10 of the lake shoreline, how do you choose that 200 foot  
11 distance, and does that need to be --

12 MR. COSTELLO: That's somewhat of an  
13 administrative boundary that FERC works within. It's a  
14 distance from the shoreline that we feel is reasonable, that  
15 we have -- that there can be immediate effects on the  
16 project.

17 There are cases where we can go beyond the 200  
18 feet, if necessary, yes.

19 MR. TIMPANO: Okay. Thank you. I think -- Steve  
20 Timpano again. I think we will probably get into further  
21 discussion on what resource issues may need further review,  
22 as far as what's shown in Section 4.2. I don't, at this  
23 particular time, have too much.

24 Were you going -- you were, as far as aquatic  
25 resources, are you going to discuss the terrestrial

1 separate, or have you already included that?

2 MR. SMITH: Terrestrial separately.

3 MR. COSTELLO: Yes, terrestrial separate, yes.

4 MR. TIMPANO: Yes, okay.

5 MR. COSTELLO: And if necessary, I think there  
6 will be a little bit of time where can come back and further  
7 flesh out some things too, if other questions come up later  
8 on.

9 MR. TIMPANO: Okay, thank you.

10 MR. COSTELLO: Well, John Costello. Starting  
11 with terrestrial resources, so far we've identified the  
12 effects of continued project operation on wildlife and its  
13 habitat, including wintering areas, inland water fowl,  
14 wading bird habitat and lone nesting sites.

15 Effect of continued project operation on any  
16 state-listed threatened or endangered or species of concern,  
17 including the northern spring salamander, the northern  
18 leopard frog, wood turtle, Tomah mayfly and the plant  
19 Canadian burnet, the effects of private operations on the  
20 evasive plants in Brassua Lake or along the project  
21 shoreline, as well as the effects of any evasive plants on  
22 native wildlife at the project, and the effects of continued  
23 project operation on wetlands within or adjacent to the  
24 project boundary.

25 For threatened and endangered species, we have

1 the continued operation of project operations on the  
2 threatened and endangered or protected species or its  
3 habitat, including the federally threatened bald eagle,  
4 Canada lynx, and the federally listed species of concern to  
5 Northern cost hawk. Fred, there's probably been some recent  
6 changes with the bald eagle.

7 MR. SEAVEY: Hi, this is Fred Seavey. Today, I  
8 think we're announcing that we're removing or delisting the  
9 bald eagle from the endangered species list.

10 So you know, for the sake of the study, we would  
11 probably include anyway, because it's an important state  
12 resource, and also under the Bald Eagle Act too. So I think  
13 Steve Timpano would probably want to include bald eagle too.

14 MR. TIMPANO: Right. Steve Timpano, yes.  
15 Regardless of the change with the federal status, at this  
16 time it's still listed as a species under the Maine  
17 Endangered Species Act, and we still have what we consider  
18 essential habitats designated for it, that carry a number of  
19 things for management guidelines and so forth.

20 To the degree that that, you know, the eagles may  
21 or may not be an issue with continued operation of the  
22 project, I mean I'm not speaking to that at this time, just  
23 to say that jurisdiction still remains.

24 MR. COSTELLO: Yes, thank you. Well, for  
25 recreation, land use and aesthetics, we have the adequacy of

1 existing project recreation facilities and access, which  
2 include the angler's access of the dam.

3           There's also a canoe and boater's trail and a  
4 boat launch, which is located further down Route 15 from the  
5 power house, the adequacy of existing shoreline buffers in  
6 protecting any important or rare shoreline habitat,  
7 aesthetics, cultural resources and recreational access.

8           This is something that we proposed to look at,  
9 also from the cumulative standpoint, mainly because of some  
10 of the development that's being proposed around there.  
11 There's very early in the stages that we don't know of.

12           But it's -- we need to be, you know, considering  
13 what the cumulative effects of this development could be on  
14 shoreline and recurring habitat, and also access for  
15 recreational purposes.

16           Cultural resources. The effects of continued  
17 project operation on any historic properties and  
18 archaeological resources. Mike, you want to go ahead?

19           MR. WATTS: For developmental resources, we'll be  
20 looking at the effects of any recommended environmental  
21 measures and project economics.

22           So our analysis will basically provide a general  
23 list of the potential power benefits and cost of the project  
24 included in any environmental or engineering or operational  
25 measures. So that's what we're proposing to look at at this

1 time.

2 MR. SEAVEY: This is Fred Seavey, and I have a  
3 few comments on that list. On the terrestrial resources, we  
4 should probably include shore bird use under your first  
5 bullet.

6 MR. COSTELLO: Pardon?

7 MR. SEAVEY: That would be under the Terrestrial  
8 Resource section, 4.2.3. The first bullet should probably  
9 include shore bird use. On Bullet 4, which is the effect of  
10 the continued operation on wetlands, you should probably add  
11 some wording to indicate that it would be those that are  
12 also hydrologically connected, which may not be adjacent to  
13 the project area, project boundary.

14 Then under the developmental resources, the  
15 economic section, I was wondering if you were going to  
16 include no-market analysis in your economic analysis?

17 MR. WATTS: Non-market analysis?

18 MR. SEAVEY: Non-market, non-market values,  
19 valuation?

20 MR. WATTS: I don't think we're doing that, but  
21 we can certainly add that.

22 MR. SMITH: John Smith. Fred, hydrologically-  
23 connected wetlands that were not necessarily adjacent to the  
24 project boundary, is that right?

25 MR. DUNLAP: What's the scope?

1 MR. SEAVEY: Yes. John was saying that the  
2 general sort of guidelines by FERC is to look at a 200 foot  
3 buffer around the existing project boundary, I believe,  
4 right? Then I guess what I'm suggesting is that there  
5 might be some --

6 MR. COSTELLO: I guess -- John Costello. I need  
7 to clarify myself. We can extend the project boundary out  
8 200 feet, if justified, and on verification if further  
9 justified, we can even go beyond the 200 foot.

10 But that's necessarily the boundary, not  
11 necessarily the study area. That's the project boundary.

12 MR. SEAVEY: Thanks for that clarification.

13 MR. WATTS: John, did you still want some more  
14 -- okay, sure. But any other questions, Fred? Or Steve,  
15 did you --

16 MR. TIMPANO: Steve Timpano again. Just noticing  
17 and we'll get into it as we get ahead to potential study  
18 discussions, but there seems to be a little disconnect in  
19 what's written in the document and what's the issues that  
20 you're going to address here under 4.2.3, say Terrestrial  
21 Resources, and then the level of studies that are proposed,  
22 you may need to do in order to get the information to  
23 address those issues. We'll get into it, I think, when we  
24 get into the studies.

25 MR. COSTELLO: Yes.

1           MR. MURCH: Dana Murch from the DEP. I think  
2 Steve in 4.3, those are simply the studies proposed by the  
3 applicant.

4           MR. TIMPANO: Steve Timpano. Thank you. I'm not  
5 reading the fine print here.

6           MR. COSTELLO: Okay. Well, that's a good  
7 saguenay. Speaking of proposed studies, we'll hand it over  
8 to Frank now.

9           MR. DUNLAP: Actually, I had a question on  
10 clarification. I want to follow up on John's question.  
11 Fred, you mentioned two items that I wasn't clear what you  
12 were asking, and what FERC's response was on these.

13                   On the terrestrial, you were asking about non-  
14 market evaluation. Could you describe what you're thinking  
15 on that, and the extent of that, and what you're applying it  
16 to and then FERC's response please?

17           MR. SEAVEY: Economic analysis can occur through  
18 a couple of evaluation techniques. One is market analysis,  
19 which is based on some of the traditional models that are  
20 used, but then there's also contingency value assessment,  
21 which allows one to look at things that cannot put a value  
22 on it from a market standpoint.

23                   That might be fish and wildlife benefits,  
24 aesthetic value of let's say the shoreline being in a  
25 certain condition, things like that. Typically, FERC only

1 uses market-type -- the market-based analysis.

2 So I guess I was trying to suggest to include  
3 another dimension on that economic analysis, which would  
4 include non-market values too.

5 An example of this is that -- well, an example, a  
6 simple example is, you know, people will pay to preserve the  
7 wheel by sending in a donation, never having seen one,  
8 because it has a certain existence value.

9 So there's sort of a whole set of techniques that  
10 allow you to do that for economics, too.

11 MR. DUNLAP: Do you have a specific resource that  
12 you were applying that to, or a general concept that you'd  
13 like to see developed?

14 MR. SEAVEY: I guess I was just suggesting a  
15 broader economic analysis, in the way that's typically done  
16 by the FERC.

17 MR. COSTELLO: I guess we could certainly  
18 consider those other, you know, the other aspects of it.  
19 But typically we do not do that. What's that called, the  
20 needs analysis.

21 MR. WATTS: Yes, the needs corp analysis, which  
22 is, like I said, certainly cost-based and also typically --

23 MR. COSTELLO: Yes.

24 MR. WATTS: It's typically the economic cost-  
25 based, the economic analysis that we do, market-based like

1 he said. But we typically don't do what you just described.  
2 We can certainly add it to the document, but we typically  
3 don't do that.

4 MR. COSTELLO: Frank.

5 MR. DUNLAP: I'd like to ask a question to Fred  
6 on the breadth of the question that you're asking on  
7 wetlands, that they not necessarily be, or that they be  
8 hydrologically connected, but not necessarily adjacent to  
9 the project boundary.

10 Again, could you follow up with what you're  
11 thinking for our benefit and for FERC's? What we saw  
12 yesterday was basically fringe wetlands with several peat  
13 bog areas. Did you have additional specific concerns on  
14 some area wetlands or resources that we should focus on?

15 MR. SEAVEY: This is Fred Seavey. I don't have  
16 specific sites knowledge right now of the project area, you  
17 know. But I guess the things that I'm suggesting are in  
18 those areas where you might have the hydrology of the lake  
19 affecting through, say, groundwater, wetlands that are near  
20 but not adjacent.

21 By adjacent, I guess I'm using the term  
22 contiguous, is what I guess I'm assuming, that you guys are  
23 considering to be adjacent.

24 So if you have a hydrologic connection through  
25 groundwater that isn't contiguous with the project boundary,

1 then that could be affecting wetlands that are not  
2 immediately adjacent to the reservoir.

3 MR. HANSON: Bill Hanson.

4 MR. COSTELLO: No wait.

5 MR. HANSON: Bill Hanson, FPL. I think I  
6 understand what Fred was saying, and there's actually maybe  
7 an example of that out there, where we have the shoreline  
8 runs by a big gravel berm, and there's a wetland just up  
9 over the gravel berm in a small kettle hole that's not  
10 physically connected with a channel, but it follows the same  
11 water level regime. There may be a couple of cases along  
12 the shore where that is.

13 I don't believe you were talking about miles back  
14 in the woods and big groundwater issues. But with those  
15 soils up there, there may be a few cases where they're next  
16 to but not physically connected that we would look at along  
17 the shorelines.

18 MR. COSTELLO: Well, I guess we're ready for  
19 Frank's study proposal now.

20 MR. DUNLAP: John, we're mostly interested today  
21 in listening on what the study requests are.

22 The studies that we have undertaken to date, and  
23 we did some preliminary studies last year and continued some  
24 of them into this year as we did, in cooperation with the  
25 Maine Department of Fisheries and Wildlife, a brook trout

1 radiotelemetry study and also included some Atlantic salmon  
2 tagging and tracking.

3           Those were continued into 2007, to the degree  
4 that the batteries in the radio tags continue transmitting.  
5 So we have that data, and a draft report of that available  
6 that we cited in the PAD.

7           We also conducted some standard water quality  
8 sampling last year, being 2006. We took profiles at three  
9 locations within the impoundment, and that data was also  
10 reported in the PAD application document.

11           We'll follow up this year with one more field  
12 day, to repeat some of the sampling, where the data wasn't  
13 analyzed at the lab for all of the grammar. So we'll retake  
14 that sample. We also have just in general quality  
15 parameters for it, and in the -- there's also a reasonable  
16 base of data available from the late 1980's and early  
17 1990's, related to the development of the power house. It's  
18 available as a baseline, one that we would anticipate  
19 repeating.

20           That was probably after discussion at the end of  
21 yesterday, we're probably doing a macro invertebrate studies  
22 downstream of the powerhouse for water quality assessment.  
23 That would be either this year or next year that I would  
24 anticipate undertaking that.

25           And again, I want to see -- and we've done red

1 surveys. Billy, is that annually still? We do downstream  
2 red surveys for salmon in the Moose River below the project.  
3 Is that up into the project boundary also, the powerhouse  
4 tail races, Billy?

5 MR. HANSON: Yes.

6 MR. DUNLAP: Yes, that is, and also downstream  
7 into some areas of the Moose River that are actually flowed  
8 by the Moosehead project. So that information's available,  
9 and we do that cooperatively with Inland Fisheries and  
10 Wildlife. We'll dive on the bottom and search the reds and  
11 check them annually.

12 Again, we'd anticipate developing the study plans  
13 out of this meeting, for what we would plan to do is follow  
14 up more likely into next year.

15 MR. COSTELLO: Any questions on that? Steve?

16 MR. TIMPANO: Steve Timpano. I guess just  
17 reading it, "Conduct a tail water macro invertebrate study,  
18 to determine if achieving standards."

19 I think that the question, I guess, is would you  
20 -- depending on the type of study design that you use to  
21 satisfy DEP's criteria for water quality standards, would  
22 you also be doing a survey, to the extent that you might be  
23 able to identify whether there was anything new and  
24 different as far as E&T invertebrates or macro -- I mean  
25 either invertebrates -- well, anything else you might

1 observe on the shorelines? Well anyway.

2 MR. DUNLAP: I didn't get it all, Steve.

3 MR. TIMPANO: Well, if you use a study  
4 methodology to satisfy DEP's water quality standards, you  
5 might be putting out rock baskets and that sort of thing.  
6 But I guess if you were doing a survey to search for, say,  
7 E&T invertebrates, you would use a different methodology  
8 probably.

9 So that just inquiring, if it could or would  
10 include the methodologies that would be more likely to  
11 identify or not, presence, absence?

12 MR. DUNLAP: Right now, what we would propose is  
13 the standard rock basket, as you say. On that, Billy can  
14 address whether we'd be searching for anything else a whole  
15 lot further.

16 But right now, the scope would be to do the  
17 standard rock basket for DEP if you have a further need.  
18 That's certainly something we'd take a look at. Billy, did  
19 you have any thoughts on that?

20 MR. HANSON: Yes. Bill Hanson, FPL. Yes, I see  
21 that as two different studies, but you know, reasonable.  
22 But for the water quality standard, we would use the DEP  
23 standard methodology with artificial substrates placed at  
24 certain distances down below the tail race.

25 Then I guess I would envision if your agencies

1 had asked for like an RTE survey of other aquatic insects  
2 and other things that would involve a little bit more of a  
3 shoreline search and, you know, in a greater area.

4 I guess I would look actually even maybe to your  
5 agency, a little some of the methodologies they might use  
6 for some of those.

7 MR. TIMPANO: Steve Timpano. Yes, I don't know  
8 to what degree those -- that section of the river may or may  
9 not have already had at least some preliminary survey work  
10 by our department. That would be the first step, to see  
11 what existing data may or may not exist.

12 The other thing, any studies that were done at  
13 the time the powerhouse was put in, our state of knowledge  
14 and the listing of species and so forth has changed  
15 substantially since that time. So it certainly needs a re-  
16 look.

17 MR. DUNLAP: I want to add in general, too, we've  
18 also done -- and Billy's been doing basically loon surveys  
19 and eagle observations and monitoring. They're both present  
20 on the lake. So we'll continue that to whatever degree we  
21 develop in the study plans, in consult with the agencies.

22 Also, we're anticipating or planning on a Phase 1  
23 or Phase Zero, at least, an archaeological survey. Nobody  
24 from the archaeological community here today, but we'll plan  
25 on doing that and in fact have started the development of a

1 study plan for that.

2 That's primarily on the main list. There's some  
3 plans listed, and we need to, I think, talk further before  
4 we pursue a commitment to doing a large search on that, and  
5 look at the likelihood of the presence of any of these other  
6 species.

7 In the project area, I think that would be in  
8 concert with your department, Steve, and the natural areas  
9 program for the Canadian burnet, for instance, and any other  
10 potential who are threatened. Okay.

11 MR. COSTELLO: With our department for the  
12 animals and with Maine Natural Areas Program on plants,  
13 right?

14 MR. SEAVEY: This Fred Seavey, U.S. Fish and  
15 Wildlife. I was wondering, Bill, if -- my impression is  
16 there's not much known about the fish and wildlife resources  
17 from a survey standpoint on Brassua Lake.

18 I guess I was wondering if licensees plan to  
19 conduct, you know, more broader surveys in order to  
20 understand that better.

21 MR. HANSON: I would agree with that. Much of  
22 the work to date has been more of a reconnaissance level.  
23 Other than, I will say we have done a fairly stringent  
24 survey of spilloons, almost weekly surveys last year, and  
25 we're continuing that this year to identify territorial

1 pairs and nest sites.

2 I feel like we have covered that well. We've  
3 physically monitored the productivity of the eagle pair,  
4 that are resident on the lake, and we even collected things  
5 like blood samples and feather samples there, along with a  
6 separate study with Maine Fish and Wildlife and U.S. Fish  
7 and Wildlife.

8 So we have some good information. But other  
9 species we haven't done any detail survey work, and I guess  
10 we were kind of waiting to hear from the different agencies  
11 on other interests or surveys, mussel surveys and the type  
12 of things that we've been asked to do in other projects.

13 MR. TIMPANO: Steve Timpano. Yes, I think some  
14 of what you have proposed or the licensees are proposing, I  
15 think you probably know from other projects what some of the  
16 likely would be needed as far as especially the E&T.

17 But as far as like for fisheries resources,  
18 you're working on the radiotelemetry work there. As part of  
19 that, have you gone around and assessed the fish passage  
20 capabilities of the tributaries at different drawdown  
21 elevations during certain periods of the year or whatever,  
22 if that is an issue or likely to be.

23 I mean these are the kinds of things that also  
24 need to be addressed. I think it would be a separate set of  
25 meetings probably to get into what was needed and in what

1 detail. I have not been in very much communication with our  
2 IF&W's regional biologist.

3 I understand Doug Cain, at least, was on the  
4 field visit with you yesterday, and I'm sure there was some  
5 discussions there that we'll flesh out, as far as study  
6 needs. Was there any of our fisheries folks there? I know  
7 Tim was on vacation or off elsewhere this week anyway.

8 Okay. I'm getting some nods affirmatively, so  
9 I've got others to talk with then.

10 MR. DUNLAP: Both fisheries regional biologists  
11 were there yesterday on the field visit. So that was good,  
12 and they were quite helpful on participating in the field  
13 visit, so it was very good.

14 I want to take a moment on these, and note that  
15 for first benefit and all of ours, not many licensees have  
16 been -- although we're all very experienced in licensing in  
17 Maine, and not many of the ILP process projects have been  
18 done in Maine or this section of New England.

19 That puts us on a little different schedule and  
20 approach to relicensing, as we've known it over the years.

21 MR. COSTELLO: Is everyone through with the study  
22 discussion or discussion of the studies?

23 MR. DUNLAP: This will be on the studies also,  
24 John.

25 MR. COSTELLO: Okay.

1           MR. DUNLAP: And I just want to emphasize, with  
2 that new process for this group of participants, licensees  
3 included, we need to be conscious of the schedule that FERC  
4 sets in these, and the study need descriptions that FERC  
5 sets on these.

6           I want to ask John to, you know, pick up his  
7 little spiel in a moment. But we need to focus on basically  
8 a 30-day period here, where there's some initial study  
9 requests and then the responses. So it's a very near-term  
10 period for developing these study requests and what we have  
11 proposed are based on our past knowledge and our past  
12 interactions with all of our friends in the licensing  
13 community here.

14           But we'll need to sit down in the next couple of  
15 months and really focus on developing these study plans, so  
16 we can get through this process. With that hopefully as a  
17 saguenay John, if you can kind of go through that list, if  
18 that's the next slide. I think it is.

19           MR. COSTELLO: Well is everyone through with the  
20 studies?

21           MR. DUNLAP: Oh yes.

22           MR. COSTELLO: I just have some clarification on  
23 the studies first too. The one about the cultural  
24 resources, you mentioned your Phase Zero.

25           MR. DUNLAP: Yes.

1 MR. COSTELLO: What is meant by that?

2 MR. DUNLAP: Phase Zero studies in Maine is  
3 something that is used by the State Historic Preservation  
4 Officer, and it's basically an initial review of materials  
5 and known sites and known resources, an inventory, a paper  
6 inventory if you will.

7 It can include a walk-around survey of the  
8 project, so you're in the field. But it's not necessarily a  
9 structured or highly structured excavation of test pits. It  
10 would be more shovel pits and areas known to likely include  
11 our cultural resources.

12 So that's the first step, and most of the Maine  
13 licensing is to get our consultant together with the SHPO,  
14 and do an initial survey.

15 MR. COSTELLO: Yes. Okay, good. So it sounds  
16 like it's a little more of just your basic literature  
17 search. It could also include some field surveying?

18 MR. DUNLAP: It can include a field tour, if you  
19 will.

20 MR. COSTELLO: Yes, because this -- as you  
21 probably already know, that we have to be consistent with  
22 Section 106 of the National Historic Preservation Act, and  
23 that will require some very extensive consultation with the  
24 SHPO, you know, the State Historic Preservation Office and  
25 of course us, as well, and potentially down the road, if

1 some sites are found that are being affected, we could even  
2 have developed the Advisory Council on Historic  
3 Preservation.

4 So it is kind of an extensive process, and like  
5 most of your surveying, it's pretty much -- especially  
6 underground, it's got to be pretty much snow-free.

7 MR. DUNLAP: Yes. We're aware of that, and have  
8 started some discussions with the SHPO already. Our  
9 consultant on this has been in contact with him. So yes,  
10 we're aware of those limitations and needs.

11 MR. COSTELLO: Yes, and the other study that you  
12 had, that was concerning -- to conduct an assessment of the  
13 project shoreline, both developed and undeveloped, in order  
14 to identify areas that may require development restrictions  
15 to protect natural resources, could you explain that a  
16 little more?

17 MR. DUNLAP: Yes. It is a broad category, but  
18 it's basically a shoreline survey, which we saw most of the  
19 shoreline yesterday as undeveloped. But I'll do a little  
20 more detailed review of that and development potential or  
21 development proposals, and how they would relate to the  
22 project.

23 I think again, we would need to do that in  
24 concert with the agencies, if they have concerns on that.  
25 But it was not intended as an extremely intense survey, but

1 as an inventory, if you will, of the impoundment perimeter  
2 and potential development or uses.

3 MR. COSTELLO: Okay. If no other questions,  
4 we'll --

5 MR. SEAVEY: Sorry John. This is Fred Seavey,  
6 and I guess I have two things. Steve had mentioned about  
7 the study plan process, and under the ILP, within 30 days,  
8 we have to provide our study plans or what we recommend.

9 So if we're -- you had mentioned a possible  
10 meeting. If we're going to have that meeting, we need to  
11 schedule that pretty quickly if we wanted to get together as  
12 sort of a group to look at that.

13 The second comment I have is, you know, I would  
14 encourage FERC to approach the federally recognized tribes  
15 in Maine, to see if they have interests on the relicensing  
16 of this project directly, as opposed to an indirect means,  
17 like seeing letters and stuff.

18 MR. COSTELLO: This is John Costello. We've  
19 already done that.

20 MR. SEAVEY: I just have one more question for  
21 Frank before I get on the study request criteria. Is there  
22 any kind of a bathymetric map of the impoundment available  
23 that you're aware of? No?

24 MR. DUNLAP: No.

25 MR. COSTELLO: Oh, this is it?

1           MR. DUNLAP: I'm not sure that there is someone  
2 else here in the state that has been doing a number of  
3 different lakes with more detail. Those, the map that you  
4 just had in hand there is the one that Inland Fisheries and  
5 Wildlife put out, and they are not definitive by any means.

6  
7           But they're an approximation of what's there.  
8 But there may be some better detailed mapping if this  
9 private individual may have done it.

10           MR. COSTELLO: Okay. I guess we'll move on now  
11 to -- John will talk about the study request criteria.

12           MR. SMITH: This is John Smith again. I guess  
13 you just heard that the -- any study requests will be due  
14 from anybody that wants to request a study within the next  
15 30 days, the same time that comments on scoping are due.

16           This is a really important slide. Under our  
17 regs, all study requests have to adhere to these seven  
18 criteria. That is, if they come from the agencies or an  
19 NGO, the public, the licensees, or from FERC's staff. We  
20 all have to adhere to the same criteria.

21           Each study needs to identify its goals and  
22 objectives, and consider any existing resource management  
23 goals that are out there, take into consideration public  
24 interest, look at the existing information and why a study  
25 is needed, why there's holes in what's existing and how the

1 study can fill those holes.

2 The next bullet is really important. The study  
3 request -- there has to be an identified nexus to project  
4 operations or effects. We talked a little earlier about  
5 possible wetlands that are hydrologically connected to the  
6 impoundment.

7 That would be an example of something that could  
8 be considered a nexus to the project, because the project's  
9 operating level could have an effect on that habitat,  
10 whereas habitat above a stream with a waterfall, that would  
11 not be hydrologically connected to the project effects.

12 The study requests, the methodology expressed in  
13 the study requests need to be consistent with accepted  
14 practice, and there should be some consideration of the  
15 level of effort needed and the cost to conduct the studies,  
16 and why alternative studies would not suffice.

17 These are in 5.9(b) of the regulations, if you  
18 need to look at them more specifically. Are there any  
19 questions on the study request criteria?

20 MR. COSTELLO: John Costello. We have a handout  
21 that provides some more detail on the criteria on the table,  
22 if you would like that.

23 MR. SMITH: Okay. You can do your next slide.  
24 Some important dates. As we said, study requests are due at  
25 the same time that your comments on scoping are due, on

1 7/27. Then there's a required -- oh, I'm sorry.

2 The proposed study plan is due from the license  
3 applicants on September the 10th, and at least one required  
4 meeting is to be held on October the 10th. There may be the  
5 need for more meetings. I guess we can determine that after  
6 we hold the first one.

7 But that meeting will be run -- will be held and  
8 run and organized by the applicants. A revised study plan  
9 would be due then January the 8th, and a final determination  
10 from FERC on February the 7th.

11 This handout, though, has all of the -- this flow  
12 chart's got all the milestones, as well as the process plan  
13 in the back of the pre-application document has the  
14 milestones as well and the responsible party for each one of  
15 them.

16 But things happen pretty fast, and the first  
17 one's probably the most important, the first 30 days.

18 MR. DUNLAP: Don't you want to add to that just  
19 who those are due to? You have due dates. Who are they due  
20 to?

21 MR. SMITH: Let's see. The study requests and  
22 comments on scoping are due to FERC. I guess the proposed  
23 study plan is also to be filed with us, as well as everybody  
24 else on the distribution list.

25 The study plan meetings are noticed by the

1 applicants, but we either participate by phone or in person.  
2 We've done it both ways. They're not -- it should be 60  
3 days between the study plan meetings and the revised study  
4 plan. That shows 90.

5           Comments are due on the PAD in 30 days.  
6 Applicant files a proposed study plan in 45. Then within 30  
7 days, there's a study plan meeting. 60 days after that  
8 there's comments on the study plan. That's probably the  
9 date that's missing there.

10           The comments would be due in December, and then a  
11 revised study in January. There's only 26 boxes, boxes and  
12 sub-boxes, and some things that occur before all of this  
13 even gets started. Are there any questions on the process?

14           (Discussion off the record.)

15           MR. SMITH: It's correct. The only thing that's  
16 missing is the comments.

17           MR. COSTELLO: Yes, John. These dates are  
18 correct. There might be one missing, but these due dates  
19 are correct.

20           MR. SMITH: Yes, yes. There's just the comments.  
21 There's an opportunity to comment after the study plan  
22 meetings are held in October. Sixty days after that,  
23 there's a comment period and then the licensees get to  
24 revise their study plan.

25           MP And the comments are due December 9th.

1 MR. SMITH: Okay. It's almost better to track  
2 the process plan schedule at the back of the PAD.

3 MR. COSTELLO: It's summarized also on the back  
4 of the scoping document.

5 MR. SMITH: Right.

6 MS. EICHENBERG: Kathy Eichenberg from the Maine  
7 Department of Conservation. Just looking at the scheduled  
8 dates that you have up there and the ones I'm looking at in  
9 the PAD, I guess -- and they're not the same, the time  
10 lines, we've got 7/24 instead of 7/27, and comments.

11 The date on the study plan comments. Study plan  
12 meetings. Study plan meetings, it says 9/07 instead of  
13 10/10. So is there another document that has those dates on  
14 it, that --

15 MR. SMITH: I understand a correction in the  
16 record. Just I would go with the scoping document that we  
17 issued.

18 MR. COSTELLO: Yes. This is John Costello. Yes,  
19 the scoping document has the dates. The PAD had the  
20 preliminary dates from the applicant, and the scoping  
21 document was put into a time frame that coincided with the  
22 current schedule.

23 It's in the back of the scoping document,  
24 Appendix B or the last page probably.

25 (Pause.)

1           MR. SMITH: I have a question for Frank. This is  
2 John Smith. Do you guys have a website to keep track of  
3 filings or comments between all of the parties, or a process  
4 for, you know, making sure that everybody basically in the  
5 room knows what's going on?

6           MR. DUNLAP: We do not have a website. We would  
7 plan to do it by e-mail and hard copy, kind of the  
8 traditional way, and make sure that everybody distributes to  
9 the full service list or mailing list on it.

10           MR. SMITH: Yes, this is John Smith again. The  
11 few examples I've worked on, where there is some discussion  
12 back and forth as the study plans evolve over the 90-day  
13 period, it's helpful to see what the e-mails are, so you  
14 know if there's a -- if FERC needs to kind of jump in and  
15 help out or back off.

16           Other licensees have done something like that,  
17 where they've got this e-mail distribution list and people  
18 can keep track of what's going on with the study plans.

19           MR. DUNLAP: We'll have to discuss it a little  
20 further.

21           MR. SMITH: Okay.

22           MR. SEAVEY: This is Fred Seavey with U.S. Fish  
23 and Wildlife. It would be useful for us if there was some  
24 way that the licensee could put their source information on  
25 a website somewhere, where we can have access to it if we

1 wanted to review the source information to the PAD and other  
2 source information, as study plans are developed.

3 This is being done on the Penobscot River  
4 Restoration Plan that's going on.

5 MR. DUNLAP: Again, good suggestion. Currently,  
6 we don't have it on a website per se, but it is available on  
7 request. So if you do have something, be sure to give me a  
8 call and I'll get that to you.

9 MR. MENDIK: Kevin Mendik, National Park Service.  
10 Are you planning to develop a website to track this  
11 particular project? I know some of the other ILPs in the  
12 region have dedicated websites for study dates and  
13 information coming in and going out?

14 MR. DUNLAP: Like I just said, we haven't set it  
15 up but we're going to consider it. For the record, good  
16 question, same response as prior to Kevin.

17 We haven't developed that yet. It's a good  
18 suggestion, so we'll be glad to consider it further with  
19 people. But right now, we have not taken that step, no.

20 MR. COSTELLO: Any other questions? I guess the  
21 only comment I would have that these dates are not flexible.  
22 I mean we all have, including FERC staff, has to adhere to  
23 them. So I know we're all busy, but one more thing on our  
24 plates.

25 MR. SMITH: John Smith. I mentioned it last

1 night. For those of you that weren't there, if the  
2 licensee, for example, gets a study plan in a few days early  
3 or a week early, we don't intend to shortchange the comment  
4 period. We would keep the dates in the schedule the same.  
5 So you could get it maybe an extra week to look something  
6 over.

7 It's not real clear in the regs how that was to  
8 be applied, but our policy so far has been to allow the full  
9 period that's in the schedule.

10 MR. COSTELLO: Okay. Well, I guess that brings  
11 us a little closer to the end. I'll open it up for any  
12 additional comments or questions or --

13 (No response.)

14 MR. COSTELLO: Well, thanks a lot for coming, and  
15 your input's very much appreciated and your time. We'll  
16 probably be seeing you a lot in the near future.

17 (Whereupon, at 2:00 p.m., the hearing was  
18 adjourned.)

19

20 -

21

22

23

24

25