

1 FEDERAL ENERGY REGULATORY COMMISSION

2 Technical Conference on Financial

3 Transactions in PJM

4

5 Wednesday, January 7, 2015

6

7 Hearing Room 2C

8 888 First Street, N.E.

9 Washington, D.C.20426

10 9:00 a.m.

11 Docket No. EL14-37-000

12

13 COMMISSIONERS:

14 MICHAEL GOLDENBERG

15

16 FERC STAFF:

17 MIKE MCLAUGHLIN: Policy Office

18 SCITT EVERNGAM: Energy Market Regulation East

19 JAMES BRENNAN: Energy Market Regulation

20 ERIN MASTRANGELO: Office of Enforcement

21 WILLIAN SAUER, Policy Office

22 CATHLEEN COLBERT:Office of Enforcement

23 JAMES MATSON:Office of Enforcement

24

25

1

2 FERC STAFF:(continued)

3 SHAWN BENNETT: office of Enforcement

4 CARMEN MACHUGA: Office of the General Counsel

5 KAREN VILLATORO: Energy Market Regulation East

6 JASON FEUERSTEIN: Electrical Liability

7

8 PANEL 1: FTR Foreclosure Rule Goals and Design

9 PANELISTS: Noha Sidhom, Inertia Power LP

10 Harry Singh, J. Aron & Company

11 Joseph Bowring, Monitoring Analytics

12 Stu Bresler, PJM Interconnection LLC

13 David Patton, Potomac Economics, Ltd.

14 Panel 2 Uplift Causation and Allocation

15 PANELISTS Abram Klein, Appian Way Energy Partners

16 William Hogan, Harvard University

17 Joseph Bowring, Monitoring Analytics

18 Adam Keech, PJM Interconnection LLC

19 David Patton, Potomac Economics, Ltd

20 Wesley Allen, Red Wolf Energy Trading

21 Stephanie Staska, Twin Cities Power

22 Scott Holladay, Yes Energy

23

24

25

* * * *

1 P R O C E E D I N G S

2 MR. SAUER: Good morning, please take a seat and
3 turn off your cell phones.

4 Welcome to today's Technical Conference on
5 "Up-to-Congestion or UTCs Transactions and Virtuals
6 or INCs and DECs and PJM Interconnection.

7 I want to thank all of the participants for
8 being here today for what I am sure will be an
9 informative and lively discussion.

10 We will use the time today to explore whether
11 PJM's financial transmission right or FTR Forfeiture
12 Rule, as it applies to UTC and INCs and DECs, is just
13 and reasonable.

14 We will also explore whether PJM's current
15 uplift allocation associated with UTC transactions
16 and INCs and DECs is just and reasonable.

17 There will be two panels today and we will begin
18 each panel with a brief introduction from staff and
19 presentation or statements from panelists.

20 A time clock will be counting down for five
21 minutes it will also be displayed during the
22 presentations and statements, and for reference,
23 there will be a yellow light when there is one minute
24 left.

25 Following presentations of statements, staff

1 will ask questions.

2 All materials received will be posted to the
3 calendar pages on FERC.gov and on e-Library under
4 Docket EL 14-37.

5 For the first panel, staff from PJM, the PJM
6 Market Monitor, the PJM or the Market Monitor for sub
7 or other markets, and as well as several PMR market
8 participants will discuss PJM's FTR forfeiture rule
9 as it applies to INCs, DECs, and UTC transactions.

10 This conversation should focus on the goals of
11 the FTR Forfeiture Rule and different ways of
12 structuring FTR Forfeiture Rules design.

13 For the second panel, staff from PJM, the PJM
14 Market Monitor, and Market Monitor from sub or other
15 electricity markets as well as staff from PJM, as
16 well as several PJM Market participants, will explore
17 the circumstances under which INCs and DECs and UTC
18 transactions may cause uplift in PJM, and if so, how
19 INCs, DECs and UTC transactions should be allocated
20 uplift charges.

21 We will break during the middle of each panel.
22 There will also be a lunch break from noon to 1:00 PM
23 and we plan to wrap up today around 4:45.

24 We have a lot of ground to cover with a short
25 amount of time today and we would like the panelists

1 to keep their comments within topics laid out for
2 each panel.

3 If the discussion begins to stray outside the
4 scope of the panel or outside the scope of the
5 question, we may be interjecting to bring the
6 discussions back to topic.

7 Additionally, this topic is not for the purpose
8 of discussing or hearing argument related to specific
9 cases before the Commission.

10 Please refrain from discussing the specifics of
11 pending cases even if they are tangentially relevant
12 to issues raised in this docket and that will prevent
13 us from having to redirect the conversation to issues
14 related to ER 13 - 54 may be discussed.

15 Let me close with a few housekeeping matters.
16 Please do not bring food or drinks other than bottled
17 water in the Commission Meeting Room.

18 Turn off your cell phones if you have not done
19 so already. There are bathrooms and water fountains
20 behind the elevator banks so if you will just go out
21 either door, make a left, going past the elevators.

22 For panelists. if you would like to be
23 recognized to speak, please place your tip card up -
24 a quick illustration - we likely will not be calling
25 on anyone directly, but if there is a point of

1 discussion just signal to us and we will call on you.

2 Please turn your microphone on and speak
3 directly into it. If you're not speaking, please
4 turn your microphone off to minimize background
5 noise.

6 Before I introduce Panel 1, and its panelists
7 let me turn to staff at this table and let them
8 introduce themselves.

9 MR. MCLAUGHLIN: Mike McLaughlin of the Policy
10 Office.

11 MR. EVERNGAM: Scott Everngam. Energy Market
12 Regulation East.

13 MR. BRENNAN: James Brennan, Office of Energy
14 Market Regulation.

15 MS. MASTRANGELO: Erin Mastrangelo, Office of
16 Enforcement.

17 MR. SAUER: William Sauer, Policy Office.

18 MS. COLBERT: Cathleen Colbert, Office of
19 Enforcement.

20 MR. MATSON: James Matson, Office of
21 Enforcement.

22 MR. BENNETT: Shawn Bennett, Office of
23 Enforcement.

24 MS. MACHUGA: Carmen Machuga, Office of the
25 General Counsel.

1 MS. VILLATORO: Karen Villatoro, Office of
2 Energy Market Regulation East.

3 MR. FEUERSTEIN: Jason Feuerstein, Office of
4 Electrical Liability.

5 MR. SAUER: Thank you. Turning to Panel 1, as
6 discussed in the opening statement, the goal of this
7 session is to focus on PJM's FTR Forfeiture Rule as
8 applies to INCs, DECs and UTC transactions.

9 This panel will cover several different topics
10 including the goal of the FTR Forfeiture Rule and
11 whether and how the FTR Forfeiture Rule should be
12 applied consistently for INCs and DECs and UTC
13 transactions and additional design considerations.

14 Before we go to questions from staff we will
15 want to introduce the panelists. Thank you very much
16 for showing up. We appreciate your time and well
17 thought remarks on these matters.

18 Certainly, this could not have happened without
19 everybody here. We can proceed in order, so let me
20 introduce David Patton from Potomac Economics, Stu
21 Bresler from PJM, Joe Bowring from Monitoring
22 Analytics, Noha Sidhom, from Inertia Power and Harry
23 Singh from J. Aron & Company, so thank you all.

24 As discussed in my opening remarks, we are going
25 to allow presentations from panelists. We will do

1 that now, so let us begin with Stu, then move to Joe,
2 Noha, Harry and last David.

3 MR. BRESLER: Thank you, Wil. Good morning to
4 you and to the remainder of the FERC staff who are
5 present today.

6 It is certainly always a pleasure to participate
7 in these kinds of conferences and to be before you
8 this morning.

9 What I thought I would do in my brief remarks to
10 open the conference today is really to address at a
11 high level what staff was looking for from today's
12 conference from the standpoint of background material
13 which is the basic reason for why PJM implemented an
14 FTR Forfeiture Rule, and then a high-level overview
15 of how that rule works and then finally an indication
16 as to PJM's current position with respect to the
17 effectiveness of that rule in its ongoings with
18 justice and reasonableness as far as its ability to
19 detect and mitigate the behaviour for which it was
20 designed.

21 If we could now move to Slide 2 in my
22 presentation.

23 As was noted in the announcement for today's
24 Technical Conference, PJM initially filed the FTR
25 Forfeiture Rule that we have in place today back in

1 December 2000.

2 We did so in response to behaviour that we
3 directly observed in the PJM day ahead market and
4 that behaviour was related to market participants who
5 had procured FTRs on pass that were essentially
6 radial on the system, and when we say radial, what we
7 mean is that one side of those paths at the very
8 least does not have many, if any, network connections
9 with the remainder of the system.

10 As a result from a standpoint of virtual trading
11 on the system, it is illiquid, in other words, there
12 is not much trading activity at those points, again,
13 because of their relatively isolated nature of the
14 electrical system.

15 The participants would then utilize INCs and or
16 DECs in association with those FTR paths in order to
17 increase or inflate congestion in the day ahead
18 market thereby increasing the value of those FTR's
19 that were purchased when we really never ever saw
20 congestion on those paths, otherwise absent those
21 virtual transactions.

22 That congestion was present in the day ahead
23 market, but did not appear in real-time because the
24 physical flows in that path did not cause that
25 congestion.

1 Due to the illiquid nature of the trading points
2 that were associated with these paths, there was not
3 much competition from the standpoint of other virtual
4 transactions, and therefore, participants were able
5 to, if you will, manipulate the value of their FTRs
6 by virtue of their virtual activities.

7 We can skip to Slide 4 of my presentation and
8 there are a few slides here with the basic example as
9 to how this behaviour worked.

10 Slide 4 is sort of the crux of that example.
11 Essentially, here we have a graphical representation
12 of what amounts to a radial path with a load at one
13 end of it.

14 In this example a participant could procure an
15 FTR up to the rating of that radial path. The
16 physical flow on that path did not approach that
17 rating absent virtual trading in the day ahead
18 market, so the participant would utilize a virtual
19 trade, and in this example, a DEC at the receiving
20 side of that congestion in order to increase the flow
21 in the day ahead market on that path up to that
22 rating, thereby cause congestion and increase the
23 flow and the value off the FTR.

24 You can see on the next slide, but I will not go
25 through it in detail due to our short time this

1 morning, but you can see the way the settlements
2 would work out in this example, and the fact that
3 while the participant would lose some money on the
4 virtual trade, it will make more as a result of the
5 inflation of the congestion and the FTR revenue that
6 is received.

7 On Slide 6 there is a quick summary of the
8 implications of the behaviour. The behaviour did not
9 enhance market efficiency, in fact, it caused a
10 divergence of the day ahead market prices relative to
11 what we actually saw in realtime, but because of this
12 behaviour the market participant could clearly a
13 profit.

14 Slides 7 and 8 of my presentation outline some
15 of the components of the current FTR Rule.

16 The basic point I would make here is that really
17 the rule is targeted at this specific behaviour.

18 When you look at those things that are
19 automatically excluded from even being evaluated as
20 part of the rule, virtual trades at hubs, zones,
21 interfaces, really what you would expect to be liquid
22 trading points are not even considered, and the same
23 goes for FTR paths at those types of points.

24 Further, in order to be evaluated for the FTR
25 Forfeiture Rule, a virtual trade has to have a

1 significant impact on an FTR path that is constrained
2 and we use a 75% criteria to determine whether that
3 is significant.

4 Let me conclude with Slide 9 as the remainder of
5 my slides are some more examples that can be perused
6 at your leisure, although, basically PJM believes
7 that the current FTR Forfeiture Rule remains
8 essentially as just and reasonable as it was the day
9 it was filed.

10 It is appropriate because it is extremely
11 targeted and looks to identify only the behaviour
12 that could be considered to be manipulative.

13 It relies on an assumption that the vast
14 majority the system is very competitive and liquid as
15 far as trading is concerned.

16 Although we do believe and we can get into this
17 discussion later on, but the rule could be improved
18 with respect to how INCs and DEC's and those virtual
19 trades are evaluated with respect to that 75% and we
20 can go into that detail as our discussion continues.

21 Thank you very much.

22 MR. SAUER: Thank you. Joe, give us a moment
23 while we load the presentation.

24 MR. BOWRING: Thank you for the opportunity to
25 be here this morning to talk about this topic. You

1 will be relieved to know that I will not go through
2 the whole slides, but I may rely on them later on for
3 examples to highlight parts of the discussion.

4 I will be very brief and talk at a somewhat
5 high-level about the FTR Forfeiture Rule.

6 The goal of the FTR Forfeiture Rule, and I agree
7 with Stu, was and is to prevent manipulation of the
8 market by market participants, taking frequently,
9 losing, and relatively small virtual positions in
10 order to make larger FTR positions profitable or more
11 profitable.

12 So it is about manipulation.

13 The FTR Forfeiture Rule is a clear rule with
14 defined consequences, but there are trade-offs when
15 using a rule-based approach rather than a
16 case-by-case approach.

17 No rule is going to be perfect. There will
18 always be some Type I, Type II errors catching some
19 people who probably should not be caught and not
20 catching those who should be caught.

21 A rule that is clear, is known ahead of time,
22 and automatically enforced, and that is the way the
23 FTR Forfeiture Rule works, but obviously, a rule may
24 miss some specifics of particular situations.

25 A case-by-case approach in my view creates more

1 uncertainty. It increases the chances of different
2 outcomes. It is much less efficient and much more
3 time-consuming for monitors, for RTOs and ISOs, and
4 for market participants.

5 In applying a rule, it is possible to deter some
6 benign behaviour, some benign ritual activity, and it
7 is also possible to permit some manipulative
8 activity.

9 But it makes sense, again, in my view to err on
10 the side of over-enforcing rather than
11 under-enforcing - I know that that comes as a great
12 surprise to you - but the reason is that there is no
13 evidence whatsoever, and we do have a strong rule in
14 place, there is no evidence whatsoever that that has
15 deterred any virtual activity, that is, there is no
16 reason for only FTR holders on particular paths to
17 engage in virtual activity to cause or to take
18 advantage of price difference between dead and
19 real-time.

20 There are very low barriers entering that market
21 and there is no reason to believe that having a
22 strong FTR Forfeiture Rule has had any consequences
23 whatsoever.

24 The consequences of over-mitigating are very
25 small and the consequences of under-mitigating are

1 quite large as to permit the exercise of market
2 power.

3 Nonetheless, it is possible to make the rule
4 better, and I will suggest some ways to make it
5 better in the details of the conversation, it comes
6 up and we have some other more precise approaches.

7 The FTR Forfeiture Rule should be applied to
8 Up-to-Congestion transactions in exactly the same way
9 it is applied to other virtual transactions.

10 Currently, that is not the case as there is a
11 significant difference in results and my last two
12 slides just demonstrate the difference between the
13 way that PJM has applied it in a way we think it
14 should be applied.

15 The FTR Forfeiture Rule should also be applied
16 to counterflow FTRs. There is no reason that
17 counterflow FTRs should be left out of this process
18 and currently that's not the case.

19 As I indicated, I do have slides that show how
20 the FTR Forfeiture Rule works, how it would work with
21 UTCs, how it works under PJM's view of the
22 appropriate way to apply of UTCs and how it works
23 under the way the market monitoring unit thinks it
24 should apply to UTCs. Thank you and I look forward
25 to the discussion.

1 MS. SIDHOM: Thank you for the opportunity to be
2 here today. Back to our forfeiture rule. It simply
3 does not make any sense as it stands today.

4 For INC and DEC transactions, the rule takes
5 into account MIDEDEC and the worst deposing INC placed
6 by another market participant and vice versa.

7 I have no idea what that data looks like. My
8 FTR trader does not even know what my virtual
9 trader's transactions are let alone virtual
10 transactions placed that by another company.

11 There's no other market manipulation mitigation
12 rule in any market that assumes collusion and intent.

13 For Up-to-Congestion transactions, IMM proposes
14 that we take the transaction apart, pretend the other
15 side does not exist and treat it like a separate
16 INC/DEC. That is a lose-lose scenario for any entity
17 with a trading arm.

18 UTCs are less profitable than INCs/DECs because
19 they don't include the energy component, so I am now
20 putting on a less profitable transaction that has
21 twice the chance of forfeiting my FTR position.

22 The only reason I would propose this approach is
23 to kill the UTC product which it already tried to do
24 on several occasions.

25 There have been two battlegrounds to this UTC

1 debate. The first is the fee debate which is the
2 subject of the second panel.

3 But just to give you some background.

4 We have had not one, but two task forces to
5 address this issue about UTCs paying fees.

6 Both task forces were initiated by the IMM and
7 both task forces voted down the idea of UTCs paying
8 the fee.

9 I really wish we had collateral estoppel in the
10 PJM stakeholder process because we would save a lot
11 of time.

12 Market participants want a short-term hatch.
13 The uplift for INCs and DECs is too high and too
14 volatile and the credit policy is overly onerous and
15 now with the proposed change to tax UTCs at the
16 highest rate there are no other short-term products.

17 This ties into a lot of other things that the
18 Commission really cares about, infrastructure
19 development, distributor generation, and reliability.

20 There are a lot of participants out there that
21 don't have the funds to transact an FTR market. They
22 are highly leveraged due to development costs and
23 they can't get the credit facilities.

24 We get approached by wind facility owners all
25 the time that have projects that are coming on 2016,

1 the end of this year, and they want someone to
2 provide a credit backing for them so they can hatch.

3 The second battleground was ensuring that UTCs
4 and INCs/DECs have equal treatment under the rule
5 even though they are not equal transactions. This is
6 when PJM discovered how the IMM wanted to implement
7 the forfeiture rule to UTCs.

8 The debate amongst the stakeholders was not
9 about applying the forfeiture rule to UTCs, it was
10 about how the forfeiture rule is being applied in
11 general.

12 Market participants did not understand how the
13 IMM wanted to apply it.

14 All it wanted was a transparent rule and a way
15 to tell if they were tripping the rule to avoid an
16 enforcement action because the enforcement action is
17 a much bigger risk to our business than the financial
18 implications of forfeiting your FTR position.

19 The rule as designed is punitive and it hurts
20 the short-term market.

21 Furthermore, the only case as of late where we
22 have had a market participant utilizing an INC or DEC
23 to increase the value of its FTR position was the
24 Louis Dreyfus case in MISO, a market that does not
25 have a rule.

1 But if we have to have a rule, the rule should
2 only take into consideration each company's position
3 and not positions put on by another unaffiliated
4 entity that we do not have any information about.

5 The rule should also take volume into
6 consideration and right now it does not matter if my
7 DEC is 5 MW or 100 MW.

8 The rules should only clawback the increase in
9 that entity's FTR position and not the entire profit.

10 This removes the incentive for bad behavior, but
11 it does not penalize the market participant for
12 taking a short term position.

13 That is what California does. Expedite the
14 process for putting the market participant on notice
15 that they have triggered the rule.

16 Right now I do not see that forfeiture on a
17 billing statement until two months out.

18 And finally. Transparency, transparency,
19 transparency.

20 As a compliance officer in my company, I need to
21 know the screen for tripping a tariff rule and right
22 now we can't do that.

23 There are a couple of suggestions that have been
24 made in the stakeholder process that we think are
25 worth further dialogue.

1 First, is looking at a market participant's
2 entire portfolio for its effect on its FTR position.
3 I do not know what that data would look like to be
4 able to tell you, that, "Yes, that's a good idea or
5 is a bad idea."

6 We need to further explore that.

7 Second, is utilizing a load weighted LNP or a
8 generated LNP as opposed to the words opposite
9 positions as this approach could be a good
10 compromise.

11 There is one last issue that I want to set the
12 record straight on. Up-to-Congestion transactions do
13 not have a harmful impact on the market and in fact
14 the very opposite is true.

15 Up-to-Congestion transactions highlight the
16 modeling in inefficiencies in the network model and
17 they are profitable when they highlight those, the
18 modeling inefficiencies, unless they get a payment
19 out of the balancing congestion bucket.

20 I want to be very clear. They don't know that
21 that is a modeling issue. All they see is the price
22 spread.

23 But more importantly if it is not UTCs that are
24 getting paid out of that balancing congestion bucket
25 it will be INCs / DECs or for imports / exports or

1 several types of transactions that get paid out of
2 that balancing congestion bucket.

3 Those arguing that UTCs get paid out of the
4 balancing congestion bucket is harmful to the market
5 is essentially saying, "Don't take money out of my
6 pocket, take it out of theirs," and that is the
7 fundamental problem with the stakeholder process and
8 that is exactly why we need the Commission to step in
9 and ensure that if an FTR Forfeiture Rule is in place
10 that it is clear and transparent and that both INCs /
11 DECS and UTP's are incented by their appropriate
12 allocation of fees.

13 MR. SAUER: Thank you. Give us a moment while
14 we set up your presentation.

15 MR. SINGH: Thank you for the opportunity to
16 participate. I want to make three points.

17 Turning to Slide 2, my first point is in looking
18 at the big picture on the relationship between
19 virtual transactions in general which includes INCs,
20 DECs, UTCs, and uplifts, I happen to share the IMM's
21 concern that there is on the one hand a benefit in
22 terms of price formation improvement from these
23 transactions which, for example, Noha highlighted,
24 and on the other hand, there are instances where they
25 contribute to uplifts.

1 The place where I differ, and I hope this is the
2 question that someone will discuss in the second
3 panel is if, for example, you can show that virtual
4 transactions contribute to an uplift such as a
5 negative balance to congestion, should there be an
6 effort to assign that particular uplift back to them,
7 or do you want to go and double charge them for the
8 BORs, or instead make the forfeiture rule more
9 punitive to address it in a different manner, so
10 that's a question that I will put off to the second
11 panel.

12 Turning to the next slide. There has been a lot
13 of discussion on inconsistencies in the application
14 of the forfeiture rule to UTCs in these proceedings,
15 so I wanted to highlight another inconsistency that I
16 noticed and this is something that relates to the
17 definition of the FTR that is assumed in the
18 forfeiture rule and the actual definition of the FTR
19 and PJM.

20 The actual definition of the FTR and PJM is a
21 combination of day ahead and real-time but the
22 definition assumed in the application of the
23 forfeiture rule is an ideal target revenue-based
24 definition that only looks at the day ahead market
25 and the two looking at the past few years can be very

1 different.

2 I will not say anymore on that given that that
3 question relates to another proceeding except to say
4 that until one can understand what the definition of
5 the product is as it's kind of hard to discuss the
6 forfeiture rule.

7 Finally, turning to a disagreement between PJM
8 and the IMM on whether the application of the
9 forfeiture rule is being done correctly to UTCs, and
10 whether this approach that is in place now amounts to
11 a contract path approach, and ignores physics, I
12 wanted to highlight on the next slide the concept of
13 how shift factors works in a network.

14 If you have a constraint between the two yellow
15 dots and that network that you're interested in, and
16 you want to know what the impact of an injection at
17 Bus-A will be in terms of the increase in flow on
18 that line, you typically ask the question, "What is
19 the sensitivity or the shift factor or the power
20 transfer distribution factor, the PTDF, for that
21 injection at that node and that line?"

22 The answer to this question inherently involves
23 making an assumption on a Reference Bus or Slack Bus,
24 and depending on what assumption you make, you will
25 get a different answer and the approach that has been

1 in place for INCs and DECs is to make the worst-case
2 assumption so the most conservative assumption which
3 gives you the highest impact.

4 That's not something that's consistent with
5 physics. That's not how the power flows, but it's a
6 design choice and we have chosen to do that and
7 that's fine.

8 When you look at the question of UTCs you
9 actually know the location of both the injection and
10 withdrawal.

11 In this case you have two shift factors and the
12 impact of the Reference Bus cancels out, so when you
13 ask the question, "What is the impact on flow or what
14 is the sensitivity of the flow on that line or
15 constraint relative to the injection and withdrawal?"
16 the reference is irrelevant.

17 From the way I studied my electrical engineering
18 texts, and I'm happy to lend them to Joe if they will
19 help, PJM is doing it exactly right.

20 That doesn't mean that that's the choice that we
21 should make. If our objective is to make the
22 forfeiture rule more punitive and more stringent,
23 it's fine to do it as a separate INC and a DEC, but I
24 just wanted to clarify, for the record, that what PJM
25 is doing is not the contract.path approach, it is the

1 correct approach consistent with physics.

2 Thank you.

3 DR. PATTON: I will give you a slightly
4 different view than have some of the panelists.

5 There is effectively no forfeiture rule in any
6 of the markets that we monitor. There is technically
7 one in New England, but it is applied in such a way
8 that it effectively never forfeits FTR revenues and
9 we have never recommended that any market put one in.

10 It is not because it didn't occur to us to think
11 about it. Every time we have evaluated a forfeiture
12 rule, I have come to the conclusion that the costs
13 are greater than the benefits for the following
14 reasons.

15 One is, at any time we design a market power
16 mitigation rule we try to adhere to a principle of
17 designing a rule that is not going to impede
18 competitive behavior and I don't think it is possible
19 to design a forfeiture rule that doesn't impede
20 competitive behavior.

21 With regard to virtuals and the ownership of
22 FTRs, virtuals that are profitable are in general
23 competitive and beneficial to the market, they are
24 profiting because they are bringing about convergence
25 between day ahead and real time.

1 If in bringing about convergence happens to
2 increase the value of somebody's FTR, then most
3 forfeiture rules will kick in, so that violates my
4 principle right off the bat, and you could say, "That
5 is easy to deal with, just have a screen that we
6 don't forfeit FTR revenues from profitable virtuals,"
7 and while that seems like it would make sense, the
8 problem is you have to recognize that the way
9 virtuals make money as they are arbitraging day ahead
10 and real-time differences where the real-time is
11 extremely volatile, and we have had a problem with
12 congestion in particular being convertual in MISO
13 where we don't have Up-to-Congestion transactions. I
14 have been proposing them for three or four years to
15 try to resolve that.

16 What if you had congestion that on a constraint
17 were it bound 60% of the time and the shadow price
18 was \$1,000, and the other 40% of the time it is at
19 zero, so the average shadow price is \$600.

20 You see someone put in the UTC transaction
21 saying, "I'm willing to take this position as long as
22 the congestion doesn't exceed \$500," so they are
23 going to expect to make \$100 on the flow on that
24 constraint.

25 To me that is clearly competitive, so what would

1 a forfeiture role do?

2 A forfeiture rule, if I happen to own an FTR
3 that impacts that constraint, 40% of the time it
4 would look like the participant has a virtual
5 transaction that's losing money, contributing to
6 congestion and they would lose FTR revenues.

7 Now that is unambiguously bad because the
8 convergence that that transaction brings about causes
9 me to commit physical resources to help manage that
10 constraint in real-time.

11 This is manipulation and the Commission has
12 rules on manipulation and enforcement activity that
13 can easily be applied to this which is why it is not
14 necessary to have a rule and it gives you a false
15 sense of security to even have a rule.

16 What I like to tell people on the side is, "I'm
17 not worried about the bank robber who comes wandering
18 in without a mask on and stands in front of the
19 security camera," and that's effectively the people
20 that would be caught by this rule because it is very
21 easy to see what they're doing.

22 The participants I'm worried about are not the
23 ones that hold FTRs and then engage in transactions
24 that I can easily see are impacting their FTRs.

25 They are the ones that somebody else holds the

1 FTRs and they have a financial contract with them,
2 they have a contract for difference or something else
3 that is the vehicle for reaping the profit from the
4 transaction.

5 If I rely on enforcement to address that which
6 is the much more serious concern because those are
7 the sorts of strategies that could actually be
8 successful, applying that same framework to
9 strategies that would increase the value of FTRs is
10 relatively straightforward.

11 It is noted that FERC took enforcement action
12 against this sort of strategy in MISO, and I will say
13 from the time we referred it to the time the FERC
14 took action, it took a couple of years and probably
15 it could have gone quicker.

16 What that illustrates is that it is hard to
17 design a bright line test that will give you the
18 right answer, that it is fact specific, that you have
19 to look at what the prices have been, and what the
20 congestion has been in the region, to really be able
21 to determine whether the virtual strategy you are
22 seeing is actually manipulation or is not.

23 I would be happy to address the detailed
24 question on design questions during the question and
25 answer period.

1 MR. SAUER: Thank you all. Let me just follow
2 on a couple areas where I sense some possible
3 disagreements among the group and turn it over to
4 other brighter minds at the table and certainly
5 brighter minds than mine.

6 Both Joe and Stu. What seemed to be the primary
7 goal of the FTR Forfeiture Rule, an august one, which
8 is to prevent manipulative behavior from happening?

9 Are there other goals that other panelists see
10 that any FTR Forfeiture Rule should accomplish and
11 how is the application of the forfeiture rule, the
12 current application of the forfeiture rule on PJM is
13 it consistent with those goals or inconsistent with
14 those goals?

15 Volunteers?

16 MR. BRESLER: I would agree with both Dr.
17 Bowring and Dr. Patton regarding the goal of having a
18 rule. Joe referred to two types of error in the
19 rule, was it Type I, Type II, or Type A and Type B,
20 but one of them is catching the ones you should not
21 have caught and the other is not catching the ones
22 you should have.

23 As to Dr. Patton's point, the only way to
24 effectively design an FTR Forfeiture Rule in a market
25 like what PJM operates is really to catch the obvious

1 ones because the less obvious ones are going to take
2 much more analysis and you can do any bright line bid
3 by bid, hour by hour type analysis, as it is more a
4 longer-term sort of behavioural type to analysis.

5 The way I see the goal of the FTR forfeiture
6 rule that PJM has been executing is to essentially
7 filter out the obvious and to do so in a way that you
8 minimize the obvious ones that you miss and at the
9 same time minimize anything that was really not
10 intended in any way, shape or form to be manipulative
11 behavior, but got caught up in the net anyway.

12 That articulates the two goals of having the
13 rule. I don't see anything outside of those goals
14 that are specific to manipulative behavior that the
15 goal is trying to address.

16 That is really what it is limited to.

17 MR. BOWRING: We want to catch the guys who walk
18 in with not a mask as well. That is my primary
19 comment.

20 The second is, of course, and I agree with what
21 Stu said, but of course the rules don't find every
22 possible form of manipulation, that is not the
23 intent, they catch what they can and that does not
24 mean that we are not going to continue to look and
25 David is not going to look for other forms of

1 manipulation.

2 MR. SAUER: There was something indiscriminate
3 that I had heard was whether the existence of the FTR
4 Forfeiture Rule is limiting liquidity?

5 Certainly, Joe seemed to say, "No, it is not."
6 Some of the other panelists, Dave and Noha, they said
7 from what I heard, "Yes, it is."

8 Would you expand upon that and particularly
9 touch on instances where there might be limited
10 liquidity or where that rule might be limiting
11 liquidity for virtuals, UTCs that are essentially a
12 false negative or might be deterred from even
13 participating in the market for one reason or
14 another.

15 Anybody?

16 MS. SIDHOM: Essentially, if you are going to
17 participate in both INCs, DECs and FTRs, right now I
18 cannot tell if my DEC position is going to cause me
19 to forfeit my FTR position.

20 FTRs are more capital intensive. They are more
21 profitable. They are a totally different animal.

22 Why would I want to take that daily position?
23 That is probably not going to bring as much profit
24 for me if I could risk the position that is more long
25 term that I have invested more capital.

1 That is where it is hurting liquidity.

2 Market participants cannot screen for it so they
3 essentially are saying, "Maybe I will transact INCs /
4 DECs in one region of the ISO and FTRs in the other,
5 or I am only going to do one or the other.

6 MR. BOWRING: Even if that were true, and it
7 might well be, the question is: Does that have any
8 negative impact on the market? The answer is no.

9 There are very low barriers entry to
10 participating as INCs and DECs. There is reason to
11 know the company has to do both in the same area.
12 There is no reason that you cannot have different
13 participants doing both.

14 There is no demonstrable impact on liquidity,
15 and I have not heard anyone suggest any evidence that
16 there has been any impact on liquidity.

17 DR. PATTON: Yes, a couple of comments. I agree
18 100% with Joe. It does appear there are low barriers
19 to entry to INC, trading INCs and DECs, although in
20 the real world the sort of analysis that Polanski had
21 identified where to buy and sell FTRs is very similar
22 to the analysis on where you should be trading
23 virtuals, what our experience has been is that there
24 are not a huge number of companies that have
25 developed that capability at this point to do that

1 well.

2 Not obviously because the Forfeiture Rule, but
3 we have seen a number of companies feel compelled to
4 make a decision whether to trade one or the other and
5 think that that's been harmful in MISO.

6 Secondly, any rule that creates risk that is not
7 really related to the purpose of the rule is going to
8 impact liquidity.

9 One thing that seems bothersome potentially in
10 that regard with the PJM forfeiture rule is this idea
11 of choosing some other point when you are evaluating
12 the virtual position of a trader, the most harmful
13 point.

14 That most harmful point happens to be on the
15 other side of a radial constraint and I don't think
16 this has happened in PJM from what I understand
17 because very little FTR revenues are being forfeited,
18 but that assumption could cause a whole bunch of
19 people to lose FTR revenues where their side of the
20 transaction really has no impact on the radial
21 constraint.

22 It is just this other side that you happen to
23 have picked, but to the extent that would create risk
24 it is going to affect people's behavior and
25 liquidity.

1 MS. SIDHOM: First, I completely disagree with
2 Joe that there is nothing bad about people in
3 transacting splitting the market up or not
4 transacting a certain product.

5 You want to have a mix of both long-term
6 positions and short-term positions. It is better for
7 diversity for the company and it is better for
8 diversity for the market. It's just good hedging.

9 That is exactly why I said the volume piece of
10 my example, because if I have a 5 MW DEC, and someone
11 else has a 100 MW INC, and that is what causes me to
12 forfeit, why would I have ever put on that 5 MW DEC?
13 That does not make any sense.

14 If I can screen for the rule, fine, let's have a
15 rule, but do not have a rule that I completely cannot
16 screen for. That is punitive.

17 MR. BRESLER: I really have a hard time speaking
18 to the liquidity issue only because I cannot speak
19 for what market participants would have done if they
20 hadn't done what they did as it is a very difficult
21 estimation for us to make.

22 I would point out as others have said, really,
23 the sole issue that PJM has with the rule, and we
24 will get to it later, I do not want to jump ahead is
25 this issue that been brought up about the evaluation

1 of one market participant's activity against
2 another's activity to determine whether or not they
3 trigger the rule.

4 That is really problematic. It seems to me we
5 ought to have a rule that market participants can
6 determine going in whether or not they are at risk of
7 tripping and I don't think they can do that today.

8 MR. SINGH: My concern would be that a lot of
9 market participants such as ourselves are really
10 involved in trading that relies on the price
11 formation on the spot markets, but is not necessarily
12 trading in the ISOs themselves, so this is
13 longer-term.

14 To the extent there is impact on liquidity that
15 impacts price formation, that would be a concern. I
16 don't have the data, so I can't speak to it and I'm
17 not someone who is a primary virtual trader to get
18 the perspective that Noha gave.

19 MR. SAUER: This is a similar question, and
20 maybe we can flush it out a little more.

21 One thing David mentioned, and do correct me if
22 I am wrong, it sounded like one of the reasons not to
23 have a rule is because an FTR rule or a forfeiture
24 rule has been in place can possibly improperly limit
25 virtual or UTC transactions that bring about price

1 convergence.

2 I want to explore how often has that type of
3 behavior fallen under this forfeiture rule in PJM and
4 whether that is in fact having an impact on the
5 pricing of participation?

6 MR. BOWRING: Would you mind clarifying the last
7 part of the question?

8 MR. SAUER: The question is: How often are we
9 seeing INCs and DECs fall under the FTR Forfeiture
10 Rule or trip FTR Forfeiture Rule when they are in
11 fact profitable?

12 And does that have an impact on market
13 participation and price convergence and price
14 formation in general?

15 Is that clear now?

16 MR. BOWRING: Yes. I actually don't know the
17 answer off the top of my head, that is, to the extent
18 to which they are profitable, to the extent to which
19 the virtuals that are tripping over triggering the
20 FTR Forfeiture Rule to profitable.

21 As Stu pointed out, there are relatively few FTR
22 forfeitures. My last couple of slides have the
23 numbers on them and we can certainly check that, so
24 rather than speculate we can get you that answer.

25 MR. BRESLER: For the record, I do have a direct

1 answer to your question either as far as statistics
2 are concerned, but I agree with Joe, as Joe pointed
3 out, there's an evaluation as to the profitability of
4 the virtual transactions themselves in the trigger of
5 the rule that we will probably get into later, the
6 fact that although the rule could be improved, the
7 fact there is so little FTR forfeiture going on today
8 the practical impacts are relatively small.

9 MS. MASTRANGELO: The next set of questions will
10 get to the consistency of the rule as applies to
11 INCs, DECs, and UTCs. Many of your spoke to that
12 during your five minute presentations.

13 The first question: One of the potentially big
14 differences in how the rule is applied is the
15 selection of the opposite BUS, the opposite injection
16 withdrawal BUS that is paired with the transaction to
17 estimate power flows.

18 With INCs and DECs it is currently the worst
19 case scenario BUS. There has also been mention of
20 using the load weighted reference BUS.

21 For UTCs, and the transaction itself already has
22 a source and the sync, it is using the actual
23 transaction to estimate the power flows.

24 Could you speak a little as to whether or not
25 the methodologies should be applied consistently in

1 the selection of that BUS and really specifically why
2 or why not?

3 MR. BRESLER: PJM's position on the consistency
4 of the rule, is that from the standpoint of the
5 selection criteria of both the FTR paths as well as
6 the virtual transactions themselves, there is
7 consistency today between the applications of INCs
8 and DECs and to UTCs.

9 The place where there is a difference, is
10 exactly like you stated, the math behind how the
11 impact of a given virtual transaction on a
12 constrained path and an FTR path is actually
13 determined.

14 As Harry pointed out in his opening statement,
15 the primary difference between an INC or a DEC and a
16 UTC is an INC and a DEC is solely an injection or
17 withdrawal, you cannot evaluate the impact of a
18 singular injection or a singular withdrawal without
19 assuming where the injection is being consumed or
20 where the withdrawal is being generated.

21 As you pointed out, Erin, today's rule uses a
22 worst-case assumption.

23 It is not just a worst-case assumption.

24 It is a worst-case assumption of any market
25 participant's activity and that is where we see a

1 primary issue with the way the rule is applied today
2 in that one participant cannot determine whether or
3 not they are at risk of triggering the rule because
4 they have no idea what other market participants are
5 doing.

6 From the standpoint of how the rule could be
7 improved, and again, from a practical standpoint, it
8 is a small impact because so little triggers rule in
9 and of itself today.

10 The primary way the rule could be improved is to
11 enhance the way, or change the way that an INC or DEC
12 is evaluated from the standpoint of that assumption
13 as to where the energy from an INC is being consumed
14 whether the energy from the deck is being generated.

15 With PJM's primary proposal, it would be a shift
16 to a load weighted reference to be utilized for INCs
17 so that INC goes to a load weighted reference and a
18 generation weighted reference for DECs so that there
19 is a generation source for DECs that are consumed.

20 For UTC you don't need that.

21 As Harry pointed out, a UTC has a defined
22 injection and withdrawal and you cannot remove one
23 side of the UTC without also removing the other side,
24 so you know exactly where the energy is being
25 injected and where it is being withdrawn.

1 The evaluation of the impact of that UTC on
2 either a constraint or an FTR path is therefore very
3 straightforward.

4 From PJM's standpoint, that is where we see the
5 issue with any kind of consistency between the two
6 evaluations and how we would improve it.

7 MR. BOWRING: May I now prevail upon whoever is
8 doing the slides to bring up my Slide 4.

9 The slide shows an example of a UTC in the
10 constraint and the way in which we propose to treat
11 it consistent with the current rule and in how PJM is
12 treating it.

13 If you look at the UTC which is B to A, there is
14 a distribution factor at B at .5 and a distribution
15 factor at .2.

16 The result of that UTC on the system with
17 respect to the constraint is .3, it has a
18 distribution factor of .3, so the result of UTC is a
19 net injection and what we propose to do is to treat
20 that net injection just like an INC and follow the
21 rest of the FTR forfeiture rule.

22 The fact that there's a source and sync on the
23 UTC does not mean that it does not have a definable
24 electrical impact on the constraint and this is what
25 this illustrates and what we have proposed to do is

1 use .3 to .3 injection distribution factor equivalent
2 to an INC and then compare that to the worst case,
3 and in this case, the worst case is .5 and the
4 difference would be .8 and therefore would fail the
5 test.

6 PJM is simply looking at the difference between
7 .5 and .2 on the UTC identifying that as .3 and
8 saying that it does not fail the test.

9 Electrical engineers, to the contrary,
10 notwithstanding, this is the consistent way to do it
11 consistent with the INC and DEC and forfeiture.

12 If you would go to the next slide, this is
13 another illustration of the issue, in this case, is a
14 UTC which is actually sourcing on the unconstrained
15 side of the constraint and syncing on the constraint
16 side.

17 You will notice that on the constraint side, it
18 has a distribution factor of zero and that has no
19 effect on the constraint whatsoever.

20 This looks exactly like electric. It is exactly
21 like an INC on the unconstrained side.

22 We would say that the difference then is the
23 difference between the injection distribution factor
24 .25 and the worst case on the other side .5 which the
25 result is .75.

1 Whereas, the PJM approach would say, "You only
2 look at the net injection," which is .25 and ignore
3 the fact that it looks exactly like an INC and an INC
4 that looked just like the UTC would fail the test as
5 PJM applies it.

6 We think this illustrates the ways in which they
7 are not consistent.

8 We also agree, and this may be for later, we
9 also agree that there are ways to make this better.

10 There are ways to make the rule better and there
11 are ways to include portfolio considerations and
12 there are ways to include flow consideration, some of
13 the things Noha mentioned, but for purposes of
14 applying the rule as it is done right now we do not
15 think the way that PJM is doing it is consistent with
16 or the way that the INC / DEC is applied.

17 MR. SINGH: But, of course, we know that the way
18 it is being applied to the UTCs is not consistent
19 with the way it is applied to INCs and DECS.

20 We know that.

21 All of us agree with Joe.

22 The question is should it be consistent because
23 I think Joe had also made the point in his written
24 comments that there is the issue of consistency with
25 physics and how power flows and the way it is being

1 applied to INCs and DECs is not consistent with how
2 the power flows.

3 The power does not go and sync at the worst-case
4 location so it is a design choice in the end.

5 I have never been able to convince Joe otherwise
6 if he has a preference. so I will not every try, but
7 I would just state that you can look at consistency
8 in more than one way here.

9 DR. PATTON: I agree with PJM, in general,
10 choosing the worse point or the worst corresponding
11 injection or withdrawal, I cannot see how that makes
12 sense.

13 We settle with all generational load, all
14 virtuals at a nodal price and that nodal price
15 reflects the value or harm to the system of the
16 injection or withdrawal.

17 To the extent that the injection or withdrawal
18 affects congestion, it is embedded in that nodal
19 price.

20 There is no need to rack your brain about,
21 "Where's the other side of this?" The other side of
22 this is always a distributed reference BUS which is
23 what PJM is recommending for this rule.

24 I cannot see why that is not accurate and why
25 that wouldn't allow a participant to understand the

1 risk when it puts in a transaction at its location.

2 It is going to settle based on the congestion
3 component at that location then it will better be
4 able to evaluate the risk of putting it in on that
5 transaction because there is not some point, but it
6 is unaware of what is on the other side that is going
7 to be used to evaluate its transaction.

8 With regard to the Up-to-Congestion, there is a
9 reason to treat Up-to-Congestion differently and that
10 is that it is not the same as an INC and a DEC.

11 After the fact it is, but before the fact it is
12 not because these two positions are linked and an INC
13 and a DEC are not linked.

14 In other words, when you evaluate an
15 Up-to-Congestion transaction, it is logical to
16 recognize the fact that either or both sides are
17 going to clear or both sides are not going to clear.

18 In the example, the .3 that you get when you
19 take the defects of the source and sync point, that
20 is not a net injection, that is a net flow across the
21 constraint.

22 If you were to take that and treat it as an INC,
23 and pair it with a DEC, you would no longer have
24 power balance.

25 In other words, your INC and your DEC have

1 already matched each other and then you are
2 introducing a second DEC, so I am not sure how that
3 makes sense.

4 The .3 will always represent the impact of that
5 transaction, if I take away a third of a megawatt
6 goes away, if I put it on, a third of a megawatt
7 appears, so it seems logical to use that. I can't
8 see what the problem.

9 MR. BRESLER: When I put my card up, I was not
10 sure exactly what Dr. Patton was going to say, so I
11 hate to sound like I am saying, "Me too."

12 Weaving back and forth with the market monitor
13 and staff for a long long time about this particular
14 issue, I promise I will only respond once, but I want
15 to make sure that you're aware of what PJM's
16 viewpoint is on the example that Joe presented. It
17 is essentially the same as what Dr. Patton just said.

18 Once you evaluate the net distribution factor of
19 the source, and the sync of the UTC that is the
20 impact of that UTC on the constraint or on the FTR
21 path.

22 To say then that that net distribution factor
23 represents either a net injection or withdrawal that
24 needs to be evaluated against another virtual
25 transaction is to say that you actually have an

1 injection and withdrawal that is being consumed or
2 being sourced somewhere else.

3 That simply is not the case, that is where PJM
4 has been on this issue, and why we believe that the
5 UTC evaluation is consistent the way it is currently
6 execute.

7 MS. SIDHOM: Just to give you some background
8 here, when we were talking about the application of
9 the forfeiture rule to UTCs in the stakeholder
10 process, one of the concerns was, do we want to take
11 a flawed rule and apply it to another transaction?

12 That is something FERC should keep in mind, and
13 until we fix the forfeiture rule, I am not sure it
14 should be applied to UTCs. That's the first part.

15 The second part is we already know the path. We
16 cleared the path. There's no reason to take another
17 opposite position into consideration. It is not a
18 three-way transaction. It is a two-way transaction.
19

20 MR. SAUER: You mentioned the FTR Forfeiture
21 Rule is broken and I believe some of your previous
22 comments illustrated that, but I just wanted to make
23 it clear.

24 I think it was because, do correct me if I am
25 wrong. you are looking at INCs and DECs independently

1 and not looking at net impacts?

2 MS. SIDHOM: The fundamental flaw is basically
3 taking someone else's position into consideration,
4 that is the part I cannot screen for, and then also
5 not taking volume into consideration. Those are the
6 first two things that need to be addressed.

7 MS. MASTRANGELO: I just have a follow up to one
8 of the comments by David Patton. You were talking
9 about before the fact versus after-the-fact.

10 Before the fact, UTCs are different from INCs
11 and DECs because both sides have to clear.

12 Can you talk a little bit more about why that is
13 so important to not being able to split up the
14 transaction into source and sync and evaluate them
15 separately, whereas after the fact it seems like you
16 think they can be split up?

17 DR. PATTON: No, no. I am saying the INC and
18 the DEC that cleared after-the-fact you might say,
19 "Well, what's the joint impact of that?"

20 But x-ante when you are evaluating an INC and a
21 DEC, one may clear, both may clear, neither may
22 clear.

23 Always the case for UTCs is that the injection
24 and withdrawal are linked and there is no way that
25 one can clear without the other clearing, so there's

1 no reason to ever evaluate a UTC as if it is an
2 independent INC and DEC.

3 MS. MASTRANGELO: You are not saying that the
4 impact on the system has any difference between the
5 UTC and if it wasn't an INC and a DEC?

6 DR. PATTON: There are cases in MISO where
7 somebody made, because there is no UTC, somebody may
8 put in a price in sensitive INC and a price in
9 sensitive DEC, and when I say price in sensitive,
10 they are putting in bids and offers that force that
11 INC and DEC to clear so they may clear 10 MW on one
12 side of a constraint and 10 MW on the other.

13 In essence, they are trying to create a position
14 that looks like a UTC.

15 That is a case where in their minds those two
16 are tied together and maybe it even makes sense in a
17 forfeiture rule context to tie them together, but a
18 UTC is always tied together, the source and the sync
19 are always linked, you can never clear one without
20 the other.

21 So from an evaluation standpoint in the
22 forfeiture rule, the net impact of the injection
23 which is always ought to be the basis for your
24 evaluation.

25 MS. SIDHOM: I wanted to follow up on Dr.

1 Patton. Do they have the same impact on the system?

2 I cannot clear one side without the other. I
3 just want to be really clear about that piece of it.

4 The other part it is there's no impact on power
5 balance. I know the second panel will get into some
6 of that, I don't want to get ahead of them, but there
7 is no energy component, so they are fundamentally
8 different transactions.

9 I just wanted to clarify that.

10 MS. MASTRANGELO: My next question is similar to
11 this. With the UTCs we are talking about, how it
12 uses fee net distribution factor between the source
13 and the sync, but alternatively you could evaluate
14 the injection of the source independently of
15 withdrawal from the sync, the reference BUS or some
16 other BUS.

17 We have touched on this already, I realize, but
18 specifically what are the advantages of using that
19 net distribution factor for the UTCs rather than
20 independently evaluating the two sides?

21 DR. PATTON: Just to be clear. There are four
22 points involved in a UTC transaction. It just
23 happens that two of the points cancel each other out.

24 When people show the defects, the injection
25 withdrawal, you calculate those by going from the

1 injection point to a reference BUS, and from the
2 reference BUS to a withdrawal point, so the reference
3 Bus washes out and you end up with just the source
4 and the sync.

5 MS. MASTRANGELO: If you use the reference BUS
6 to independently evaluate the source and the synch,
7 you are saying it is the same thing as using the net
8 distribution factor?

9 DR. PATTON: Yes, and the only way to evaluate
10 against a reference BUS, we would need to break the
11 transaction into two separate transactions and
12 evaluate them independently.

13 The point I was making earlier is that would not
14 really make sense since they can never clear
15 independent of one another.

16 MR. BOWRING: Somewhere in there I get the
17 feeling people at least are assuming that we were
18 treating them separately, and of course, we are not,
19 but there is nonetheless a net impact of a UTC on a
20 constraint, sort of an energy balance that's about
21 the impact on the constraint and therefore it can
22 affect the price across the constraint and therefore
23 the value of the FTR.

24 MS. SIDHOM: What you are asking is, should we
25 treat this like a paired INC / DEC, and I do not

1 think we should because there I am not taking on any
2 energy risk.

3 I want to be really clear about that because I
4 think you are going to set that precedent by doing
5 that because if you do that in the Forfeiture Rule,
6 then you can also make the same argument for the fee
7 issue and that makes this whole conversation moot
8 because if you apply a punitive fee to UTCs you will
9 see exactly the same thing that happened when FERC
10 started this 206 proceeding volumes declined by 80%,
11 there was no volume in the INC and DEC market and you
12 have lost your liquidity in the short-term market
13 because you are trying to treat it like it is two
14 separate transactions, but it is not, it is one
15 transaction.

16 That has been a really big debate and I frankly
17 don't think it should be.

18 MR. BOWRING: Without getting into the
19 afternoon's panel, clearly, it is not the same thing
20 as an INC or a DEC separately.

21 It does have two sides too. It can be a cause
22 of constraint. It is not purely energy neutral in
23 all cases, so let's not confuse an issue by
24 mischaracterizing from what you see is completely
25 different than an INC or a DEC, but consists of an

1 INC side and a DEC side, and they do have to clear at
2 the same time but it can be a cause of constraint in
3 which case it could affect price, it can affect lots
4 of things about the system.

5 MR. SAUER: I do promise we will raise that
6 question to the afternoon panel. We certainly are
7 aware of the impact to the market, we want to hear
8 about that as well which should give other people
9 around the panel the opportunity to address that at
10 that time.

11 MS. COLBERT: David Patton, you mentioned UTC.
12 What we are talking about is the net flow across the
13 constraint and I think that everyone is comfortable
14 with that and when we compare that to the worst-case
15 scenario BUS, realizing that you do eliminate the two
16 reference BUSES, when you are making this net
17 difference, one of my questions has always been, "Is
18 there more than one goal to use the worst-case
19 scenario and where did the choice come from
20 originally, because as Harry Singh says, based upon
21 physics there is a reference BUS that the model uses
22 to estimate power flow.

23 I have always been curious why we take one
24 additional step since I have already solved
25 estimating power flow, are there additional goals

1 embedded into the worst-case scenario that we should
2 be considering?

3 MR. BOWRING: The reason for the worst-case
4 being selected at the beginning was precisely to have
5 a worst case.

6 What is the worst possible impact that the
7 virtual can have on the constraint and therefore the
8 respected changing the value of the FTR.

9 It was erring on the side of catching a
10 manipulation, rather than missing it, and there is
11 wrong with that, and there is nothing wrong with the
12 math or the engineering of it.

13 It simply is an assumption, and as Stu said,
14 its' a policy choice and it was a policy choice made
15 back in 2000 right after the day ahead market was
16 introduced and these issues arose and they had to be
17 addressed and the .75 is a relatively high-impact
18 number, right, so you have to meet a pretty high
19 impact test, you against the worst case distribution
20 factor of corresponding withdrawal or injection.

21 It was a policy choice and it was designed to
22 minimize the amount of manipulation, so it's
23 reasonable to question it and there are certainly
24 ways to improve the rule and looking at that may be
25 part of it.

1 MR. BRESLER: I agree with Joe, really, I don't
2 think there was any goal to be advanced in the
3 selection of the reference for INCs and DEC's, other
4 than to minimize whichever type of error is where you
5 don't catch the ones you really wanted to catch -
6 Type II - so I do not think there was anything in the
7 past. It was just an assumption that was made the
8 details behind the implementation of the rule were
9 initially designed way back in 2002.

10 Unfortunately, there are some competing goals
11 associated with that, and I think the lack of
12 transparency with respect to, again, all participants
13 activities is one of the downsides of the current
14 assumption.

15 DR. PATTON: An interesting question to ask.
16 There are only two impacts that you can get in any
17 particular case, or using the worst-case
18 corresponding DEC.

19 In the case of an INC, and that is, that you
20 would have forfeited the revenues anyway had you just
21 used the reference BUS in which case choosing the
22 worst-case point made no difference, or it actually
23 affected your decision to forfeit the revenues, and
24 in that case, you have to wonder how the forfeiture
25 is not a direct result of bad behavior at the

1 worst-case scenario point rather than the
2 participants point, so it is either irrelevant or it
3 is leading you potentially to a bad decision.

4 MR. BOWRING: If the DEC owner also owns an FTR,
5 of course, that would be considered as part of the
6 rule, so with the worst-case DEC, or INC, is owned by
7 someone who owns the FTR then, of course, that would
8 be evaluated, so I'm not sure what you meant there at
9 the end, David, but it would be addressed.

10 DR. PATTON: What I meant was, if the
11 worst-case's participant is B, and you are evaluating
12 whether to take away participant A's FTR revenues,
13 and you would not have taken them away against the
14 reference BUS, but you are taking them away of
15 participant B's activity, I can't see how that
16 forfeiture is not in fact a direct result of
17 participant B, in which case, how can it be
18 reasonable to penalize participant A?

19 MS. COLBERT: I hate to be repetitive, but
20 there's something that Noha said. I believe in your
21 opening statement you felt there was a collusion
22 component to the rule which is to some extent what we
23 are discussing.

24 So I would like to ask pointedly if you intend
25 for there to be a collusion component to the rule, or

1 if you intend to compare only, if this was a
2 consequence is my question?

3 MR. BOWRING: I don't think it is a consequence
4 at all. I am not sure where the collusion notion
5 came from, but there is no assumption of collusion.

6 This is simply math that asks what is the worst
7 case withdrawal corresponding to injection and what's
8 the worst-case injection corresponding to withdrawal
9 does not assume anything about collusion.

10 MS. SIDHOM: It does assume collusion. It
11 assumes collusion because it is basically saying,
12 "Here is your transaction and someone's transaction
13 and now you are going to get punished for that
14 behavior.

15 It assumes that I am going to gain some sort of
16 profit from participant B's transaction, but I do not
17 even know what participant B is doing.

18 MR. BOWRING: That is not collusion.

19 MS. SIDHOM: It is assuming that both parties
20 colluded to that and then you suffer the consequence.
21 That is collusion.

22 MR. BOWRING: It is not.

23 MS. SIDHOM: I guess we will not get far about
24 what collusion is, but I think you get my point.

25 DR. PATTON: Maybe I can mediate this.

1 In my example where you are penalizing
2 participant A because of participant B, the only way
3 that can be reasonable is if you do the same for
4 participate A and B are acting together, otherwise it
5 is just arbitrary and capricious to penalize
6 participant A.

7 MR. SAUER: I don't know if that mediated it, if
8 that is mediation, I would hate to take a side.

9 MR. BRESLER: I was going to try to get away
10 from the terminology of collusion as well which is
11 what David went by, the attempt to mediate.

12 We said it before. I hate to sound like a
13 broken record. You need make an assumption as to
14 where the energy from an INC is being consumed, the
15 energy going to a DEC is being generated.

16 There needs to be an assumption as to what that
17 is. I agree with Joe. The intent of the original
18 design of the rule was because of the relatively high
19 threshold of impact to make sure that we didn't miss
20 anything that was really representing manipulation.

21 PJM's opinion at this point is that we probably
22 went too far with that because we are evaluating one
23 participant's activity against somebody else's of
24 which assumably they have no knowledge.

25 If they do have knowledge and they are trying to

1 inflate their FTR values by virtue of their combined
2 activity, that sounds a lot, and I do not know what
3 other term I would put on it other than collusion,
4 but that is what that would represent to me.

5 I will not go as far as saying that the original
6 design of the rule was an attempt to identify
7 collusion per se, but that would be the impact of
8 getting caught in that type of a scenario.

9 From the standpoint of looking at participant by
10 participant, getting all affiliates all combined into
11 a single entity, right, participant by participant
12 behavior, and whether they are engaging in
13 manipulative behavior we ought to be looking at each
14 market participant's activity as opposed to one
15 participant's against another's.

16 MS. SIDHOM: It is important for us to take a
17 step back about when the rule was implemented.

18 We are talking before e-PAC 2005, before a very
19 robust enforcement office and so it made sense to
20 have something that was more all-encompassing and it
21 was also done very quickly.

22 I went back and did some research on the docket
23 in the stakeholder process at that time, and
24 essentially, Stu correct me if I am wrong on this,
25 PJM saw that bad behavior in early December and made

1 the filing in late December.

2 They were trying to come up with a solution to
3 stop that bad behavior because they did not have the
4 enforcement that we have today.

5 MR. BOWRING: It was quick because we know that
6 PJM never does rule changes quickly as a general
7 matter, so that clearly stands out as a counter
8 example.

9 I am sorry, I just lost my train of thought.
10 Never mind. Thanks.

11 MR. BENNETT: My understanding is that the
12 Forfeiture Rule does not account for portfolio
13 effects of a participant's activity, so setting aside
14 collusion, and if we move away from the worst-case
15 scenario, do we still need to take into effect the
16 account portfolio impacts of a participant's
17 activity?

18 MR. BOWRING: We have spent some time thinking
19 about how to make the rule better, we do think it
20 should be made better.

21 We do think it should be made better, but it has
22 been the same for quite sometime and we do think it
23 needs to be made more sophisticated.

24 One way we think to make it more sophisticated
25 is to take account the entire impact of the

1 participant's portfolio and submit that along with
2 every other aspect of what we do think, that it is
3 appropriate to look at portfolios and not simply
4 adding actually a current rule but as part of
5 rethinking the rule.

6 MR. SAUER: Let me clarify. Correct me if I am
7 wrong, but one approach to that would be to redefine
8 the worst-case to that entire market portfolio.

9 Are there better ways to do that?

10 MR. BOWRING: Yes, I agree that the part of
11 re-evaluating the rules, looking at the .75, and
12 looking at the worst-case, without any question, that
13 is one of the things that has to be looked at.

14 The entire rule needs to be rethought. We need
15 to figure out whether there is a better way to get to
16 the intended result which is to have a strong rule
17 against manipulation.

18 It's important to have rules rather to simply
19 have case-by-case. We don't want every case to be
20 the two-year process that David went through and what
21 my facility described.

22 You want to have it be automatic and there are
23 some limits to that, but I think it's a much better
24 more transparent approach for the market.

25 MR. BRESLER: PJM stops short of saying that we

1 need to overhaul the rule that we have today.

2 As I said in my opening statement, we do think
3 that the rule has achieved its objectives and it
4 continues to do so because of its intended goal.

5 It is intended to find the guy without the mask,
6 that is right in front of the security camera, it's
7 the relatively obvious manipulation recognizing that
8 there are other ways especially with the evolution of
9 various monitoring capabilities in the Office of
10 Enforcement to look for more pattern behavior,
11 sustaining behavior, collusion, and those types of
12 concerns.

13 There is already some portfolio affect
14 evaluation because, again, we are looking at not just
15 a participant's INCs and DECs against each other, but
16 also against everybody else.

17 That needs to be improved so that we are looking
18 at participants, but by taking each individual in
19 account and evaluating it against that participant's
20 worst-case INC, or DEC, that would be a portfolio
21 approach if we decided we needed to go all the way to
22 that extreme.

23 Trying to expand the rule, if you will, to even
24 more types of portfolio approaches, really risks
25 probably more than we want to the other type of error

1 which is catching market activity in the net, and you
2 don't really want to, because you cannot really say
3 with any reasonable certainty that it is representing
4 manipulative behavior.

5 That's the risk of going more towards and
6 becoming even more comprehensive, if you will, as to
7 how you do these evaluations.

8 Looking for the obvious and the outstanding is
9 really the intent of the rules we have and what it
10 really should be.

11 MR. SINGH: By portfolio, do you mean looking at
12 the portfolio of virtual transactions, so for
13 example, if I have an INC and a DEC, you could ask
14 the question? "Should that be treated like a UTC
15 because you have both the source and a sync now?"

16 Conversely, did you mean by portfolio, Portfolio
17 of the Arts, where you are increasing the value on
18 one and decreasing the value in another, the
19 application of forfeiture?

20 MR. BENNETT: My question is more towards the
21 portfolio, virtual transactions and not looking at
22 the FTR is one.

23 DR. PATTON: It does make some sense to look at
24 the portfolio if you thought this process is going
25 on.

1 The problem is, you still cannot get away from
2 the essential point that you are going to have false
3 positives, and the more you look at the portfolio,
4 and select out individual transactions to pair
5 together the more false positives you are going to
6 get.

7 Let me tell you how I think about this in MISO.
8 The logic applies exactly to the Forfeiture Rule.

9 When I look for virtuals, I look for virtuals
10 that are losing money over some period of time, not
11 at one point in time, but either dramatically for a
12 short period or at small levels for a long period of
13 time.

14 I try to figure out why they are losing money
15 whether it is the energy component or the congestion
16 component, are they contributing to congestion and
17 then if they are contributing to congestion and
18 losing money, I am still not even close to
19 identifying whether this is manipulation.

20 I then evaluate the bidder offer price, and I
21 say, "What has the real-time price been at this point
22 during these types of hours for the last few days or
23 a week or more, and if the virtual transactor is
24 putting in an offer price that represents a
25 reasonable expectation of the real-time price, then I

1 say, "That is what I expect competitive virtual
2 traders to do."

3 On the other hand, if they are putting in a
4 virtual load, and saying, "I'm willing to buy at \$100
5 when the real-time price has been \$30," or you are
6 willing to buy 1,000, basically an offer price, that
7 is forcing the transaction to clear and then the
8 transaction is losing money. Then you start to have
9 an indication or you have a pretty good indication
10 that you might have manipulation.

11 All of those things have to be the case.

12 Then we have to do some other evaluations of how
13 that affected positions they may have and so forth to
14 get to a manipulations finding.

15 If I were designing a forfeiture rule, I would
16 want exactly the same criteria in there to avoid
17 mitigating people who are not actually engaged in
18 manipulation.

19 My personal opinion is almost nobody is doing
20 this because they recognize that it is easy to spot
21 and having your FTRs forfeited has reputational
22 effects plus it doesn't exempt you from having FERC
23 Enforcement come after the fact and impose a penalty
24 on you.

25 If we live in a world where nobody is doing

1 this, then you would want to be pretty content that
2 you are designing a forfeiture FTR that is very
3 surgical and you know you are catching somebody who
4 is actually engaged in bad behavior before you start
5 Forfeiting FTR revenues.

6 MR. BOWRING: On the last point. There is a
7 reason that no one is engaging in the behavior and
8 that is in large part because the rule exists.

9 You take away the rule. Behavior is going to
10 change. You cannot observe the behavior and then say
11 people should behave the same way, but if for the
12 rule had not existed.

13 The rule clearly does change people's incentives
14 and does change people's behavior and people will
15 stay away from engaging in transactions that they
16 think run the risk of forfeiting FTRs and that is a
17 positive in my view, a positive outcome of the rule.

18 DR. PATTON: Let's be clear. I was saying that
19 I don't believe the conduct exists in the markets we
20 monitor none of which have this rule.

21 MS. SIDHOM: I do not think you have to have a
22 forfeiture rule that is preventing behavior from
23 happening in the market.

24 It is exactly what Dr. Patton said which is, it
25 is too easy to spot and people don't want the risk of

1 an enforcement investigation.

2 Having a rule in place, I am not getting
3 immunity from the office on enforcement or if I am,
4 somebody should tell me that.

5 I do not think that is true.

6 What it is doing is disincenting market
7 participants from participating in the short term
8 market.

9 To your question, I don't have a good answer for
10 that because I don't have the data, but I would be
11 really careful to have a rule that covers more than
12 what is already covered.

13 Because that was not really the original intent
14 of the rule as I think it has more damaging impacts
15 on the market.

16 Dr. Patton does well with all of those things
17 that he looks at. But that is an analysis that has
18 to be done by a person who is looking at people's
19 positions for a certain amount of time.

20 That's why we have an IMM, an IMM with a very
21 healthy budget by the way.

22 MR. BOWRING: A lot of what is being talked
23 about here is really the tension between having a
24 rule and having enforcement actions.

25 I do find it hard to believe that you know how,

1 or David, believes it is really more efficient and
2 effective to do individual enforcement actions
3 incentives to have a rule.

4 It is very hard to make that case.

5 Whether you think the rule should be fixed, or
6 modified, that's fine, obviously reasonable minds can
7 differ about that, but the notion that individual
8 enforcement actions are a substitute for rules, I
9 find it astonishing particularly given some of the
10 complaints about individual enforcement actions and
11 people's inability to understand them.

12 If there is a rule, it's clear.

13 You can argue about the rule, but the rule is
14 clear. It gets supplied automatically. It seems to
15 me that is a significant benefit to the market.

16 MS. SIDHOM: What I was saying is, it is not the
17 rule that is the deterrent. It is the enforcement
18 action that is the deterrent.

19 Because the rule enforcement, my position is,
20 great, take the money, I do not want the reputational
21 risk of an investigation.

22 MR. SAUER: Let me go back to a point that Stu
23 and David made. I am probably just being daft, but I
24 want to better understand it, and that point was,
25 would applying a portfolio approach for an FTR

1 Forfeiture Rule, what it sounds like is by definition
2 will be a stricter rule or a stricter interpretation
3 of the rule and you will have more false positives
4 from what I understood.

5 Let me tell you exactly where it is I am
6 confused. There are probably multiple ways to
7 implement it, and I may be thinking of one that is
8 overly simplified and won't work, but certainly under
9 their current approach you are looking at the worst
10 case of a market behavior, clearing some DECs from
11 the system so you were to look at just the clearing,
12 so you were to redefine that worst case to clear INCs
13 and DECs for only that market or for affiliates for
14 that matter, that would seem to be a Looser rule or a
15 looser screen in my simple interpretation, but please
16 correct me and let me know if I am looking this in
17 the wrong way.

18 MR. BRESLER: You characterize it as a looser
19 rule or a looser implementation of the rule.

20 If I utilize just a market participant's
21 portfolio, virtual transactions to do the analysis as
22 opposed to that participant against everybody else's
23 worst case, I do not want to quibble with your
24 terminology, so please don't take it that way.

25 To me it is a much more appropriate

1 implementation of the rule because, again, what you
2 are looking for, or at least the goal of the rule is,
3 we have all agreed it is the goal of the rule is to
4 identify manipulative behavior on the part of a
5 market participant.

6 I don't see how that market participant can
7 engage in manipulative behavior with respect to
8 virtual transactions that are made by every other
9 market participant in the market, so I think you have
10 characterized it as bit of a looser rule because
11 there is less chance that they would get caught up in
12 it because by utilizing every market participant's
13 worst case, you cannot possibly find more with less
14 impact than that market participant's own portfolio.

15 What you can find with using that portfolio is
16 one has less impact than everybody else's does.

17 Understand why you say that, and I think that it
18 is true from the standpoint of you would identify
19 less forfeiture candidates by changing the rule that
20 way, but again, unless the rule is designed to look
21 for the interaction of multiple market participants
22 virtual transition activity, transaction activity on
23 a single market participant's FTR values, I don't see
24 the appropriateness of using that worst-case scenario
25 assumption for all market participants.

1 DR. PATTON: If you're just looking at a single
2 participant's portfolio, let's say that it is the
3 worst case point that is causing you to want to take
4 FTR revenues away associated with some DEC over
5 there, it seems like having a forfeiture rule where
6 you take away FTR revenues because of the transaction
7 that is actually at the worst point.

8 It already accomplishes what you need to
9 accomplish. You don't have to pair that point with
10 other points necessarily. You can look at each
11 transaction independently and get a reasonable
12 outcome.

13 MR. BOWRING: I agree with you for the reasons
14 that Stu was referencing, that it is looser, if you
15 just take it, a standalone and you substitute what is
16 in the portfolio for the worst-case.

17 As Stu said, the worst you can do is to have the
18 same worst case, so INC or DEC.

19 But by looking at the entire portfolio you are
20 potentially strengthening the rule. It needs to be
21 through. It needs to be scouted out carefully, and
22 in addition to listen to the portfolio it also makes
23 sense to look at the impact on a constraint.

24 I said at the beginning where you have a tenth
25 of a megawatt impact on 100 MW constraint that

1 probably should be looked at differently than a 10 MW
2 impact on a 10 MW constraint or on a load MW
3 constraint.

4 We think all of that is part of rethinking the
5 rule.

6 MS. SIDHOM: I think John and I disagreed on
7 some things. As to your question, we need to do more
8 analysis on some of these before we can make a
9 determination because we don't know what that
10 portfolio effect is going to do, so some historical
11 analysis is necessary.

12 MS. MASTRANGELO: Let me circle back on the
13 consistency issue and close out this section.

14 From what I am hearing, there is somewhat
15 agreement that the rules should be equally applied
16 and the disagreement is over how that should be done.

17 This might be a short answer, but one of the
18 consequences to applying the rule differently, maybe
19 the FDC does it as INC / DEC specs, is the
20 strictness, one might be kind of what we have been
21 talking about that might over identify cases and
22 another might under identify.

23 Is it important that any rule has the same level
24 of stringency on both, or is there any justification
25 for a rule applied to UTCs to be more strict or less

1 strict than a rule applied it INCs / DECs?

2 MR. BRESLER: My opinion is, I don't see a
3 reason why one would need to be more strict or less
4 strict than another. They are both different forms
5 of virtual activity, but they are fundamentally
6 different forms of virtual activity for the reasons
7 we have discussed.

8 There needs to be a difference in how the impact
9 of one or the other is evaluated because of the
10 fundamental differences of the products themselves,
11 but I don't see one product or the other being at
12 more risk, if you will, of being utilized for
13 manipulative behavior, and therefore, one evaluation
14 needing to be more or less strict than the other to
15 use your terminology.

16 MS. MASTRANGELO: This is kind of the same
17 point, but is it important for them to be the same
18 levels of strictness?

19 Kind of the same question.

20 MR. BRESLER: Yes, the evaluation should be
21 consistent, yes.

22 MS. MASTRANGELO: Yes.

23 MR. BRESLER: The question is in the detail of
24 how you determine what the impact of one or the other
25 is, but yes, the evaluation should be done on a

1 consistent basis, yes.

2 MR. BOWRING: Not to belabor that. Yes, I agree
3 with that, and part of the reason is so you are not
4 creating artificial incentives to engage in one form
5 of transaction over another.

6 MS. SIDHOM: The rules should be the same level
7 of strictness. I do agree with Joe that you want to
8 incent both types of transactions.

9 There has been a lot of discussion on the
10 stakeholder process for the second panel, but
11 essentially, a market participant is intended to do
12 more UTCs is because the rules are less strict
13 because there is not a fee, that is not the case.

14 All of my UTC guys were former INC and DEC guys.
15 It is just no longer economical to do INCs and DECs.

16 PJM's approach of applying that FTR Forfeiture
17 Rule to UTC is consistent to its application of
18 INCs/DECs. It is just that with one transaction you
19 have to make an assumption and with UTCs you do not
20 have to make that assumption. You already know the
21 process.

22 MR. SINGH: It is an excellent question, but it
23 really comes down to what is the right level of
24 strictness for the rule.

25 If you believe the current application to INCs

1 and DECs is the right level of strictness, and I
2 heard Dr. Patton essentially classify that as an
3 arbitrary and capricious rule absent a showing of
4 collusion, I guess Joe is right, then the application
5 to UTCs would have to be done in the same way as it
6 is done for INCs and DECs.

7 But if your answer is that that level of level
8 of strictness is not the correct level of strictness
9 or it is more important to be consistent with physics
10 and how power flows, then you would reach a different
11 conclusion.

12 MS. MASTRANGELO: Yes, I agree, that concludes
13 the consistency injection, and to your point, after
14 the break we are going to be talking more about
15 design issues and that gets into more of what should
16 the rule look like.

17 Perhaps my colleagues have some questions more
18 on the consistency and if any of the panelists want
19 to make any last comments specifically on consistent
20 treatment issues?

21 Then, we are finished.

22 MR. SAUER: Hearing none, we will take a
23 15-minute break. I see 10:48 as our target return
24 time, so do please try to be precise.

25 (On resuming after a recess.)

1 MS. COLBERT: We will talk about the design
2 issues. Let us revisit what we have already been
3 discussing which is portfolio approaches.

4 I though maybe a good place to start was to
5 direct questions first to Harry and Noha, but, of
6 course, this is open to anyone on the panel.

7 Noha, you suggested that we take a step back
8 from 2000 to revisit 2015 and see how things are
9 going on in the market.

10 I understand, when the rule was created we may
11 not have contemplated portfolios.

12 Can you discuss how trading currently in the
13 markets is being done for the virtuals and UTCs? It
14 is, at least in some of our world views, that they
15 are in fact trading on portfolios where some of the
16 portfolios may be FTR based, some may be virtual
17 based, but that the portfolios are being optimized
18 across all the transactions for a profit perspective.

19 Is that a fair assessment of the markets or
20 would you have us characterize it differently?

21 MS. SIDHOM: I have a virtual trader and I have
22 an FTR trader. They do not really talk, not
23 necessarily because we prevent them from talking, but
24 most medium-size shops are taxes, the traders are not
25 working until they have made it into their own books.

1 There is my virtual portfolio and that could
2 include up to the INCs / DECs and when we look at
3 portfolio in that sense we are looking at the risk of
4 the portfolio, we are looking at the credit for the
5 portfolio, so that is a portfolio analysis we do.

6 Then in our internal risk system like the back
7 office people, we will take a look at, "Do we have
8 any virtual positions that could have an impact on
9 our FTR position?"

10 We try to avoid triggering the rule, but that's
11 done in the background and the traders do not see
12 that piece of it.

13 But as far as the portfolio as fact now, on how
14 much forfeiture would occur in the market, that is
15 data that we do not have access to partially because
16 of this whole third-party dynamic.

17 That's the portfolio analysis we run.

18 I don't know that it is two separate analyses
19 and then see if there is any issue that could trip up
20 any triggers. That is pretty much the extent of how
21 we analyze it.

22 MR. SINGH: I don't believe I have anything else
23 to add.

24 MS. COLBERT: Not a problem. We appreciate it.
25 In all of your opinions you have said that you have

1 been discussing the stabler process about considering
2 a portfolio approach.

3 We would like to get some insight into some of
4 those discussions and what you think whether or not a
5 portfolio approach should be integrated into the
6 rule.

7 MR. BOWRING: Yes, we have been thinking about
8 ways to improve the rule to make it better to make it
9 a little more sophisticated.

10 We do think that for the entire portfolio it
11 does make sense. It would be possible, if you put
12 your mind to it, to put in multiple links each with a
13 very very small distribution factor or constraint
14 which collectively could have a bigger impact.

15 Just taking an obvious example, clearly, it
16 makes sense to look at the portfolio and is exactly
17 what the end rule looks like.

18 We are not quite there yet, but it is pretty
19 hard to see why it would not make sense to look at
20 the entire portfolio.

21 MR. BRESLER: From PJM's perspective, we go into
22 this evaluation with a presumption that the vast
23 majority of the market is competitive and liquid at
24 the various locations on the system.

25 I go back to the original design and intent and

1 purpose of the rule which was to find those outlying
2 locations and that outlying activity that was
3 definitively manipulative in nature, so to make sure
4 we catch as many of those as we possibly can, but
5 also on the other side, that do not catch market
6 participant activity that is competitive, and is not
7 manipulative and has, again, the inability to be
8 competed away by other market participant activity.

9 The concern we would have with taking a more
10 sort of system wide aggregate, if you want to call it
11 portfolio approach toward designing the rule, is we
12 would stray from the original intent of what the goal
13 of the rule is and significantly increase the risk of
14 catching more participants in the net than what we
15 really want to, what has been called false positives,
16 during the earlier discussion this morning.

17 DR. PATTON: The significant missing screen that
18 we apply that is not part of this rule is the
19 expected profit or loss from the transaction.

20 It is useful to look after the fact, and say,
21 "Did the transaction make money or lose money?" but
22 that's really not appropriate because you really have
23 to look on the next ante basis, and say, "Given the
24 bidder offer price was this transaction rational?"
25 For that reason we have only been able to usually

1 screen a virtual transaction on a transaction by
2 transaction basis.

3 It might be useful later in an investigation to
4 combine transactions, but you can't have any
5 meaningful expected probability screen on a portfolio
6 because each transaction that is an evaluation that
7 has to be done based on the offer bid price of the
8 individual transactions.

9 MS. SIDHOM: You are asking about the
10 stakeholder process regarding this issue.

11 There is a task force that is supposed to look
12 at that task forfeiture rule and it has not met since
13 last February.

14 It just has not been a very pressing issue, and
15 frankly, the application of the forfeiture rule is a
16 moot point if we do not get the fee point right, so
17 we focus most of our attention in the EMU Task Force.

18 MS. COLBERT: Thank you for the explanation
19 about the profitability screen. I recognize that
20 there is value in that, but I will transition a
21 little bit away from that because currently PJM does
22 not incorporate that.

23 I want to focus more on Stu, that you don't look
24 at some of these liquid hubs in the way that the rule
25 is intended. It already excludes certain kind of

1 transactions.

2 If we were to look at the net flow of a market
3 participant's portfolio of a virtual action on a
4 given constraint, would you want to retain that same
5 thought process or would moving to this net flow
6 approach mean losing most of that foundation that you
7 already have with excluding the liquid hubs?

8 MR. BRESLER: Yes, the exclusions really served
9 to highlight the intent of the rule, again, that is
10 going to presumption, and then going in presumption
11 was where you have liquidity in competition at
12 locations on the system where you can, obviously, say
13 that that is the case and there is no reason why that
14 should not be the case, why even look at them. That
15 was explicitly recognized in the original design of
16 the rule.

17 The significant risk is, and in his opening
18 statement Dr. Patton referred to it as a cost-benefit
19 type analysis.

20 The significant risk with expanding the rule to
21 include portfolio effects, that impacts a lot of
22 virtual activity on FTR positions or on constraints,
23 and then FTR positions like I said significantly
24 increases the risk that you are going to catch more
25 in the net than you really need to because it really

1 did not represent manipulable behavior in the first
2 place.

3 MR. BOWRING: We are in the early stages of
4 thinking and talking about how a portfolio approach
5 would work, but to rule it out because we might do it
6 badly does not make sense. Of course, it could be
7 done badly but I think it could be done well.

8 The goal is not to significantly increase the
9 amount of people we are catching. It is to make sure
10 that we are not missing anything.

11 There is a reason why under the current rule
12 with the .75 in the worst case you have excluded hubs
13 and zones, but whether that makes sense in our
14 portfolio approach needs to get talked about.

15 It is in the early stages of it and so it
16 certainly makes sense to think about the portfolio
17 approach and analyze it carefully and do some
18 sensitivities to see if we think it works.

19 And that includes everybody.

20 The goal is to make it work for everybody so it
21 should be reasonably transparent to market
22 participants and people should not feel like they are
23 being penalized unfairly and at the same time the
24 goal is to protect the market from manipulation.

25 MS. COLBERT: Thank you very much. I understand

1 that this may not have been fully vetted already, but
2 I am asking you for your opinions as industry
3 representatives.

4 From your own opinion, what exemptions do you
5 think, if any should, and when I say exemptions, let
6 me clarify because there may be confusion.

7 When I say exemptions, what I am hearing is any
8 virtual transaction that is done at a zone hub,
9 liquid point, is not being evaluated under the rule.

10 There are other scenarios where there may be
11 other virtual transactions that are from the
12 beginning excluded from being evaluated under this
13 rule.

14 We would like to better understand how that
15 evaluation is done currently and how it might change
16 if you did a portfolio approach?

17 Might it not make it easier to just clarify for
18 transparency across the board what virtual
19 transactions, in addition to the liquid points to
20 those cleared to the liquid point, are not evaluated
21 currently under the rule first, then we can build up
22 on that and discuss how it might change if you looked
23 at the net flow of the portfolio.

24 MR. BRESLER: Under the current rule, aside from
25 the virtual transactions that are at those points,

1 you mentioned a rule at hubs, interfaces and zones,
2 virtual transactions that serve to relieve the flow
3 on a binding transmission constraint, are not
4 evaluated for FTR forfeiture because, again, the rule
5 is intended to look for transactions that increase
6 congestion in order to increase FTR values.

7 We do not look at constraints on our regional
8 transfer interfaces, so those 500 kV transfer
9 interfaces, again, because they involve such a wide
10 swath of the transition system we do not evaluate
11 anything on those constraints.

12 But those are the exemptions that I can think of
13 from the standpoint of the bids or the constraints
14 that we look at today.

15 It is very difficult to speak for how a
16 portfolio approach might look at exemptions because I
17 am not sure if you are going to look at an entire
18 portfolio transaction activity, if you would want to
19 exclude certain transactions, you only look at the
20 rest or if that would defeat the purpose of the
21 portfolio evaluation or not, so it is difficult to
22 speak to that.

23 MR. BOWRING: What I would add that complements
24 on what is being left out, it is not only effectively
25 the counterflow of INCs and DECs, that is in large

1 part because counter flow FTRs are not being
2 evaluated, so it is a question about whether
3 counterflow FTRs should be ignored by the rule which
4 they are at the moment.

5 MS. SIDHOM: I agree with the counterflow
6 exemption. It should remain because counterflows
7 already take a lot of risk.

8 We want to encourage them in the market because
9 they encourage prevailing flow and it is a good
10 exemption to have.

11 Then look at the second exemption that we talked
12 about which is zones and hubs.

13 Why do we have that exemption. We have that
14 exemption because of the liquidity, so what we really
15 want to do is incent more liquidity and essentially
16 prevent the need for and one of the ways we can do
17 that is to fix the problems with INCs and DECAs, but
18 also expand the UTC product.

19 When FERC said, "Go for it, then come up with a
20 congestion product," they said, "Give market
21 participants an opportunity to bid on congestion the
22 same way energy market participants can bid on
23 energy."

24 What we have now is a product where you can bid
25 on congestion at 400 points out of 6,000.

1 I don't know that it's very robust, and if you
2 had a more robust UTC product, essentially, you don't
3 need the forfeiture rule because you are going to
4 have so much liquidity in the market that if somebody
5 is trying to put on a position that is going to lose
6 money, the market is going to push against that, so
7 it will be a self-correcting problem.

8 But the exemptions, going to your question about
9 the portfolio, we need to study that more but keep
10 the exemptions.

11 DR. PATTON: Largely, I agree with that. It is
12 important to recognize that this strategy is
13 impossible, right, in a liquid well-functioning
14 market.

15 It is impossible because every transaction that
16 I would try to do that loses money creates profit
17 opportunity for everyone else in the market to come
18 and basically sell me virtual power because I am
19 willing to buy it irrationally or sell it
20 irrationally.

21 Really, the only places where this is a possible
22 strategy is at the illiquid points, so the exemption
23 for hubs is very rational and is an important
24 component of the rule as it helps prevent forfeiture
25 of competitive revenue.

1 DR. BOWRING: Let me just comment about whether
2 that characterization of when this issue can arise is
3 correct.

4 Certainly, there is a liquid virtual market, I
5 can take an irrational position. There are lots of
6 people willing to take the other side, but the
7 question is, "Why am I taking that?"

8 I am taking it because I have a short-term
9 monopoly position on it and FTR.

10 I have FTRs on the path that nobody else can get
11 for at least a month or for the balance of the month,
12 so it's important to remember both sides of that,
13 that the reason I'm taking what looks like an
14 apparently irrational position in the virtual market
15 is precisely to lever my FTR position.

16 The fact the INC and DEC market, or virtual
17 market, is very liquid does not mean that the
18 incentive or the ability to affect the value and the
19 FTR goes away.

20 MR. BRESLER: Dr. Patton and I are ready to jump
21 and say something similar. I am not sure that the
22 point of liquidity was that there was always somebody
23 willing to take a position on the other side.

24 What we are looking for, as far as manipulative
25 behavior here, is the ability to consistently elevate

1 congestion along a participant's FTR path above what
2 would otherwise happen and above what happens in real
3 time.

4 The point of liquidity is that as soon as
5 somebody does that in a liquid area of the system
6 with a lot of competition, somebody else will come in
7 and compete that away because there is an opportunity
8 to bring that the day ahead and real-time back
9 together again.

10 That was the point of the liquidity and the
11 competitive nature of the virtual trading.

12 DR. BOWRING: Not to belabor this too much, but
13 as we know from looking at the way real people behave
14 in the markets, it is not instantaneous.

15 There's always a lag. There is an information
16 lag. It takes time. In fact, if you have multiple
17 FTRs you can switch your virtual positions around to
18 take advantage of what we see and we see people do
19 that.

20 While a perfectly liquid instantaneous market
21 would solve the problems in the way described, the
22 actual market not matter how liquid will not because
23 of the timing differences in the lags.

24 DR. PATTON: I have to disagree with that. If I
25 look at a hub and somebody says, "I am willing to buy

1 power at \$1,000," to me that is going to look
2 irrational and maybe it will affect an FTR position.

3 The problem is that with a liquid hub you have a
4 bunch of bids and offers sitting there so real-time
5 price averages \$40 at that location and somebody is
6 willing to buy for \$1,000, that looks irrational.

7 It would be problematic if they cause congestion
8 that caused the price at that location to go from \$40
9 to \$200, but it doesn't cause prices to go from \$40
10 to \$200 because there is a virtual supplier sitting
11 there saying, "I'm willing to sell for \$42 and
12 another on at \$43," so that irrational buyer ends up
13 buying, but not having the impact on the market
14 because there are bids sitting there waiting to sell
15 to him and there is no lag.

16 That's the point of the liquidity. Where there
17 is a lag is at illiquid points where they can put a
18 price in a node that is maybe not heavily traded or
19 the area is not heavily traded, so it takes a while
20 for the other virtual traders to spot the divergence
21 and then be drawn in. But that's not the case. That
22 should not be the case at hubs.

23 DR. BOWRING: I agree with the last point, and
24 that is, that is the reason for the exemptions at the
25 super liquid hubs, and trading points, there is

1 enough activity such that it is very difficult for a
2 small one individual participant to move the price
3 but that is clearly not true with all of the other
4 nodes.

5 MS. SIDHOM: The response time issue is
6 something that I have always been really interested
7 in is how long does it take, just by looking at it
8 from what we can see, and discussing it with my
9 traders. it is basically about two days when it is in
10 a illiquid path that they can respond and they can
11 see the shift in the market.

12 It is not a very long lag time.

13 MR. SINGH: I don't have anything to advocate
14 here, but I generally agree with the exemption on the
15 hubs and the more liquid points because I see the
16 rationale for that.

17 Clearly, as we heard from Dr. Patton in some
18 markets we do not even have the rule in the first
19 place.

20 It is in the case that an exemption does not
21 have something else to rely on in dealing with the
22 underlying concern.

23 What is more interesting to me is the exemption
24 for the counterflows and that issue figures in a
25 number of proceedings where if you have efficient

1 transactions that help reduce congestion as people
2 admit the case that there is not the same
3 manipulative concern as you would if you had an
4 inefficient transaction using a congestion.

5 It is not that I have a view at this point one
6 way or another, but I would be curious as to what has
7 changed since when the exemption was put in place to
8 today that has caused Dr. Bowring to now suggest that
9 it should be rescinded?

10 MS. COLBERT: A great question.

11 MR. SINGH: This being the exemption for
12 counterflows, should the forfeiture be applied --

13 MS. COLBERT: Perhaps let me readdress the
14 question as I also have that question, so we thank
15 you for bringing it up.

16 You suggested that you advocate or support
17 counterflow component to the rule and when the
18 exemption is relieving congestion.

19 If we incorporated counterflow at FTR positions,
20 we are looking at virtual trading that relieves
21 congestion in order to increase the value of those
22 positions.

23 Harry will ask, what has come about for you to
24 now support that where it seems it wasn't previously
25 considered a part of the rule.

1 DR. BOWRING: We have been saying it for a long
2 time. It was just ignored. It was ignored at the
3 outset. That was not the initial issue that was
4 being seen. It was left out and simply has not been
5 incorporated.

6 We have been saying it for a number of years.
7 There is nothing special about a counterflow as they
8 don't have magical properties. They are just an FTR
9 in a different direction and they could also be made
10 more valuable by using INCs and DEC's to lever that
11 position.

12 We think that should be looked at.

13 MS. COLBERT: This is a good time to open it up
14 and kind of in the same way should we consider a
15 portfolio approach?

16 We also want to know your opinions and should we
17 be considering or should PJM be considering these
18 counterflow FTR positions, and if you could share
19 your views, I would appreciate it at the time.

20 MR. BRESLER: From PJM's perspective, Joe is
21 correct, that the original rule is to implement
22 because we actually saw the behavior occurring and so
23 we implemented a rule in order to identify and
24 mitigate the impacts of that behavior occurring in
25 the future.

1 I do not think that counterflow FTRs are really
2 in the same situation as prevailing FTRs in this
3 regard.

4 If you look at the confluence of factors that
5 needs to occur for a market participant in order to
6 successfully engage in a similar strategy in order to
7 manipulate the values of our FTRs in the day ahead
8 market on a counterflow basis, it is much more
9 difficult because, by definition, the counterflow has
10 to be in the opposite direction of congestion, and
11 therefore, from everything that we have looked at,
12 the magnitude of the virtual trading that is
13 necessary in order to move the market in order to
14 benefit a counterflow likely makes the strategy
15 unprofitable in total.

16 From PJM's standpoint, we have not seen or
17 observed or of sort have been notified of market
18 participant behavior that would require the
19 implementation of the FTR Forfeiture Rule on
20 counterflow FTRs.

21 Until we did it, I am not sure that we would
22 support -- that we would not support the
23 implementation of the rule for counterflow FTRs until
24 then.

25 DR. PATTON: The difference with counterflow is

1 the artificial impact on congestion is more bounded
2 than in the positive direction.

3 You're limited to on a path where there is no
4 congestion, I can maybe create a shadow price of
5 \$500,000, \$2000.

6 On the counterflow direction, I am capped at
7 zero, so wherever the real-time shadow price is
8 averaging, the best I can do is move it to zero, so
9 the potential impact is smaller.

10 With regard screening for manipulation we do
11 look in both directions because manipulative strategy
12 could involve expected losses on virtuals that
13 eliminate congestion and counterflow FTRs could
14 benefit or other financial positions could benefit.

15 This is one thing to think about is that if you
16 don't expand it to counterflow FTRs you still have
17 the backstop of work enforcement on
18 anti-manipulation.

19 So if you did see the strategy it is not as if
20 it's unaddressed.

21 MS. SIDHOM: If you remove the counterflow
22 exemption, you are broadening the original intent of
23 the rule and doing so in a punitive manner because
24 you are basically taking a behavior in the market
25 they are not engaging in and it is engaging in as Dr.

1 Patton said, enforcement you certainly have screens
2 for that, taking that rule and expanding it to all
3 market participants.

4 You are punishing them for potentially bad
5 behavior by the making of one or two market
6 participants.

7 But we have not seen that behavior, so why
8 create the rule and disincent transactions?

9 MS. COLBERT: Do you have any thoughts, Harry?

10 MR. SINGH: No, I will hold until after I
11 understand what an FTR is!

12 MR. BENNETT: David, just one follow up
13 question. You talk about relying on the backs of
14 enforcement, so in your mind were you envisioning
15 where a referral is made by you to enforcement
16 because the screen has tripped, do you see that?

17 Would you talk a little bit more about what you
18 think a good scenario is in terms of surveilling the
19 markets?

20 DR. PATTON: Yes, that is what happens in all of
21 these other markets as we screen for manipulation,
22 there is almost none of this conduct that actually
23 passes all of our screens when you fold in things
24 like the expected profitability of the transaction.

25 But to the extent we do see conduct like this,

1 then it gets discussed with FERC Enforcement and
2 referred.

3 Because it is not hard to detect, FERC
4 Enforcement is a very effective deterrent against any
5 strategy that would have a material impact.

6 MS. COLBERT: We discussed a little bit when Wil
7 was asking questions about the goals of the rule and
8 balancing our interest in price convergence as well
9 as deterring the creation of artificial congestion
10 when we implement the rule.

11 David, it is interesting how you have explained
12 the way that you screen your market and you do that
13 with a profitability component.

14 One of the things we would like to discuss is
15 whether or not virtual transactions that are
16 profitable should be given an exemption to being
17 evaluated under the rule, if virtual or if there
18 should be a longer time horizon analysis like you
19 did.

20 It seems like you do that over a much longer
21 time horizon in an hour which is what PJM is
22 currently evaluating. What are your opinions on
23 whether or not how profitability should be evaluated
24 under the rule?

25 DR. PATTON: You can evaluate an hour at a time.

1 You don't have to look at profits over a long period
2 of time and you can do that because having an ex-post
3 profitability screen would be better than nothing,
4 but much better than an ex-post profitability screen
5 in this transaction, actually make or lose money is
6 in an ex-empt screen that compares the bidder offer
7 price against the real-time prices that have been
8 prevailing at that point.

9 Not to be too detailed, but we break up those
10 average real-time prices by time of day and look over
11 the recent time frame.

12 To the extent that congestion has been incurring
13 in real time, maybe it is volatile and occurs and
14 goes away, and so forth, the net would affect the
15 average real-time price at that location, so if there
16 are better offers consistent with that pattern of
17 real-time prices then we say on the expected value
18 basis this is a rational transaction.

19 That's how we deal with the profitability and we
20 are looking at every transaction and every hour.

21 The market impact does take a time component
22 because if someone has an irrational transaction for
23 one hour and it creates a price of impact for one
24 hour that may not be sufficient to get anybody
25 concerned about it and may not be material.

1 MR. BRESLER: From PJM's perspective there are
2 probably two different paths we could take.

3 One of them would be to sort of abolish the FTR
4 Forfeiture Rule or a rule like we have at PJM and go
5 more towards the strategies that have been employed
6 in the market to Dr. Patton's group monitors in which
7 case we would want to do all of those kinds of
8 screenings that maybe Dr. Patton is doing in
9 addition.

10 But to the extent that we maintain enough FTR
11 Forfeiture Rule like we have and PJM would advocate
12 that we keep it as narrowly focused as it currently
13 is in order to make sure that we are really
14 identifying behavior that we can reasonably be
15 assured is at least along the lines of what would be
16 considered manipulative behavior, then I am not sure
17 that adding another screen of the virtual probability
18 is necessary because, again, with the very narrowly
19 focused screen that we have today, really, I do not
20 think it can be reasonably triggered without the kind
21 of virtual behavior that would otherwise constitute
22 manipulative behavior.

23 From PJM's perspective, we would advocate the
24 continuance of, again, a very narrowly tailored, a
25 very focused, a very targeted rule, that is to the

1 greatest extent transparent to market participants
2 recognizing that beyond that there is a backstop of
3 potential for additional analysis and enforcement
4 action, if necessary.

5 DR. BOWRING: I would agree that there is not a
6 need to have a profitability test and there are a
7 couple of reasons for that.

8 One is the fact that an INC or DEC transaction
9 may be profitable, that does not mean that it is not
10 manipulative.

11 Clearly, if you are losing money to effect the
12 value of FTR, then that is a problem. But if it is
13 profitable, if both parts of the transaction are
14 profitable, that does not mean that using the virtual
15 transaction to make the FTR more probable is an
16 acceptable strategy.

17 The second piece of it is when you listen
18 carefully, what David says he is doing, ex-ante
19 profitability means he is trying to guess what is in
20 the mind of the market participant and decide from
21 using his screens whether or not it is a rational
22 offer.

23 I don't think we can do that sensibly, and I
24 agree that an ex-post review of it is not really
25 relevant because it is about developing people's

1 expectations because they are expecting to lose money
2 and that is different than expecting to make money.

3 But in either case, it does not add anything
4 worthwhile to the screen that is currently placed in
5 the PJM market.

6 MS. SIDHOM: I agree with Stu. One way where
7 you apply the screens or you have a rule in place,
8 and if you have a rule in place, then that needs to
9 be clear.

10 Profitability aspects, I have to put more
11 thought into it only because there is recent
12 enforcement of precedent for the transactions to be
13 profitable or not, but that does not mean that I
14 prefer a bright line rule as it all depends on how
15 that rule is structured and whether or not I can
16 screen for it.

17 You need to look at the overall package rather
18 than just that one piece of it to make that
19 determination.

20 MR. SINGH: The motivation for the forfeiture
21 rule is the concern that people engage in a
22 transaction that impacts a related transaction, just
23 the FTRs and the question has been asked in that
24 context, I believe by Dr. Holladay, on whether there
25 should be a safe harbor for transactions that are

1 profitable in a standalone basis, but which happen to
2 impact price because every transaction impacts price
3 in some way.

4 That is a question for the Commission and I do
5 not know what the answer was.

6 DR. PATTON: I want to clarify that adding a
7 profitability screen would make this a more narrowly
8 focused role which is probably consistent with what
9 Stu's philosophy of making it as targeted and focused
10 as possible and it in no way broaden it.

11 But I did want to note profitable virtual
12 transactions are essential in these markets
13 particularly where you have modeling issues, so just
14 as an example.

15 One thing you will see if you look back over the
16 last eight, nine years at our New York ISO, the
17 report is that there is virtual load, and
18 particularly in earlier timeframes there is sizable
19 virtual load locating in New York City and sizable
20 virtual supply locating outside New York City and in
21 part the reason that is is because there is
22 tremendous congestion going into New York City or
23 into southeast New York that without the virtuals
24 would not be well reflected in the day ahead market.

25 What are these virtuals doing? They are

1 increasing congestion and anyone who holds FTRs which
2 are lots and lots of people that are going into
3 southeast New York, or New York City, are having
4 their FTRs become more valuable because of its
5 virtual behavior and yet these virtual transactions
6 are absolutely essential.

7 We are not going to commit the system
8 efficiently in New York if we somehow come to the
9 conclusion that virtual trades that are making money
10 by bringing day ahead congestion into alignment with
11 real time are somehow manipulative because they
12 impact the FTR portfolio of the person placing the
13 virtual.

14 That is just a real world example.

15 The reason that that is not a problem probably
16 in PJM is the 75% threshold, but if you were to lower
17 that threshold and start looking at virtuals that
18 have smaller level impacts like these impacts a
19 forfeiture rule could be a disaster.

20 DR. BOWRING: It is an important point. First,
21 there is no reason to think that other participants
22 will provide the virtuals.

23 It is important to remember that the FTR
24 Forfeiture Rule and PJM only forfeits FTR values hour
25 by hour if congestion day ahead is raised above that

1 in real-time, if the effect of it, as you said, to
2 bring day ahead congestion into line with real-time,
3 then there are no forfeitures.

4 MS. COLBERT: Some of the modeling limitations,
5 I would like to change tact a little bit from the
6 exemptions that you would evaluate before applying
7 the rule to an actual evaluation.

8 I noted that you said things similar to, "The
9 rules are consistently being applied," and we asked a
10 question about how to make the assumption for the
11 opposite location injection withdrawal when we were
12 discussing the consistent treatment of the UTCs INCs,
13 DECs.

14 I want to look at it from a different lens, from
15 the lens of designing the rule what would be the most
16 effective way to design the rule and make that
17 assumption.

18 In the model it appears that the assumption is
19 already made and it is made with the load weighted
20 reference BUS and you are then in the forfeiture rule
21 making a different assumption.

22 When we are designing this forfeiture rule,
23 please explain your reasons for which approach for
24 making this assumption you would advocate?

25 MR. BRESLER: PJM would advocate utilizing a

1 broader reference for each of the virtual
2 transactions.

3 For UTCs you do not need one because you have a
4 source and a sync, and again, in PJM's opinion.

5 For the INCs and DECs. For an INC we would
6 advocate utilizing a load weighted reference and for
7 a DEC we would advocate utilizing a generation
8 weighted reference.

9 The reason is because for what the rule is
10 targeting to find which is those locations on the
11 system where this manipulative behavior is possible
12 because of the isolated nature of those locations of
13 the system you are going to find in transactions that
14 have significant impacts on the constraints and the
15 FTR pass utilizing those broader references.

16 But you are not going to catch the ones that not
17 necessarily you would otherwise find by utilizing a
18 worst-case reference as Dr. Patton went through
19 earlier.

20 We think that achieving the best balance
21 between, and again, those two types of errors in the
22 implementation of the rule, is best struck by
23 utilizing those broader references for each of the
24 INCs and DECs as opposed to a worst-case scenario.

25 MS. SIDHOM: I agree with using the broader

1 reference BUS, so basically let's use that for INCs
2 and DECs and for UTCs, just use the path.

3 We already know what the path is.

4 Actually, I was thinking about Aaron's question
5 about strictness during the break.

6 Just because you are using a different
7 methodology for a different transaction does not mean
8 it is any less strict. I wanted to circle back to
9 that.

10 It's just a more appropriate application for
11 that particular transaction.

12 We are that far off on the forfeiture rule.

13 There are just some parts of it that you tweak so it
14 can be screened for. I don't know that we need to
15 have wholesale changes here.

16 MS. COLBERT: Looking at the individual
17 transaction by transaction in reference to these more
18 broader general reference BUSes, would that
19 facilitate considering a portfolio net effect on the
20 constraints?

21 MS. SIDHOM: I do not think so because you are
22 still just looking at the paths that do not fall into
23 the exemption piece.

24 I am thinking of it as you are using that
25 broader reference, only on the transactions that you

1 are using the worst opposite scenario for now.

2 MS. COLBERT: Correct, yes, I understand how you
3 are interpreting that so maybe it would be a good
4 time to ask. Perhaps we have different definitions
5 for what a portfolio approach might be.

6 If I could ask you how you would explain in one
7 sentence evaluating the net effect of a market
8 participant's entire portfolio of virtual
9 transactions impact on a constraint, how would you
10 characterize that?

11 Is there any ambiguity in that question?

12 MS. SIDHOM: When you say "in that portfolio,"
13 you are looking at all of the INCs and DECs and all
14 of the UTCs.

15 No exemptions?

16 MS. COLBERT: Assuming that exemptions have
17 already occurred. I assume the exemption as they
18 have been defined by PJM, you are not looking at any
19 liquid locations.

20 That was one of my questions on the exemption
21 and I am sure that we gained enough traction on it,
22 so it is good to revisit it which was, if you did a
23 portfolio about valuation, does PJM still want to
24 retain those exemptions?

25 I believe Stu said you would want to revisit and

1 think about it a little bit more clearly. That was
2 one of my questions.

3 If you did a portfolio effect evaluation of all
4 of the virtuals, INCs, DECs, and UTCs impact on a
5 constraint and what it should be in reference, do you
6 think the exemption should change?

7 Do you think you should be looking at portfolio?
8 How does looking at a portfolio change the
9 fundamental nature of how the rule is designed today?

10 MS. SIDHOM: I would have to see data for all of
11 that, so I could make a determination and see whether
12 any of those triggers are necessarily effective for
13 us to spend our time on applying those screens?

14 That is the first piece of it.

15 The second piece, ideally for me, if you are
16 going to look at it in that portfolio, you do not
17 want to broaden the rules so you would still have all
18 of the exemptions and then take the transactions that
19 don't fall in the exemptions and see whether or not
20 they have an impact.

21 But I would have to look and see whether or not
22 that would make because there are other positions
23 that fall within the exemptions that might have an
24 impact.

25 We are going very far from the intent of the

1 rule. It was just to catch those radial paths to
2 those transactions where there is not a lot of
3 liquidity and you can impact your FTR position.

4 MR. BRESLER: I will not say anymore about the
5 pros and cons of the portfolio approach because we
6 have been there.

7 But your very direct question was, does the
8 choice of the reference make a difference in how a
9 portfolio approach would impact on the forfeiture
10 rule, and I have had all of 25 seconds to think about
11 it, unless I am missing something, as long as a
12 market participant's total INCs and DECs were not the
13 same, so they had a different quantity of INCs and
14 DECs, the reference matters because it doesn't drop
15 out of your INC and DEC evaluation.

16 In other words, you have more on the DEC side or
17 more on the INC side, your choice of reference is
18 going to matter as far as the impact on any given
19 constraint, right?

20 Yes. The answer to your question is yes. The
21 reference matters even in a portfolio approach.

22 DR. PATTON: I thought your question was: Do
23 people have different notions of what a portfolio
24 approach is?

25 Was that your question?

1 MS. COLBERT: I followed up that question
2 because it appeared that I might be misinterpreted.

3 DR. PATTON: I had the same question because I
4 have heard people think of it two different ways.

5 There are two alternatives that I have heard
6 implied on a portfolio approach.

7 One is to take all transactions and add together
8 all their effects and get one net effect.

9 For purposes of, and Stu is right, if you are
10 out of balance on the INC, or DEC side, then you
11 still have to make an assumption about where the
12 remaining power is coming from and you will be
13 implicitly assuming the reference bus which is fine.

14 What I have heard other people, and frankly,
15 with the design of this rule where you are really
16 looking at the impact on a radial constraint, what
17 you are probably going to find is a couple of the
18 transactions affect that constraint and every other
19 transaction throughout the footprint essentially is
20 going to be zero, so whether you add them up or you
21 do not add them up, it probably will not make a big
22 difference.

23 What I heard other people say is, "What we do
24 today is we look transaction by transaction. We pick
25 the worst points."

1 So maybe a portfolio approach is to go
2 transaction by transaction and pick the worst point
3 within somebody's portfolio as the matching the other
4 side which was a much different idea of a portfolio
5 approach than just adding everything up.

6 Frankly, choosing the worst point in someone
7 else's portfolio or your own portfolio is not as
8 rational as evaluating each transaction against the
9 reference.

10 DR. BOWRING: I have to assume that the person
11 he is referring to is the person who said, "That had
12 to be me because I am the only plausible person who
13 could have said anything like that," perspectives and
14 I did not say that.

15 Just for clarity, I did not say that. If you go
16 to a portfolio approach, you would probably
17 substitute, and in rethinking the entire rule a
18 substitute for the worst-case INC or DEC withdrawal
19 or injection point.

20 I think of the portfolio as looking at the net
21 impact of all of the participant's virtual
22 transactions including UTCs on constraint by
23 constraint and then by definition any distribution
24 fact has to do with reference, it is defined by
25 reference to a reference BUS, so really that has to

1 be done consistently.

2 MS. MASTRANGELO: Just for clarification. We
3 talked before about transactions that relieve
4 congestion are excluded and went to a portfolio
5 approach.

6 I would assume you would want to include
7 transactions that relieve congestion to get full
8 effect on a constraint?

9 DR. BOWRING: Absolutely. If someone is in that
10 position, if someone could fail the current rule and
11 pass on their portfolio approach because they had
12 something going in the opposite direction, or
13 offsetting it, yes, that could absolutely happen.

14 There should not be a presumption of the
15 portfolio approach that it has a more draconian
16 effect on people. They might have exactly the
17 opposite. It depends on what the position was. It
18 depends on what the net position is.

19 MS. COLBERT: I will expand on another approach
20 that was brought up that could also have mitigating
21 effects which is looking at the volumetric impact of
22 the transaction on a constraint as opposed to just
23 looking at its proximity represented by the
24 distribution factor.

25 What do you think are the pros and cons of using

1 the distribution factor only, versus considering the
2 volume that the transaction injections withdraws from
3 the market?

4 MS. SIDHOM: You should have some sort of volume
5 assessment, but I don't know if you have read of the
6 worst opposite tenth action scenario that you do not
7 necessarily need the volume piece of it because then
8 I already know what my other position is or I know
9 what is the load reference bus is.

10 Really right now it is really punitive because
11 my DEC could be for a very long small volume and the
12 opposite INC is what is causing me to forfeit and I
13 don't know anything about that.

14 That's why I say we need to have some sort of
15 volume consideration.

16 DR. BOWRING: If we are going to rethink it, and
17 go to a portfolio price that it does make sense to
18 try to have a metric for what the volume impact is on
19 the constraint.

20 As I said before, if you have a tenth of a
21 megawatt impact on a large constraint that is very
22 different than having a very large proportional
23 impact on a smaller constraint, so I do think that in
24 a rethought rule including incorporating a portfolio
25 approach that it does make sense to think about what

1 the actual impact is.

2 MS. COLBERT: At this time is there anyone on
3 the staff's side of the table who has additional
4 questions?

5 MR. GOLDENBERG: We have been going over this
6 now for a few hours with all sorts of things
7 discussed, but I would like to find out from you all
8 how you think we should proceed?

9 There is, apparently, a PJM stakeholder process,
10 that is not clear that a steinmeter is stuck or a DEC
11 is moving forward, if the Commission were to handle
12 this under 206, and we get the data that everybody
13 says they need to see what time frame?

14 MR. BRESLER: From the standpoint of the PJM
15 stakeholder process it is, I would say, on hiatus, if
16 you will.

17 The way I recollect the stakeholder discussion
18 in early 2014, there were obviously competing
19 opinions from PJM and the IMM on how the rule would
20 ideally be either adjusted or potentially redesigned
21 and they asked us to sort of go in and come to a
22 single mind as to a recommendation on a restructuring
23 of the rules, if you will, and come back to the
24 stakeholder community.

25 We have met a lot and discussed a lot. We have

1 not yet come to a single opinion as to exactly how
2 the rule ought to be what changed, so we have not
3 reinitiated the stakeholder process, but to answer
4 your question as to whether the stakeholder process
5 stands.

6 That is currently where it is.

7 From PJM's standpoint, we do not see a
8 significant redesign of the rule as being necessary.

9 We do think that there are a few changes that
10 would improve the rule from the standpoint of
11 transparency to the market participants as well as,
12 for lack of a better term, the rationality of the
13 assumptions and how INCs and DEC's are evaluated
14 against the rule, but in large part, again, its very
15 targeted nature we think is still applicable and you
16 have significant Commission actions is at this point
17 necessary with respect this rule.

18 To the extent that we continue discussions with
19 the IMM, it is possible we might get back to
20 stakeholders and come up with smaller changes that
21 would make sense and we can move forward.

22 DR. BOWRING: Our recommendation to the
23 Commission can be that the current rule, if it is
24 going to be retained be applied in exactly the same
25 way to UTCs as it is to INCs and DEC's, and secondly,

1 that the entire rule be rethought and the portfolio
2 and the flows considered.

3 In answer to your question about where the day
4 will come from, I am sure we would be happy since we
5 have access to the data to answer any questions in
6 doing the analyses that would be useful to the
7 Commission which we could submit publicly.

8 MR. GOLDENBERG: What kind of procedure would
9 you envision, a settlement judge?

10 How are we going to process this and make a
11 decision on exactly how to design the Forfeiture
12 Rule? That was my question. If we are forced to do
13 it, how do we do it?

14 DR. BOWRING: Other people are anxious to jump
15 in. I really do not have an opinion on what the best
16 process is.

17 DR. PATTON: You recognize that this rule is
18 somewhat unique, it's an anti-manipulation rule.

19 I mean, what I would be inclined to advise is
20 that you evaluate the transactions that have had
21 revenues forfeited, and any transactions that the IMM
22 wants to put forward that didn't forfeit revenues,
23 but nevertheless look manipulative, probably should
24 have been forfeited.

25 And based on the evaluation of those two groups,

1 make a decision on whether you need a rule or whether
2 it should be modified.

3 Obviously, my position, generally, is we believe
4 this sort of rule is more harmful than it is helpful.

5 Looking at real data on what transactions are
6 being impacted by the rule would go a long way to
7 helping FERC think through how the world potentially
8 should be changed or whether it should still exist.

9 MS. SIDHOM: In trying to consider your
10 question, there are a couple of things. I don't
11 think we need a settlement judge proceeding on this
12 just because I do not think it is a good idea.

13 I am concerned about delay in this docket mostly
14 because of the market impact and what has happened
15 with the decline in UTCs in the market.

16 The Commission is going to take action, that
17 forfeiture rule was not heavily debated. It is not a
18 big issue for us. The fee part was the big issue.

19 The main sticking point for stakeholders about
20 that, the affect, that is a minor change that we can
21 make if you make that change and use a load
22 reference. That makes a lot more sense.

23 That is a minor tweak that you could do without
24 us having to look at data, without having to delay
25 the docket, and then focus your attention on the fee

1 issue and getting PJM back to a liquid state wherein
2 you have got short-term transactions that markets
3 want to engage.

4 That would be my recommendation.

5 MR. SINGH: The starting point of this debate
6 was whether the application of the rule to UTCs is
7 somehow incorrect and is the contract path or some
8 such thing.

9 Pretty much everybody here agrees that it is
10 not. It is the correct way to do it, notwithstanding
11 Joe's objections.

12 What I took away was, if anything, more
13 questions were generated on whether the application
14 to INCs and DECs which assumes a worst-case reference
15 is the best approach.

16 Dr. Patton had some thoughts on that, so it is
17 hard for me to say what the best rule is.

18 The approach that Dr. Patton recommended on
19 looking at the data, and then answering, "Has the
20 current application failed to catch some things that
21 he would like to catch?"

22 Perhaps that is the best approach and that will
23 take a lot of time and I don't think a settlement
24 judge or such a mechanism would be conducive to that.

25 DR. BOWRING: I certainly agree that looking at

1 data and analysis makes sense.

2 I don't believe that changing nodes has been
3 characterized that this is only by radial lines.
4 That is not correct.

5 It is about all lines in the system with the
6 exception of, as we talked about with sources, at
7 hubs and so on.

8 Changing that one part of the rule about the
9 .75, and the worst cases, is not a line or a tweak,
10 that is a radical change of the rule.

11 If that is going to happen, then we should also
12 consider more broadly ways to make the rule more
13 sophisticated including the portfolio approach which,
14 again, could be done through the submission of
15 analysis data on which the Commission would base a
16 conclusion.

17 MS. COLBERT: Are there any additional questions
18 from staff? At this time, we have 15 minutes left
19 after this panel and we don't have any additional
20 staff generated questions.

21 We want to give you the floor if you have any
22 closing remarks that you would like make on anything
23 that has been discussed this morning.

24 MS. SIDHOM: For about the last decade and a
25 half, I feel the Commission has done so much to

1 incent competition and I do not want to see all of
2 that rewinded, it is very important, and as Dr.
3 Patton said, it is so important to have virtual
4 transactions in the market.

5 They send the price signals. They help the spot
6 market. They are necessary for good price formation
7 which is the other big docket that is sort of looming
8 out there about what are we going to do about price
9 formation and uplift.

10 PJM was the poster child and still is the poster
11 child for liquidity - sorry Dr. Patton - I would
12 just hate to see a lack of liquidity in the
13 short-term market in PJM.

14 It is very important that we get these rules
15 right and that we get the allocation piece of it
16 right.

17 As far as the forfeiture rule application to
18 UTCs, as I said in my opening remarks, it should
19 apply to the transaction as is, the path that you
20 clear.

21 That is important because you do not want to set
22 a bad precedent and we do not want another negative
23 aspect to this transaction.

24 We have been talking about UTCs and PJM for four
25 years. We have better things to be talking about.

1 We need to resolve these issues and move on.

2 MR. SINGH: When you make decisions you should
3 not listen to me or to anyone else. You should do
4 the right thing.

5 Often we get caught up in different people
6 advocating a particular position, but at the end of
7 the day, there are some facts and then there are some
8 preferences and so is the case in this proceeding.

9 For me, the things that I really care about
10 perhaps I should not mention because of ex parte
11 rules and the definition of the FTR is one of them.

12 It touches upon submissions here.

13 In terms of this proceeding, the second panel
14 deals with issues that are much bigger and are of
15 much greater concern to most of us than nitpicking on
16 the slackness of the reference bus in the forfeiture.

17 MS. COLBERT: I agree. Thank you. This is all
18 we have to discuss for this panel.

19 We will break and reconvene at one o'clock and
20 discuss those issues that you just brought up, Harry.

21 (On resuming after the luncheon recess.)

22 AFTERNOON SESSION

23 MR. SAUER: We hope everybody had a good break,
24 is filled up, and caffeinated.

25 The second panel, as everybody knows, is on

1 uplift and the specific questions are whether INCs
2 and DECs and UTCs transactions contribute to uplift,
3 and if so, how to allocate any cost to those
4 transactions.

5 Those will be the two primary areas that we will
6 dig into. We will also ask the panelists to talk on
7 a couple other areas.

8 One is the PJM Energy Market Uplift Senior Task
9 Force. We would like to hear a status report on
10 that.

11 The other area, certainly, the market has been
12 impacted by Order 206 that was issued so we would
13 like to hear a little bit more about the impacts and
14 any concerns, the takeaways or items that we should
15 be thinking about.

16 It says that the last panel will do
17 presentations first, so let me introduce the
18 panelists and then we will turn to the presentations.

19 Thank you all very much for joining us. I will
20 start with Adam Klein from Appian Way.

21 Dr. Bill Hogan representing the Financial
22 Marketers Coalition up from Harvard University.

23 Joe Bowring from Monitoring Analytics.

24 Adam Keech from PJM.

25 David Patton from Potomac Economics.

1 Wesley Allen from Red Wolf.

2 Stephanie Staska from Twin Cities.

3 And Scott Holladay from Yes Energy.

4 Thank you all.

5 For the order of presentations, we are going to
6 start with Adam, then go to Joe, then David, and
7 Scott, and for the last half we will do Bill Hogan,
8 Wesley Allen, Adam Klein and then Stephanie.

9 MR. KEECH: Good afternoon everybody, my name is
10 Adam Keech from PJM.

11 As I look through the conference agenda and I
12 try to put together some preconference materials, I
13 put together a lot of slides to try and address all
14 the questions, and I have more slides than I have
15 time to give them, so I will jump through the
16 presentation.

17 If you could bring up Slide 2 on my
18 presentation. Why do we have uplift? It really
19 comes down to two high-level things, and the first
20 one is we have physical constraints on the system and
21 the system changes is faster than the resources we
22 have can follow those changes.

23 We have generators with things like minimum
24 runtimes and minimum output levels, and because the
25 system is not infinitely flexible, we end up in

1 scenarios where we are running equipment that we may
2 not necessarily need from an economic standpoint.

3 But in order to preserve that incentive to
4 follow the ISO, RTO instructions, we make those
5 generators hold to the actual costs that they incur,
6 even if that means they were running that wasn't
7 necessarily ideal, we sort of know that going in, we
8 make that commitment.

9 So just by the nature of the system, we've
10 accepted that there is going to be some amount of
11 uplift and part of it is driven by that.

12 If you want to jump down to Slide No. 3.

13 The other main reason I think about is we have
14 clearing prices that are based on marginal costs. If
15 you think about generator offers specifically, there
16 are three part bids.

17 The clearing price is only set based on one of
18 those parts and that is the marginal costs of the
19 generator.

20 Even when we commit a generator, it is needed
21 for its entire operating period.

22 There are still costs outside of that marginal
23 cost that need to be compensated, mainly, the startup
24 and the no load costs even if that generator set
25 price its entire run period, if it has a non-zero

1 startup and no load cost, the way we calculate the
2 clearing price today it still will be a make whole
3 payment.

4 That is another piece of the issue that feeds
5 into this. So when we are running this equipment
6 calculating these clearing prices, the clearing
7 prices only cover a portion of the cost of those
8 generators.

9 If that generator doesn't accrue info-marginal
10 rents in excess of those costs, it will again do a
11 make whole payment assuming it is following the ISO's
12 and RTOs instructions.

13 That is a couple of the reasons why we have
14 uplift, but if you look at it from a transactional
15 basis, there are really not many transactions that I
16 can think of that under some circumstances can't
17 create uplift payments.

18 Virtually any of them in the market, INCs, DECs,
19 and up-to-congestion transactions included, if they
20 shift megawatts around on the system which we all
21 know they do, they can shift clearing prices, they
22 can shift funds from uplift into the actual market
23 clearing prices and back and forth.

24 It is tough to pinpoint a single transaction,
25 and say, "This one doesn't cause uplift, and if you

1 work on the premise of cost causality for allocation
2 that it shouldn't get an allocation of that."

3 The real complicated pieces determining how much
4 each transaction is causing of uplift and therefore
5 what would be its "fair share of uplift" that becomes
6 a very complicated problem to solve, and that is
7 somewhat the EMU, STF, or the Energy Market Uplift
8 Senior Task Force of PJM has been trying to solve for
9 probably about a year at least.

10 That group has met twenty-six times and it has
11 been really since July 2013, so it has probably been
12 about a year and a half.

13 And if you want to jump down to Slide 12. The
14 EMU SCF is the Energy Market Uplift Senior Task Force
15 and PJM really came about for a couple different
16 reasons.

17 One of them was the fact that we saw higher
18 up-to-congestion transaction volumes and they were
19 not receiving the uplift payment.

20 The other one was we had in 2013 a couple
21 significant winter months, January and February,
22 where we had high uplift payments, and so those two
23 things combined really spawned that group and that
24 group has been working since July 2013, probably
25 meeting once to twice a month since then.

1 Where we are right now within that group we
2 tackled the problem in two different phases. Phase I
3 is, "How do we determine how much uplift gets paid to
4 resources following PJM's direction?"

5 Phase II is, "How do we allocate that cost once
6 we know it?"

7 Also embedded in Phase I was: "Are there any
8 methods that we can employ to minimize uplift?" and
9 we have talked about that in some of the other price
10 setting conferences and so I will not get into that
11 here.

12 Those are the two phases we have and right now
13 that group is at a point where we have composed what
14 we call solution packages that will eventually get to
15 voting in the coming months, so we expect that in the
16 first quarter of 2015 and we will vote through our
17 member process and we will see whether we get
18 consensus or not, but that is essentially where we
19 stand today.

20 Thank you.

21 MR. BOWRING: Thank you for the opportunity to
22 talk on this topic today.

23 If we could pull up Slide 10 which really is the
24 only one I want to talk about.

25 As Adam pointed out, uplift is really

1 unavoidable on LNP based wholesale power markets,
2 units are lumpy, reality is lumpy, and there will be
3 times when a unit's full marginal costs are not
4 covered by LNP.

5 The goal should not be to eliminate uplift. The
6 goal should be to eliminate unnecessary uplift, for
7 example, uplift associated with conservative
8 operations.

9 We talked about that in prior conferences. And
10 the opportunity on cost issues and unrelated matters
11 which should not really be part of uplift at all.

12 The goal should also be to identify and to
13 appropriate and allocate parts of what has been
14 treated as uplift, but really not uplift, Black
15 Start, again, we have talked about all of that.

16 Some uplift is unavoidable. In those cases
17 special or extraordinary approaches to uplift should
18 not be taken as you can do more harm than good by
19 trying to make uplift go away when you really can't
20 make it entirely go away.

21 In addition to taking all the appropriate
22 measures to reduce the amount of uplift, uplift
23 should be spread and this is the allocation side to
24 all market participants.

25 The goal is to minimize the numerator of the

1 uplift calculation and maximize the denominator to
2 make it have as small an impact as possible on any
3 market transactions to make it a fairly predictable
4 annoyance, but one that does not have a significant
5 impact on market participants decisions.

6 No participant, no group of participants wants
7 to pay uplift, and in fact, all transaction types can
8 and probably have from time to time made a legitimate
9 argument that they should not be forced to pay it.

10 It would be better if they didn't have to pay
11 and someone else did pay. They would have more
12 vision transactions, their costs would be more
13 closely related to price, and all would be well with
14 the world if only that particular group did not have
15 to pay for uplift.

16 Our view of it is that uplift should be spread
17 as widely as possible, but consistent with some basic
18 principles and so far only up-to-congestion
19 transactions have entirely successfully avoided
20 paying uplift.

21 But virtuals do affect unit commitment and unit
22 dispatch and we have that fairly well established to
23 everyone's satisfaction.

24 Virtuals affect unit commitment and dispatch
25 decisions in the day ahead market and the day ahead

1 reliability run in exactly the same way that other
2 transactions in the day ahead market affect it.

3 We cannot really distinguish between a megawatt
4 of load in day ahead and a megawatt the DEC in the
5 day ahead market.

6 The day ahead market does not distinguish
7 between the injection side of UTC and an INC and so
8 on, but as a result uplift resulting from commitment
9 decisions of the day ahead market and reliability run
10 should be allocated to all transactions that affect
11 that uplift.

12 One of the points we are making in the EMU is
13 that those transactions should pay that but they
14 should pay only that, and so far, historically, we
15 think and you will see from the numbers that virtuals
16 have paid more than that and their allocation should
17 be reduced if you apply that basic principle, but
18 there is no reason to exempt any participant type
19 including UTCs from allocation of the uplift.

20 There are three broad considerations and you
21 have spelled them out in your document. These are
22 just broad characterizations.

23 One is cost causation, one is incentives, and
24 one is what we can either refer to as simplicity or
25 predictability, implementability, if that is a word,

1 or transparency. Those three are all appropriate to
2 take account of.

3 The approach that we were recommending and have
4 been recommending that EMU tries to address cost
5 causation not by pretending we can identify the
6 actual impact of any particular transaction, but by
7 trying to identify categories of uplift and assign it
8 to the appropriate participants.

9 For example, we distinguish between deviations
10 that are associated with day ahead and reliability
11 run from deviations associated with things that
12 happen in real-time.

13 The real-time deviations go to load and those
14 who are in real-time. The day ahead deviations go
15 those who are in the day ahead market including
16 virtuals.

17 But the result of that would be, as I said, to
18 significantly reduce the amount of deviation charges
19 that are paid by uplift transactions.

20 If you look at that table, I don't know if you
21 can see it, but the key part of that table is that it
22 shows in some detail the difference between the
23 current uplift rates by type of transaction and what
24 would occur, and what the rates would be under our
25 proposed method.

1 You can see that the reductions for virtual
2 transactions are in the 80% to 85% range.

3 One other thing to focus on is the difference
4 between the rate that is called deviations in the
5 rate for INCs and DECs.

6 You will notice under the current rates they are
7 the same. Under our proposal they are very
8 different, the deviation rate is substantially higher
9 than the rate for INCs and DECs.

10 Thank you.

11 DR. PATTON: If you would go to Slide 4. I will
12 start in the middle of my DEC. The preliminary
13 slides basically say that we are here to talk about
14 cost causation as advocating that as the primary
15 basis for allocating uplift.

16 If you do allocate consistent with cost
17 causation you get good incentives and achieve the
18 objectives of the Commission, but in order to, and
19 MISO has tackled this issue, if their allocation is
20 not perfect, they have to make a filing to address
21 one remaining thing that FERC did not accept the
22 first time around, but with that addressed, what I
23 will be describing is very consistent to the way MISO
24 does their cost allocation and it's very effective.

25 We also monitor RTOs that don't do this very

1 well. There are two basic flaws in areas where this
2 is not done well.

3 One is not distinguishing between helping
4 deviations and harming deviations and allocating to
5 both classes as if they have the same effect on the
6 system. I will talk about that in a minute.

7 Secondly, is talking about allocating uplift as
8 if it is one big bucket of cost rather than
9 categorizing so.

10 Oh my! That is difficult to see.

11 The first thing you have to do in order to
12 allocate uplift efficiently is to distinguish between
13 capacity-related uplift, congestion-related uplift,
14 and the local reliability needs. Those are three
15 discrete buckets of costs.

16 The local needs ought to be allocated to the
17 local areas that are being protected.

18 In the presentation, I talk about how to
19 allocate capacity and congestion and what the
20 implications are of doing it based on cost causation.

21 Apparently the background got flipped so you
22 cannot see the text, but hopefully you can see the
23 boxes. There are basically two tests for capacity
24 related uplift that should be applied.

25 One is whether the commitment of the resources.

1 If you go Slideshow and make the background
2 transparent a little. What this is saying is that
3 there are two tests that should be applied for
4 capacity related uplift.

5 These are resources that are committed to meet
6 incremental load that wasn't served through the day
7 ahead market.

8 The first is, was the commitment necessary to
9 meet the capacity requirement? Yes, or no, or did
10 the commitment exceed the requirement?

11 To the extent that the ISO is committing more
12 megawatts than needed to meet the real-time
13 requirement, then there is no good argument for why
14 those excess costs should be allocated to deviations,
15 but once you get past that the second important
16 screen is to look at the net deviations and determine
17 the extent to which they appear to be causing the
18 commitment.

19 If the net deviations are actually helping, or
20 they are on net harming, but the megawatts are far
21 lower than what was committed, then the portion of
22 the cost that should be allocated to the deviations
23 should reflect only the extent to which it is
24 harming.

25 If the ISO commits 2000 MW and the net deviation

1 is coming from the day ahead to real-time are 100
2 megawatts, what is that, 5% should be allocated to
3 deviations, everything else presumably is being
4 committed for reasons other than the deviations.

5 If we can go to the next slide.

6 That has three important implications. You
7 should not be allocating anything to DECs because
8 they are helping you. They get you to commit more
9 resources in real-time. There's no possible way they
10 could be causing capacity-related uplift and you
11 should not be allocating anything to UTCs because
12 they on net create no power balance impact.

13 That does not mean you shouldn't allocate
14 anything to UTCs.

15 If we can go to the next slide.

16 They do have an effect on deviations over a
17 constraint, and if you calculate flow-based
18 deviations on constraints, then the portion of the
19 uplift that you are incurring to manage constraints
20 you can identify which deviations caused you to not
21 commit those resources in the day ahead.

22 In this picture what I show you is that UTCs
23 that are scheduled in the direction that increase the
24 flow on the constraint are helping you, that get you
25 to commit more resources in the load pocket, and the

1 UTCs that unload the constraints are harming
2 deviations.

3 If you go through the same calculus?

4 Go to the next slide.

5 If you ask yourself the same questions as you
6 asked in the capacity context is, "How much relief
7 did I get and how big was the flow deviation?" and if
8 the harming net flow deviation is less than the
9 relief I got from the commitments, then I should be
10 allocating only a portion of those congestion-related
11 uplift costs to the deviations.

12 By doing this you allocate in a
13 nondiscriminatory fashion to the UTCs, the DECs, and
14 the INCs, that harm you with regard to that
15 constraint.

16 That is the one distinction that I would say in
17 the MISO allocation that introduces some complication
18 is recognizing deviations you know about four hours
19 ahead versus those that you only find out about 30
20 minutes ahead or 15 minutes ahead.

21 That is a distinction that is not particularly
22 important. I will stop there and respond to
23 questions on the details of that.

24 MR. HOLLADAY: Thanks for having me.

25 I'm here to present the results of some analysis

1 that I have done on the impact of the FERC order and
2 the subsequent drop in UTC volume on market
3 performance in PJM.

4 On the first slide here it just kind of
5 summarizes. There have been some existing research
6 done that suggest that after the FERC order came out,
7 market performance, here defined as convergence,
8 improved.

9 It looks like the things had been better since
10 the FERC order. But on the next slide I argue that
11 that is an apples and oranges comparison.

12 You are basically comparing market performance
13 in summer and fall. You don't need an economist to
14 tell you summer and fall are different, but because I
15 am an economist I have built a table that tells you
16 that and up here there are some data points that just
17 show you how different summer and fall are.

18 That is an apples and oranges comparison just
19 because convergence improved after the order could be
20 driven by any of the changes in those variables.

21 The good news is that there is straightforward
22 econometric techniques that allow us to deal with the
23 apples and oranges problem.

24 In the next slide, I define something called
25 "The Difference in Difference."

1 It is a very straightforward econometric
2 technique that we teach to undergraduates all the
3 time that allows us to deal with that problem.

4 The way we do it is we take the convergence
5 before and after the order in 2014 and we compare
6 that to the convergence before and after that same
7 date in 2013.

8 In 2013 there was no order so we can't attribute
9 that improved convergence to any sort of FERC action
10 or any sort of UTC volume.

11 That's just how we compare. That is how we
12 differentiate the apples and oranges.

13 That is the "Difference in Difference."

14 The nice thing about that is it controls for
15 some of these potentially omitted variables that
16 could be driving the analysis.

17 On the next slide, I present the results of that
18 type of analysis if it is a different analysis.

19 This one is convergence? Yes. So look at the
20 impact on convergence and you see that convergence
21 was better in the fall after the order, but not by as
22 much better as it was in 2013 and we can quantify
23 that.

24 Convergence was actually a \$1.52 per megawatt
25 hour worse after the order relative to the 2013, the

1 2013 because it is the most recent year.

2 I can do the same analysis with 2012, 2011,
3 2010, you get essentially the same story, the numbers
4 change, but the sign does not. Convergence has been
5 worse since the order.

6 On the next slide, I talk about the impact of
7 the order on operating reserve fees, and again, the
8 story is similar. We can do that same sort of
9 "difference in difference" analysis.

10 When you do that, it looks like operating
11 reserve fees have increased since the order.

12 The goal of the exercise, the way people say it
13 is, we want to increase the denominator and decrease
14 the numerator.

15 At the very least it looks like the numerator
16 has been increasing because operating reserve fees
17 had been going up since the order and the drop in
18 volume has not helped the denominator a whole lot,
19 right, because the volume dropped so much the
20 dominator has not grown potentially by as much as we
21 hoped.

22 On both dimensions the impact on the
23 distribution of fees is not as clear as we would
24 probably like it to be.

25 These results are really robust, I mean, under

1 control for a whole bunch of things. On this slide,
2 I list the different type of things that we control
3 for.

4 We look at UTC volume. We look at gas prices,
5 temperature, load, weather, constraints, all those
6 things we control for, the story remains consistent,
7 convergence has been worse since the FERC order. We
8 can put a dollar figure on that.

9 In conclusion, lower UTC after the FERC order
10 has made the market perform worse in some ways and
11 there are some early analysis that was not consistent
12 with that, but when you deal with apples and oranges,
13 the problem using these straightforward econometric
14 techniques that early analysis does not look spot on,
15 right, and we can fix that problem without inventing
16 anything new and without doing anything that we
17 wouldn't ask a student to do and when we do that,
18 when we fix that problem, the story flips.

19 Thank you.

20 MR. SAUER: Before I turn it over to Bill,
21 Commissioner Goldenberg, thank you very much for
22 being here.

23 MR. GOLDENBERG: Sorry I missed out the morning,
24 but looking forward to the afternoon.

25 DR. HOGAN: Thank you. It is a pleasure to be

1 here today. Let me emphasize as I usually do, I do
2 not speak on behalf of the Financial Marketers
3 Coalition or the Harvard Electricity Policy Group or
4 for anyone else.

5 These are just my own views.

6 What I wanted to do in at least the initial few
7 minutes was to try to step back with this problem a
8 little bit and think about the principles that you
9 asked about and how to think about allocation of
10 uplift as a first-order approximation to talk about
11 what we would do in practice.

12 I am assuming here the benefits of good market
13 design, good basic security constraint, economic
14 dispatch in real-time that is necessary is desirable
15 to have day ahead markets, it is highly desirable to
16 have virtual transactions for all the reasons that I
17 have talked about, about price convergence and
18 allowing liquidity for long-term contracting and
19 adjusting those things as time goes forward.

20 It is very important for the markets that we do
21 this and do it well so we can get the kinds of
22 competition that we want.

23 I am assuming the principles of open access of
24 non-discrimination which are consistent with economic
25 efficiency.

1 They are not exactly the same thing, but I am
2 going to take that as part of the story. I am going
3 to talk about it from the perspective of price taking
4 competitive markets so that we can deal with the
5 basic, if we have a competitive situation, and I'm
6 setting aside market power and manipulation with are
7 either important issues, but they are separate from
8 the market design for the basics of what we are
9 trying to do and then and how would we do that well.

10 What I will focus on therefore is the question
11 of economic efficiency in dealing with these charges
12 and uplift calculations.

13 There is a lot of discussion about cost
14 causation and what should we do with cost causation.
15 A lot of that is quite muddled and it is a serious
16 problem in dealing with these markets because our
17 current designs are imperfect and there is a whole
18 issue about improving the pricing in the real-time
19 and day ahead markets which was the subject of a
20 previous series of technical conferences and I have
21 written about this and others have and that covers
22 topics like scarcity pricing and operating reserve
23 demand curves and dispatch brace pricing to deal with
24 things like voltage support and operator actions and
25 feasible FTR allocations and extended locational

1 marginal pricing to deal with the unit commitment.

2 Those are all extremely important issues. It is
3 a different topic.

4 What I would argue is that most if not all of
5 the cost causality arguments are really targeted to
6 that problem and that is what we should be doing is
7 fixing the pricing in these markets and then once you
8 fix this pricing the rest of the problems will be
9 greatly substantially reduced.

10 Furthermore, in terms of the uplift because
11 there will be uplift as many people have said, Joe
12 said, we cannot design these things perfectly and in
13 some cases even as a matter of principle because of
14 lumpiness we can't get them all into the prices and
15 at the margin in the marketplace.

16 We are going to have left over costs. That is
17 what I call the uplift here and to me at least as a
18 first approximation, I would say having a
19 conversation about cost causality for the costs that
20 are left over after you've done cost causality
21 analysis is circular, so it is not a logically
22 well-formed question and you cannot actually do that
23 analysis and that means you have to have some other
24 principle for analyzing what to do with the uplift.

25 The principle is straightforward which is from

1 economic efficiency which is to allocate the cost to
2 the transactions into the actors that have the least
3 likelihood of responding to them and changing their
4 behavior and deviating from the efficient outcomes.

5 This is sometimes referred to as the inverse
6 elasticity rule, although technically, that is not
7 what I mean, but the idea is to lower elasticity
8 transactions.

9 What are the implications for the conversation
10 here? I would say the implications are that there is
11 no uplift allocation to day ahead transactions.

12 None.

13 And that includes all of these virtual
14 transactions but everything else is what?

15 The uplift is allocated to the real-time
16 transactions and there it is allocated to the lowest
17 elasticity class which is going to be probably load
18 and there it is going to be allocated to the lowest
19 kinds of elasticity transactions which is probably
20 excess charges, network access charges, and then I
21 would invoke Joe's principle which is once you get
22 within the category that is the lowest elasticity,
23 then you spread it as widely as you can within that
24 category in order to minimize the distorting effect
25 of the lowest elasticity.

1 It is not that you spread it across the widest
2 universe. It is the widest within the category that
3 is the lowest elasticity, that is the principle that
4 should apply.

5 That then would solve many of these problems
6 that we have here and would be quite different than
7 the conversation that we have been having.

8 A radical rethink about the whole problem and a
9 refocus on the problems of pricing which you have
10 already talked about is a much better use of your
11 time.

12 Thank you.

13 MR. ALLEN: Good afternoon, Wesley Allen with
14 Red Wolf Energy Trading. Once the slide presentation
15 is up, if you would jump to Slide 2.

16 I thought it would be a good idea to talk about
17 the differences between INCs, DEC, and UTCs since
18 that is sort of the core issue that we are talking
19 about.

20 An INC and a DEC is synergy transaction that
21 transacts load and full LNP. A UTC is congestion
22 losses only.

23 Some of the other differences.

24 INC, DEC, big caps, is \$2,100 plus or minus.
25 The UTC is \$50. But probably the biggest way in

1 which they are different, that I have not heard
2 discussed much here today, is in the way they are
3 modeled in the PJM system when they saw the day
4 ahead.

5 If you would skip to Slide 6, please.

6 I do have a 21-page presentation knowing that I
7 will not get through it in five minutes.

8 INCs and DECs, the way it works, the way it has
9 been explained to us, what PJM does is they did a
10 major transmission constraints, they take the
11 expected load, the generation available into INCs and
12 the DECs and they come up essentially with a base
13 case unit commitment.

14 After that they do scheduling and pricing in
15 dispatch at which time they incorporate all the
16 transmission constraints and then layered in are the
17 UTCs.

18 UTCs, INCs and DECs are not modeled the same in
19 the day ahead market, so there is a substantive
20 difference between the two.

21 Ultimately, when we are talking about the
22 problem that we are facing here, and the question, is
23 there a difference in the way INCs and DECs and UTCs
24 are treated as far as uplift, and there is, we are
25 missing it a little bit.

1 If you look at how the other markets allocate
2 uplift and have done substantive cost causation
3 analysis, they end up netting their INCs and DECs.

4 Ultimately, that's the problem we are facing
5 here is that incremental offers in DEC bids that are
6 cleared for the same volume in the same hour are not
7 being netted in PJM.

8 Not for market participants.

9 There is some netting in PJM that exists that is
10 available for certain market participants using
11 internal bilateral transactions for that is not
12 widely available, it is not available to financial
13 marketing companies at all. That is the substance of
14 the problem, that there is not netting.

15 Let's go to page 8 and just talk about this real
16 quickly. There has been an 80% decline in volume of
17 UTCs. Why is that?

18 Well, there is an expectation of or the
19 possibility of an allocation of fee.

20 Prior to the refund effective date, analyses
21 show that an average profitability of UTCs is .32 a
22 megawatt.

23 That is the reason why the volume has decreased.
24 If the fee gets assessed retroactively most of the
25 transactions, and all of the transactions on the

1 whole, would no longer be profitable.

2 They are that marginal.

3 When you think about the broad socialization
4 you spread it that PJM and IMM are advocating for, if
5 you sorted it out so thin that the rate is low and it
6 does not impact anyone's economic decisions, if you
7 spread it out evenly, then it is going to affect the
8 UTC participant's behavior because they cannot
9 support even that thinly spread fee. It is .32 a MW.
10 It is not much.

11 I should mention that PJM has done an analysis
12 by unit commitment. You heard that mentioned. That
13 is one of the reasons why some people feel like UTC
14 should be charged just because they commit units in
15 the day ahead.

16 But that does not really mean anything to me.
17 It is like saying you should pay uplift because you
18 commit units, that is sort of a red herring.

19 What does it tell you? It does not tell you
20 anything. It means you impacted the day ahead.

21 The unit that is committed by the UTC or by an
22 INC and a DEC, is that needed in real time or is it
23 not? Is it a lowering uplift or is it causing
24 uplift?

25 That's what we saw from the F's energy data,

1 that without these transactions the amount of uplift
2 went up, so how is that causing cost causation if you
3 are charging a rate to a transaction that lowers
4 uplift?

5 Skipping to page 13. This is very similar to
6 what Dr. Patton was talking about where you either
7 charge helping versus harming deviations?

8 You do not want to charge deviations that help
9 lower uplift. That is contrary to good economic
10 principles.

11 Similarly, one of the things that exists in the
12 MISO contract of allocation is the differentiation
13 between an energy deviation and a transmission
14 deviation.

15 Energy deviation would be an INC or a DEC that
16 stands alone.

17 A transmission deviation is if you had no impact
18 on power balance which by definition a UTC has no
19 impact on power balance.

20 You can talk about the differences between
21 location of your source and your sync of your UTC,
22 but that is what gets captured in the CMC rate as it
23 exists in MISO, the congestion management charge.

24 Just to give you an idea of the rates that we
25 see in MISO for the CMC rate is about 2 cents per

1 megawatt on average on our transactions.

2 That is all the time I have got and I am looking
3 forward to your questions.

4 MR. KLEIN: Thank you. I want to thank the
5 Commission's staff for inviting me to talk on uplift
6 allocation and causation.

7 The focus of my presentation is really going to
8 be on the relationship between uplift allocation and
9 some of the price formation issues that came up in
10 8014-14.

11 Could we turn to Slide 3, a market comparison of
12 the uplift allocation.

13 If you look here, there is really higher
14 balancing uplift rates in PJM compared to other
15 markets and that creates a significant barrier to
16 convergence bidding.

17 The flaw in PJM's allocation approach is the
18 presumption that scheduled deviations are the primary
19 cause of the real-time balancing uplift.

20 If you look on the next slide, and these are
21 slides that I actually borrowed from Wes Allen that I
22 should attribute to him the PJM stakeholder process,
23 but you can see four markets there. New York, ERCOT,
24 MISO, and California have fairly low charges per
25 megawatt hour for the uplift and their market

1 structures that really facilitate convergence
2 bidding, and compared to SBP and PJM where the rates,
3 the actual transactions pay, what the INCs and DECs
4 pay are much higher and it is not necessarily that
5 the uplift is less in these markets, but the
6 allocation, the uplift is better in the other
7 markets, it is more reasonable and more just.

8 On the next slide we can focus here on the
9 reasons for the balancing commitments that occur and
10 I think there were good comments made earlier about
11 helping versus harming deviations, really what
12 happens in the real-time market particularly after
13 the day ahead market during the day is often
14 unrelated to financial bids most of the time.

15 You have operator actions, local liability
16 requirements, transmission outages, generator trips,
17 load forecast error, all of these things that were
18 talked about in the December technical conference.

19 Something I would like to do is acknowledge the
20 Market Monitor's proposal in the PJM stakeholder
21 process that actually extracts those transactions and
22 treats them as a different category and does not
23 charge them, so I would just like acknowledge that.

24 On the next slide, I would like to turn to the
25 price formation issues and the relationship, that

1 uplift allocation cannot really be separated from the
2 price formation issues that you have, and if
3 real-time prices were right, there would not be much
4 uplift and a primary cause of the uplift is some of
5 the software issues that prevents units from setting
6 prices correctly in the real-time market.

7 Some of these on Slide 7 identified in AD-1414
8 include peekers that are committed and do not set
9 price because of their operating ranges, peekers that
10 are unable to adjust their bids in real-time, if
11 costs increase, pricing and shortage events,
12 cooptimization in reserves in energy that Professor
13 Hogan spoke about.

14 When you think about those issues, if the
15 real-time prices were right, we would have a lot less
16 uplift and some financial deviations would be paying
17 more and some would be paying less.

18 But prices would actually be higher.

19 If you think about that issue from "the
20 beneficiary pays principle," just touching on the
21 allocation issues, and go to the next slide in my
22 opinion you would be better off allocating the uplift
23 to load because there is an inherent price
24 suppression that is implied by the fact that you have
25 marginal units that must be paid outside over and

1 above the normal market price formation mechanism and
2 we accept in the day ahead market that we should
3 assign those costs to the load.

4 But in fact in the real-time market all of the
5 load is also benefiting because if the prices are
6 lower in the real-time market they are also lower in
7 the day ahead market and they are also lower in the
8 forward market through the price convergence process
9 and load is really benefiting from that process and
10 from the uplift and just touching on Professor
11 Hogan's point earlier, that is a good reason to
12 allocate them other than the fact that they happen to
13 be price insensitive.

14 To see that, if you just did a thought
15 experiment of imagining, what would happen if there
16 was a market rule that said real-time settlements
17 should be at zero, what would happen?

18 I just have two more quick comments.

19 ISO markets are extremely competitive when and
20 if they are open to financial market participants,
21 facilitating the convergence of day ahead and
22 real-time markets.

23 There is one issue you have to deal with to deal
24 with load pockets where you need an FTR Forfeiture
25 Rule or bid caps or things like that where there can

1 be market power.

2 But when the market is competitive for the
3 broader ISO market, the Commission should promote
4 market structures and cost allocation rules that
5 reduce the barriers to these important and efficiency
6 enhancing transactions.

7 Thank you.

8 MS. STASKA: Good afternoon, I am Stephanie
9 Staska with Twin Cities Power Holdings.

10 I want to thank you for the opportunity to speak
11 today, and for those of you who are not familiar with
12 Twin Cities Power Holdings, they have several LSE
13 subsidiaries as well, the largest of which
14 participates in PJM.

15 A lot of the perspectives that I will be
16 offering today will be a joint perspective both
17 between our financial operating arms and or load
18 serving arms.

19 I want to focus on something a little bit
20 different than what I felt some of the other
21 panelists would focus under during their five
22 minutes, so if we can go to the second slide, please.

23 I want to focus on how our virtuals, INCs and
24 DECs, are specifically being charged today?

25 They are being charged BOR for deviations,

1 right, so this is one of several uplift rates that
2 are assigned in PJM, and this rate is assigned not
3 only to financial transactions such as INCs and DECs,
4 it is also assigned to physical deviations.

5 Those include differences from day ahead
6 positions for load, IBTs, imports, and exports, and
7 deviations from desired outputs such as generation
8 and demand response.

9 At this current time, it does not include
10 transmission line deviations which also have a very
11 large impact.

12 Going to the next slide, please.

13 What is a deviation? This is an undefined term.
14 It is used frequently by PJM, but is not a
15 capitalized term in the tariff, so I was forced to
16 take the definition from the dictionary and deviation
17 came up as "an action, behavior, or condition that is
18 different from what is usual or expected."

19 Go to the next slide, please.

20 Physical deviations. These are differences in
21 day ahead positions such as load that was under over
22 forecasted, imports or exports that are scheduled,
23 and then change from desired outputs such as
24 generation or DR. These both meet the definition of
25 the dictionary.

1 Virtual transactions. When a participant clears
2 a financial contract in PJM, they receive both the
3 day ahead and real-time position.

4 This is applicable to INCs, DECs and UTCs. For
5 example, you are buying 100 megawatts in the day
6 ahead market, and you are selling the exact same
7 volume at the exact same node or node combination in
8 the real-time market.

9 These positions are known when PJM clears the
10 transactions which is the evening before the
11 operating day. The transactions cannot be cancelled
12 and the volume cannot be altered.

13 Next slide, please. No changes are made by the
14 participant after the day ahead market closed which
15 is noon prior to the operating day.

16 All virtual transactions behave in this manner.
17 The fact that the day ahead market is a buy in the
18 real-time market side of it is a sell is not
19 unexpected by PJM when modeling is known in advance.

20 Then, obviously, a further definition I read
21 earlier, virtual transactions, are not deviations.

22 Go to the next slide, please. PJM has
23 over-broadened the application of the term deviations
24 in their market.

25 Virtual transactions do not deviate in the sense

1 that they do not differ from what is usual or
2 expected.

3 Then that leaves us with the question of, if not
4 the BOR for deviations rate, then what? What do we
5 charge people?

6 I don't want to get into this too much since I
7 know a large part of this panel will be Q and A and
8 we will get into this later, but I want to share with
9 you that during the stakeholder process during he
10 EMU, I have often heard stakeholders and many members
11 of this panel say, "Physical deviation should be
12 charged more than INC or DEC which should be charged
13 more than the UTC."

14 This is something that Dr. Patton had mentioned
15 earlier as well.

16 At this point, there has been such limited
17 analysis done by PJM and the IMM that this is less
18 stakeholders questioning what the correct balance is
19 to this instinctual approach.

20 For on the one hand, during a PJM stakeholder
21 committee, one of the PJM staff said, "A UTC is
22 1/50th of the impact of an INC or a DEC," and then
23 later on a different analysis said, "Only 1.5% of
24 units committed were up to congestion."

25 Then we have another filing that says, "They

1 should be charged the same."

2 We are left with very little analysis, with very
3 little guidance from PJM or from the IMM, who are the
4 people who have data as to what the right level is.

5 The Commission and PJM must ensure that a fee is
6 set at the right level to incur the ideal level of
7 participation in the virtual markets.

8 I had ideal in bold here and I apologize to
9 people who cannot read that in the back of the room.

10 Ideal is not zero and it is not infinity either.
11 The reason I say it is not zero is because we are
12 concerned as a load serving entity that right now if
13 you have generators offering at cost almost all the
14 load participants in a market are price takers, so
15 they are offering and basically saying, "I will take
16 any price that is available in the day ahead market."

17 If you fail to have virtual transactions who
18 would fill the gap and who would provide the
19 necessary information for PJM to solve their model
20 and then that leaves us with the question of, "Is
21 there going to be more divergence, and as a load
22 serving entity, am I ultimately going to pay more?"

23 I heard this at a conference late this past
24 year, I was talking about the benefit of financial
25 transactions and how generally the benefit is that it

1 is intangible, it affects market participant
2 behavior, so how can we measure it?

3 Somebody had said to me, and I thought it was a
4 good point, that it's not just intangible because of
5 virtual transactions that are not up to congestion at
6 this point, but FTRs, these financial transactions
7 are providing fee income, will schedule nine fees to
8 PJM and also they are lowering the uplift costs for
9 the other market participants, and I believe that is
10 a tangible benefit they are providing to the market.

11 Thank you.

12 MR. SAUER: I was just advised that microphones
13 are left open and we are getting static on the
14 webcast. Please make sure that your microphones are
15 closed if they were left on.

16 Thank you all very much.

17 Let us start with some basic questions on uplift
18 causation and later in the day probably after the
19 break we will see how it transitions.

20 We will move to questions of allocation.

21 Does anyone want to start with causation so see
22 if everybody is on the same page or not and then go
23 from there.

24 I believe this is more of an allocation issue
25 and less of a causation issue.

1 We are in a couple different things.

2 Particularly, from David and Wes, we heard that for
3 INCs and DECs there can be power balance issues and
4 congestion issues that cause uplift and for UTCs.

5 It is really just congestion issues. It is not
6 power balance at all.

7 That is one of the big differences between the
8 two products.

9 We also heard from a number of people, that is
10 not every single transaction, in fact, David said
11 some will help the market and some will hurt the
12 market.

13 I do not know if there has been disagreement in
14 the past especially in old Docket ER-131654 about
15 whether UTCs do in fact cause uplift.

16 I just wanted to throw that out for everybody to
17 see if there is disagreement on UTCs can cause some
18 congestion related to uplift.

19 MR. ALLEN: Yes, an interesting question. If
20 you look at some of the way this is presented,
21 oftentimes what happens is that specific examples are
22 given where a UTC transaction or an INC or a DEC can
23 cause uplift and I cannot argue with that.

24 There are specific recurrences when any of the
25 two or three, depending how you look at it, can cause

1 uplift.

2 The question that hasn't been answered, what is
3 the holistic impact of INCs and DECs and UTCs, or on
4 the whole, is the entire market's transactions, are
5 they causing uplift to be incurred, and if so, how
6 much, and we will pay it?

7 Conversely, are they lowering uplift and in
8 which case why are you allocating any fee to a
9 transaction that is lowering the total amount of
10 uplift in the system?

11 As a part of EMU, and I know we will talk about
12 EMU later, I am sure, we have asked for a cost
13 causation study to be done and you heard Dr. Hogan
14 say that cost causation cites end up being circular.

15 That said, and I don't necessarily disagree with
16 that, there has been analysis done in other markets
17 in MISO, for example, and CAISO, so forth.

18 In all of those markets they net out their INCs,
19 their DECs, and that is an important component that
20 is missing in PJM.

21 If I remember correctly from the MISO cost
22 causation study, what they found was what amount of
23 the uplift was caused by virtual supply, meaning,
24 incremental offers, and if I remember correctly, is
25 1.3% of all the total uplift and that is why they are

1 charged the DVC rate or the deviations rate in MISO.

2 And that is fair.

3 That is just and reasonable. You don't want to
4 throw the baby out with the bath water and charge
5 transactions to a lower uplift.

6 If you look at the Yes Energy analysis that they
7 did, losing 80% of the volume of UTCs, has resulted
8 in higher uplift.

9 What is the point of allocating your cost to pay
10 uplift that lowers uplift? We have just asked for a
11 cost causation study in PJM.

12 In fact, as part of the EMU, there is actually a
13 participant's proposal that is on the table moving
14 towards voting an EMU that is based on the results of
15 a PJM cost causation study that PM refuses to do.

16 One last thing I would add.

17 I saw the Yes Energy data and since we were
18 speaking about the uplifts going up, the \$1.52 of
19 increased divergence in the market, on the back of
20 the envelope, the \$1.52 times the PJM load, that is
21 \$1.2 billion of increased market inefficiencies since
22 the effective date.

23 That is something else to bear in mind.

24 Thank you.

25 DR. PATTON: I want to bring together the

1 different views of cost causation because I actually
2 agree with almost everything Dr. Hogan said even
3 though it sounds like our views are relatively
4 different.

5 In a nutshell, what I heard Dr. Hogan say is,
6 "Let's get the price formation right, the uplift
7 issue will be greatly diminished, and at that point
8 there may be no reason to allocate any of it to
9 deviations."

10 What I said is, you should allocate it to
11 deviations to the extent that they cause it. Those
12 two are not divergent and let me explain why.

13 Let's imagine that real-time prices are \$40, but
14 they really ought to be \$45 because you have a
15 problem with your price formation in real-time.

16 What that means is you are not going to commit
17 your units, and in the day ahead market between \$40
18 and \$45, and your loads are generally going to be
19 under purchasing deviating and what are we going to
20 do in response?

21 We are going to commit a bunch of gas turbines.
22 What should happen, if price formation was good, is
23 those gas turbines would set the price and we would
24 not have to pay them much uplift because the
25 real-time prices would reflect their cost.

1 We might have to pay them a little bit because
2 of their startup costs, but not much and that would
3 send a signal to the loads to buy more and the prices
4 in real-time would go from \$40 to \$45.

5 The fact that prices are \$40 in real-time, does
6 that mean we want \$40 prices in day ahead? The
7 answer is no.

8 We don't want \$40 prices in day ahead. When
9 people talk about price convergence, when you know
10 you have price formation problems, you don't want the
11 day ahead prices to converge with prices that are
12 depressed in real-time which is what you get when you
13 allocate nothing to deviations.

14 What we want is the \$45 price in day ahead
15 because we want to commit the units that we ought to
16 be committing and not relying on the gas turbines.

17 Let's imagine that it will take a while to fix
18 the price formation problems, and if anyone has read
19 my State of the Market Report when I recommend
20 changes, it is on price formation the clock starts
21 and it doesn't stop for a long long time.

22 If we imagine that we cannot fix those things
23 immediately, how do we get the loads to see the cost
24 of the gas turbines that we are committing on their
25 behalf if the gas turbines are not setting the price

1 in real-time?

2 You allocate the uplift. You are paying the gas
3 turbines to the loads that are under-purchasing and
4 that causes them to purchase more and it improves the
5 commitment in the day ahead market and that's why
6 it's those deviations that are harming that are
7 causing us to have to commit the gas turbines that
8 ought to get allocated the cost, but they should only
9 get the costs that are associated with the
10 deviations.

11 They should not get costs associated with load,
12 forecast, errors, and ramping issues that cause us to
13 have to commit gas turbines that have really nothing
14 to do with the fact that load was under scheduled.

15 MR. SAUER: Adam, I'm going to be unfair here
16 and request that everybody to stick with cost
17 causation. We will talk about allocation later.
18 There will be plenty of time to respond.

19 MR. KEECH: I want to respond to a couple of
20 comments that were made.

21 Regarding uplift recently in PJM, we talked
22 specifically since the order came out in August, but
23 it really backs up to coming out of winter 2014 where
24 we had some significant uplift issues in PJM.

25 Since probably about March 2014, uplift in PJM

1 has been at historically low levels.

2 If you look at 2014 compared to 2013
3 notwithstanding January and February 2014 we are
4 about \$30 million a month less than we were in 2013.

5 The analysis presented here, the discussion
6 about removing UTCs and uplift going up, we may need
7 to look into some more detail around that because
8 from our perspective, and I believe from the IMM's
9 perspective, I do not want to put words in Joe's
10 mouth, we are at historically low levels with uplift
11 for a number of reasons.

12 We have taken action on a couple things. We had
13 a very mild summer. We had low-fuel prices. There
14 are a few things that are contributing to that, but I
15 do not want to walk out of here where our thinking is
16 we pull UTCs back out of the market and uplift went
17 up because that is not the case.

18 The second piece is with respect to the cost
19 causation analysis and we did have some discussion on
20 this at the energy market uplift in your task force.

21 We took a look at an analysis that was done in
22 MISO and there are a couple of roadblocks that we ran
23 into.

24 One is the MISO analysis. This isn't really
25 causation. It is more of association. It is kind of

1 like saying there is an accident and then there's a
2 traffic jam, so any car on the road is guilty, and
3 that is not really causality, that is more
4 association.

5 You are part of the traffic jam and you are
6 guilty by association and that is not a necessarily
7 causality.

8 What we struggle to define is what that cost
9 causation analysis actually is and from PJM's
10 perspective, we think is extremely difficult to go
11 down on a transaction by transaction basis or even
12 categorized transactions, and say, "You are
13 responsible for this piece and you're responsible for
14 this piece."

15 The very very tricky problem to unwind, and so
16 to the point that Wes made, we haven't moved for and
17 we haven't done a cost causation analysis, frankly,
18 because we have not defined what that term even means
19 in the context of this discussion.

20 I wanted to respond to those two comments.

21 MR. HOLLADAY: Quickly now, on the operating
22 reserve fee question. There may well be at
23 historically low levels, but what we are finding is
24 that in the weeks after the order they are higher
25 than they were expected to be, right, so just to be

1 clear, it is not that we are claiming that there is a
2 reasonably higher unexplored -- well, "historically
3 high" is the phrase I am looking for. It is just
4 that they are higher than they are expected to be and
5 that is associated with the FERC order.

6 Is that correlation or causation? I think that
7 absolutely works for further study.

8 On cost causation, I agree with Adam, the
9 studies that have been done before are cost
10 correlation and not cost causation.

11 That may be what you want, but just to be clear
12 on what you are getting, if you are looking at the
13 MISO study, you are looking at correlations and there
14 is no guarantee that the correlation you find will be
15 able to kind of unpick the cause of that cost, so
16 just a word of caution.

17 MR. BOWRING: Let me agree briefly with Adam. I
18 do not think it has been demonstrated here that
19 either uplift has gone up as a result of the UTCs
20 being reduced substantially or that convergence has
21 got gotten worse.

22 Those are both complicated questions. We looked
23 at them in some detail. I can safely say what
24 presented here was of interest, but it does not
25 demonstrate the claims that were made based on that.

1 A cost causation again to the agree with most of
2 the peekers, it's very difficult to do it on a
3 transaction by transaction basis.

4 It is very difficult to do it in real-time and
5 what happens if a load or a transaction causes the
6 unit to be committed which has a 12-hour min-run and
7 that transaction then goes away?

8 How do you deal with all of that?

9 That is just one simple example, but it is
10 impossible and is ultimately a waste of resources
11 even to try to go down that path and the more
12 appropriate path is to broadly categorize as we
13 proposed doing the reasons for the incurrence of
14 uplift and then spread it to everyone in that
15 category equally if within that category those
16 participants want to dispute whether some are good
17 and some are bad, then that would be fine you could
18 reallocate within the category.

19 I do not have any particular interest in doing
20 that, but that could happen. Thanks.

21 MR. KLEIN: I commend PJM and acknowledge Adam.
22 The uplift has gone down and the reason that uplift
23 has gone down is because PJM has taken some different
24 actions in terms of how they run their reliability
25 commitment and second commitment and just being a

1 little bit more careful and sophisticated around
2 that.

3 You have seen uplift go down, but that was
4 unrelated to changes in participation and activity by
5 financial bidders, so to the extent that there is no
6 correlation there, that is something.

7 MS. STASKA: What is the relative impact of the
8 different types of transactions? I spoke about this
9 in my opening remarks as well.

10 Physical transactions that are deviating. They
11 are being charged the same rate as INCs and DEC. I
12 will not go into the allocation too much, but those
13 are things like load under over forecasts or
14 generation or demand response was supposed to be
15 there and they did not show up.

16 That, obviously, has a much larger impact on the
17 market than an INC or a DEC let's say because an INC
18 or a DEC, if we are going to call it a deviation, we
19 should at least call it a planned deviation since
20 nothing has changed since the day ahead market was
21 run.

22 Then a UTC is a planned deviation with zero
23 power balance.

24 Like I said before, there is instinctually a
25 ranking system here of what is causing the most

1 uplift versus what is not, or the most unit
2 commitment or what is not, but we are left hanging as
3 to what that correct relationship is between all of
4 them.

5 We have PJM saying, "We are not really sure how
6 to do that," or it is, "We are not really sure that
7 we can do that and there is a good road map for us to
8 follow."

9 I can tell you from a load serving perspective
10 that when I under over forecast load, and then I have
11 to pay the BOR for deviations rate to me that feels
12 like a punishment.

13 I feel I am being fined with this large fee that
14 is very volatile that comes after the fact. I feel
15 that that's to help me self correct my behavior for
16 under over forecasting alone truly can never be
17 completely accurate and completely correct.

18 But I feel that that is to help mitigate my
19 behavior and when you are assessing the same fee,
20 that is to help mitigate physical deviation's
21 behavior to planned financial deviations it creates
22 the wrong incentive in the market.

23 As I said before, I am not saying that they
24 should not pay any fee, and we will go into
25 allocation later, but the same sort of allocation is

1 what is questionable here because the causation of it
2 is completely different. Thank you.

3 DR. PATTON: People have referred to the MISO
4 cost causation study. We actually perform the
5 studies, so I would be happy to answer questions
6 about it.

7 I would like to correct this notion that somehow
8 you happen to be there at the same time, so you are
9 causing it, but what the study actually looked at was
10 the helping and harming deviations that were
11 occurring relative to the day ahead that affected the
12 physical scheduling in the day ahead such that in
13 hours that MISO had to make commitments to satisfy
14 the incremental real-time load.

15 If you say, "We have load that was under
16 scheduled by 1,000 MW and MISO had to commit 500 MW
17 because the load and real-time is higher than what
18 was scheduled in day ahead, you could say, "The 1,000
19 MW happened to have been there at the same hour that
20 we were committing 500 MW, so maybe it is just
21 associated or correlated."

22 It's pretty hard to argue, though, that that
23 deviation did not cause MISO to make the commitment
24 because the best thing you could say is, "If we
25 scheduled a 1,000 MW more supply in the day ahead, if

1 the deviation were not there, then maybe MISO would
2 still have had to make that commitment, but that
3 would only be the case if the demand and supply were
4 not performing consistent with the day ahead outcome.

5 I certainly do not think that it is that hard to
6 do the study as long as you are willing to make the
7 assumption that changes in the physical schedules and
8 the day ahead does in fact change the need for the
9 RTO to commit to meet the need in real time.

10 MR. KLEIN: We do have to be careful and not to
11 focus too much on the physical deviations because one
12 of the things that you have in PJM, and separate from
13 the financial deviations, is you do not want to
14 create a situation where you say everybody has to
15 balance their schedules.

16 Access to efficient spot market for settling
17 imbalances is one of the critical benefits of having
18 these competitive markets. You do not want to have
19 to be the best load forecaster.

20 You want market participants to do what they do
21 best and that can be wind units or other units.

22 One of the problems with the whole approach to
23 this thing that allocates to deviations, whether it
24 is financial or otherwise, is that the denominator
25 gets less and less and less which creates a really

1 vicious cycle which we saw happening in PJM prior to
2 2008 for our reforms, and you also had the problems
3 associated with participants using IBTs and things
4 like that to reduce their scheduled deviations even
5 though the IBTs are put in the day afterwards and had
6 nothing to do it with what was actually happening,
7 and everybody, PJM and the Market Monitor and
8 everybody is proposing that IBTs be eliminated.

9 The better principle, you can get caught in a
10 trap by going for, "Let's just get the scheduled
11 deviations because it is counter to that principle
12 that Bill and Joe were talking about, about spreading
13 it widely.

14 You do want to try and do it cost-causation
15 based, but you also want to spread it widely and it
16 is hard to distinguish whether that wind unit, even
17 though it deviated, might not have caused the actual
18 commitments that are resulting in prices, the GT that
19 got put on in Pepco that didn't set prices, that is
20 not caused by the wind unit in Iowa.

21 MR. SAUER: Let's dig into how possible to
22 determine whether an individual transaction caused,
23 and we can debate the correlation versus causation as
24 much as we want here as well, but did in fact cause
25 uplift. Certainly there has been some discussion

1 about the MISO report.

2 It is my understanding, correct me if I am
3 wrong, David, is that the MISO allocation process
4 looks at transactions and assesses whether they did
5 in fact cause uplift or not.

6 I would like to hear a little bit more about
7 that, whether or not that approach could work for PJM
8 and help to determine whether UTCs and INCs and DECs
9 cause uplift.

10 DR. PATTON: If we were just looking for
11 correlation, we could do an econometric analysis and
12 say what tends to be happening when uplift is
13 incurred and who knows what the result of that would
14 be.

15 But if you start from the premise that the
16 schedules in the day ahead matter, so if you schedule
17 more physical load, you are preparing the system to
18 serve that load in real-time, then the deviations
19 that move you away from that is in part where you
20 want to focus on and then you want to categorize all
21 the other factors beyond the deviations that could be
22 affecting the commitment of resources.

23 The way the study was done, it is important from
24 the capacity perspective to look at the net of
25 everybody's deviation because the need to keep power

1 and balance, and if that's why you are committing
2 resources, then everybody's deviations, positives and
3 negatives, are playing into that.

4 The first step in both the allocation process
5 that MISO runs, and in the study, is to net all the
6 positives and negatives together, and say, "In this
7 hour all physical and virtual, and everybody
8 together, was the net deviation helping or harming?"

9 If the net deviation was not harming, then it is
10 very hard to argue that the deviations are causing
11 any of the uplift on the capacity basis.

12 Then we do the same thing on a congestion basis
13 based on the flow that those day ahead and real-time
14 deviations cause on the constraints.

15 You can work your way through a process like
16 that, and I understand that people would say, "The
17 more accurate way to do this would be to rerun the
18 day ahead market," to do some sort of simulation
19 where you take the deviations out, that is far more
20 difficult and is not a very useful exercise because
21 it does not account for the change in behavior that
22 you would see if those virtual transactions in UTCs
23 were actually not there.

24 It is a valid approach, and if you look at the
25 results in the study, there is nothing that comes out

1 of there that is not intuitive.

2 I mean there are no results that you say, "Why
3 does that appear to be causing uplift and that not?"

4 It is pretty well understood why various classes
5 of behaviors cause uplift and not coming out of that
6 study.

7 That is why, in part, the formulating and
8 allocation around it was possible because it is
9 logical and most people understand how it works.

10 DR. HOGAN: I am still bothered by the
11 formulation of the question. Frankly, I don't care
12 about uplift.

13 I care about total costs of the whole system.
14 The analysis you want to do is the cost causation
15 against the total costs.

16 It could be something came along and uplift went
17 up and total costs went down and that is good. What
18 I am interested in is the total cost.

19 The uplift is just a story about how the prices
20 work relative to the total cost and then how much is
21 going to have to be collected some other way and you
22 are not trying to minimize that number necessarily.

23 You might want to minimize subject to the
24 constraints, but nonetheless, that is not it.

25 Focusing on that question is the better total

1 cost question is going to help you a lot more. Then
2 when you do that, you want to look closely, and ask,
3 "How much of this did I just analyze of these total
4 cost causation could be attributed to marginal
5 changes?

6 If the answer is a lot, then that should be in
7 the LNPs because that is what the story is all about,
8 the changes in the total costs.

9 So we have something wrong with the LNP model
10 that we could fix and then we will end up with
11 something that is left over and then I repeat what I
12 said before.

13 If you keep reverting back to the problem,
14 uplift, we want to look at the cause of uplift, then
15 you are asking the wrong question.

16 It confuses me to try to figure out how to
17 answer it. I agree with Adam. There is a much
18 deeper reason why it is hard because it is
19 impossible. Changing the question is what needs to
20 be done.

21 MR. SAUER: I will only ask one more question on
22 the cost causation and then we will get to uplift and
23 get to the allocation part of it.

24 Is there anybody else on that question?

25 We will talk about appropriate allocation later,

1 but I am thinking of a situation where you have both
2 an INC and DEC and the UTC, and INC shares the same
3 INC as the UTC and the DEC, shares the same DEC when
4 there is a UTC, so fundamentally they are the same
5 transaction.

6 They settle the same way. My understanding is
7 they have the same impact with a dispatch. We had
8 some discussion with the first panel about why there
9 should be some differences in how they should be
10 treated for FTR forfeiture rule, but from my
11 understanding, they are the exact same transaction.

12 Certainly one is assessed uplift independently
13 on both INCs and the DECs and the other is not
14 assessed currently.

15 Am I incorrect in looking at those as being
16 fundamentally similar transactions and that if one
17 causes uplift, the other will cause uplift or the
18 other does not cause uplift the other will not as
19 well?

20 DR. PATTON: Because they are the same and if
21 you are not charging them the same, then you are
22 doing something wrong and then MISO would under its
23 allocation charge them the same, both of them would
24 be charged only, the congestion related uplift would
25 be charged the same to both of those transactions,

1 and on the capacity side, the fact that the
2 participant has an INC and a DEC they cancel each
3 other out is recognized in allocation.

4 The reason it is recognized in allocation is
5 because on a cost causation basis the power balance
6 impact of that is zero.

7 Before you allocate dollars you have to do that
8 netting or you should do that netting.

9 MR. ALLEN: You pretty much stole my thunder.
10 This is what I was talking about earlier which is
11 currently an INC and a DEC you clear same hour same
12 volume and PJM is being charged twice for some market
13 but with some others they do net with IBTs.

14 Current allocations exist in PJM for UTCs is not
15 incidental nor accidental. It was done the way it is
16 because it recognizes the transaction is flat that
17 gets you to the same result as a market participant
18 would get to with an INC and an IBT your net amount
19 and your flats. That is ultimately your problem is
20 you are flat, and it is being charged to energy
21 deviations.

22 If you have an INC, and a DEC, same volume, same
23 hour, and you are clear on both, you are getting
24 charged two energy deviations and how much did you
25 actually deviate?

1 You did not deviate. There is no deviation from
2 a capacity standpoint.

3 If you think about it in basic math terms, as it
4 stands right now in PJM with the current allocation
5 methodology for INCs and DEC, a negative one
6 megawatt and plus a positive one megawatt equals two
7 energy deviations where a negative one plus one
8 equals zero.

9 That is the core problem.

10 That's why you have the illusion of preferential
11 treatment is because you are discriminatory with the
12 INCs and DEC, and they need to be netted in the
13 system because there is no energy imbalance if you
14 are simultaneously clearing an INC and a DEC, a
15 negative one plus one equals zero.

16 MR. HOLLADAY: This may not be exactly what you
17 had in mind, but one way that you could introduce
18 potentially uplift is with the execution risk on the
19 INC and DEC separately.

20 Your goal is to get net zero power balance,
21 right, and when you do a UTC, you are guaranteed to
22 be picked up on both sides.

23 You try to do that as an INC and a DEC there is
24 a risk that you are picked up on one side, but not
25 the other of that transaction in which case you are

1 now not zero power balance anymore and you are hoping
2 to have no impact on the market, but in fact you are.

3 That is not exactly probably the path you had in
4 mind, but that is an avenue through which UTC can
5 avoid affect in the market and the INC and DEC could
6 potentially.

7 MS. STASKA: This is interesting because,
8 obviously, UTCs, INCs and DECs are defined
9 differently in the tariff, and as Scott said, it is
10 paired so the source and sync always go together.

11 Something that none of the other panelists have
12 talked about is that they are bid into the market
13 differently, so if you want to do a synthetic UTC
14 using an INC and a DEC, sure, if you clear both
15 sides, then it would settle at the same price.

16 But the problem is you would have to do an
17 uneconomic INC and an uneconomic DEC to ensure that
18 you clear both sides of that versus a UTC, you can
19 say, "I'm willing to bid up to this dollar amount,"
20 and you can clear both sides at the same time.

21 You are doing an economic transaction in the
22 market. When you look at the physical market
23 participant, you have a generation offering at cost
24 and there are always price takers and so they are not
25 economic either.

1 If we are going to take an economic transaction
2 and turn it into two uneconomic transactions, I don't
3 see how that is benefiting the market.

4 They really are different even though
5 financially they settled to the same number, they are
6 not impacting the market the same because the market
7 participants will be bidding them differently.

8 Thank you.

9 MR. KEECH: From PJM's perspective, if you look
10 at the way they impact the system as a surrogate as
11 to how you should allocate the uplift, there are
12 times when the UTC is apparently INC and DEC and is
13 up to zero and there are other times when it is not
14 really exactly the same.

15 Let me define those two for you.

16 If I bid in a UTC from point A to point B, and
17 there is no congestion, that looks like they are at
18 the same essential location and I can net those out
19 and there is really no impact to the system period,
20 power balance, congestion, nothing.

21 But when it is bid across a congested path, you
22 essentially have isolated those two ends into sort of
23 local market areas to where now I cannot serve the
24 DEC with a supply from the upstream side of the
25 constraint and I cannot sync the INC with downstream

1 load.

2 When you split those two up, it starts to look
3 like a different type of transaction than just an
4 inquiry. It starts to look like two different types.

5 I would probably argue that there are times when
6 they are the same and times when they are not the
7 same.

8 Those times when they are not the same, get to
9 the scenarios where the UTC can cause PJM to commit
10 generation that incurs uplift payments to manage
11 congestion and that is sort of how we get to where
12 UTCs may end up creating uplift if PJM commits
13 generation to control flows imposed by UTC.

14 MR. BOWRING: If I understood your question
15 correctly, the answer is yes, for reasons different
16 to at least they were from some of the others, and
17 what Adam said, the fact that there may be zero power
18 balance at times is interesting, but not really
19 relevant to a lot of the situations where UTCs exist
20 and both our analysis, and PJM's analysis, have shown
21 that UTCs do affect both unit commitment and unit
22 dispatch and therefore we think affect uplift and
23 they should be treated the same.

24 DR. PATTON: I am a little confused. I have
25 been talking about distinguishing between capacity

1 and congestion related uplift, so most of what I
2 thought I was hearing was maybe there is an agreement
3 that UTCs don't cause capacity related uplift, they
4 can cause congestion related uplift.

5 The thing I was confused about is, an INC and a
6 DEC, if I inject one hundred and withdraw one
7 hundred, and it affects congestion, and I have a UTC
8 that is 100 megawatts injected and withdrawn, then it
9 seems like those would have to have the same impact
10 on the congestion-related uplift.

11 But it sounded like PJM thought they had a
12 different impact.

13 MR. KEECH: No, I was specifically saying an
14 INC, or a UTC, not a paired INC and a DEC versus UTC.
15 Sorry for not being clear.

16 MR. SAUER: Thank you. We will go to
17 one-related causation question and then take a short
18 break and jump to some allocation questions.

19 Some of you mentioned the 206 Order from
20 September and thank you very much for your thoughts
21 on some of the trends.

22 We just want to hear what the Commission staff
23 should take away from the UTC trends that are cause
24 correlated or however you want stated in this case
25 with that order. The question is what should we take

1 away from that?

2 MR. KEECH: PJM did some analysis probably
3 towards the end of last year to try and figure out
4 what the market impacts were from the reduction in
5 UTCs, and I am going to assume that the 80% that has
6 been cited is probably roughly accurate based on a
7 graphic that is shown.

8 What we really found was, it was difficult to
9 determine whether there was a positive or a negative
10 impact. There were areas where the price convergence
11 looked like it got worse, but there were a lot of
12 other moving parts.

13 We were changing seasons from summer into fall
14 and some of the other things we talked about.

15 Something we did see was the number of
16 constraints that we hit in the day ahead market went
17 down significantly, but the amount of congestion
18 dollars didn't go to -- what that sort of infers is
19 you have UTCs taking very small congestion positions
20 in the day ahead market that do not really impact the
21 total amount of congestion, but certainly bind up the
22 day ahead market software and make it a much more
23 difficult problem to solve although the monetary
24 impacts are very small.

25 We looked at balancing congestion impacts. I

1 realize I am jumping back to the previous panel, I am
2 trying to summarize.

3 The balancing congestion impacts. We saw some
4 "levelizing" and sort of minimizing of the extreme
5 sort of negative balancing congestion days.

6 We saw that for a period of time, but then we
7 saw those days reoccur for unrelated reasons. It is
8 really not clear that the reduction in UTCs has
9 limited highly negative balancing congestion days or
10 that price convergence has really gotten better or
11 worse.

12 MR. BOWRING: My first six or seven slides cover
13 a lot of this, but certainly it is the case that UTC
14 transactions were down significantly.

15 One of the interesting points about that is that
16 the profitability of their remaining transactions was
17 substantially higher reflecting the fact that these
18 transactions were facing the risk of having to pay
19 uplift and only those which would have covered the
20 that expected uplift payments were continued to be
21 engaged in.

22 One of the most dramatic changes is the number
23 constraint hours day ahead and real-time bind and
24 constrain hours of weekly day ahead binding and
25 constrain hours, and Adam mentioned this, went down

1 pretty significantly, particularly my Slide 6 shows
2 that.

3 As we already discussed, it is very difficult to
4 say yet whether there has been any measurable impact
5 on either uplift or price convergence, but you can
6 see based on the results of prior analysis by PJM,
7 and by us of the same data that with and without UTCs
8 price convergence varies.

9 For some nodes it is closer and for some nodes
10 it is farther apart. UTCs are typically more
11 profitable on the source side and tend to lose money
12 for a large proportion of the time on the sync side
13 and their corresponding impacts on convergence.

14 It is not the case that UTCs uniformly improved
15 convergence at both ends.

16 MR. KLEIN: It is hard to know given the period
17 that we have gone through and not having like summers
18 and the Yes Energy study sounded very interesting in
19 this score, but it is important, one of the factors
20 that came out from AD1414 on the price formation
21 issues in the PJM market the peaking units don't
22 actually set price, they are not even able to set
23 price.

24 Years ago PJM actually did a study of, "Should
25 we fix this?" and in their analysis they said, "We

1 have got enough financial bids in the market that
2 actually make the market liquid enough." and over the
3 last several years you have seen a big increase in
4 UTCs and a decrease in INCs and DECs and now with the
5 Order you have a decrease in both.

6 One of my concerns in this is that you actually
7 will reduce the liquidity from the convergence bids
8 if you simply treat UTCs like INCs, or DECs, or even
9 treat them as an INC and a DEC and double the charge
10 to them, then you reduce that flexibility without
11 making lots of other changes in the system and the
12 liquidity that those financial bids provide to the
13 market is really important for the price formation.

14 I have heard some PJM's staff at times say that
15 they would not even want to run the PG market without
16 financial bids.

17 MR. KEECH: Just to jump in on what Adam said
18 about the modeling of inflexible units. What he was
19 speaking of was the ability for inflexible typically
20 combustion turbine units to set price in the day
21 ahead market.

22 While I agree with what he said for the large
23 majority of history, we actually just changed that
24 late last year and I want to say maybe November -
25 December time period, so that those units can now set

1 price.

2 I just wanted to throw that out there.

3 MR. ALLEN: Something we heard Dr. Bowring and
4 Adam state they were talking about that number of day
5 ahead constrained hours pre-order, post-order, part
6 of the problem or possible part of the reason why we
7 saw such a decline has to do with the limitation of
8 the UTC product as it exists.

9 From my opening remarks, I said it is
10 approximately about 300 unique nodes and also into
11 the big caps, plus or minus 50 wherein contrast INCs
12 and DECs were a much wider big cap, much wider
13 availability nodes.

14 How does that impact the number of constrained
15 hours in the day ahead?

16 If a market participant or stakeholder notices a
17 point or a node binding in a PJM system in the
18 real-time, and they want to transact on that path,
19 they may not be able to with the UTC.

20 They may have to do something that is
21 locationally similar, but it is not the same because
22 where the energy prices are binding in the real-time,
23 very likely it is not a UTC available node.

24 By submitting that is similar, but not the same,
25 you can cause different radial effects.

1 With all that said we were talking about the
2 number day ahead binding hours and Adam did say that
3 the dollar values minuscule really does not make a
4 difference, but we are talking about hours.

5 When we were looking at Yes Energy, the data and
6 the difference in convergence and divergence before
7 and after an order, we are talking about \$1.52 which,
8 if you extrapolate that for a year, you are talking
9 about, like I said earlier, \$1.2 billion of increased
10 market inefficiency due to the lack of UTCs that is
11 available now that has been entered into.

12 One last point. The IMM stated the increased
13 profitability of UTCs since the refunded effective
14 date and he attributes that to moving to more
15 profitable paths and that is probably a portion of
16 it.

17 The increase in divergence between day ahead and
18 real-time is another part of it and another reason
19 why profitability has gone up, but at the end of the
20 day, we are really not talking about profitability.

21 The numbers, if I remember correctly, as he
22 stated previously, it has gone from 32 cents to 94
23 cents.

24 If you allocate uplift into these transactions
25 as it is done with INCs and DECs currently, they are

1 not profitable still and they still are losing money,
2 so why are they being entered into?

3 That's a good question. I really cannot answer
4 too well. Some market participants are hoping that
5 this turns out right.

6 It will be interesting to see what happens if
7 they get allocated an uplift twice and you might see
8 something reminiscent of what FM and MISO of a few
9 years ago with the RSG refund and you saw some
10 companies go out of business because of it.

11 Those are my thoughts.

12 DR. PATTON: In MISO, I have been trying to get
13 something like an up-to-congestion product introduced
14 for about three years in part because the
15 congestion-related price differences are not well
16 arbitrated between day ahead and real-time in MISO.

17 Participants are forced to take much more risky
18 positions where they force an INC and a DEC to clear
19 to arbitrage or speculate on price differences that
20 they're seeing that are sustained between day ahead
21 and real-time.

22 In a situation where you see the
23 up-to-congestion transactions drop by 80% what you
24 really want to focus on rather than general price
25 convergence is convergence on congestion and really

1 focus in on those areas where the up-to-congestion
2 transactions are having impacts.

3 Although I will say that a significant reduction
4 in day ahead binding constraint hours is a bad sign
5 and the reason it is a bad sign is to converge the
6 congestion between day ahead and real-time.

7 What you see in real-time you may see a
8 constraint bind 10% of the peak hours at a \$500
9 shadow cost.

10 When that is perfectly arbitrated, the way what
11 it looks like in day ahead is more like it is binding
12 100% of the peak hours, \$50, and that is because the
13 transactors are putting in an expected value in order
14 to make money.

15 You expect and we generally see this, that the
16 day ahead binding constraint should be much higher
17 than the real-time.

18 The important thing to do, though, is to take
19 the shadow costs and compare them, and see how well
20 they are converging.

21 If I take 10% times \$500, and 100% times \$50, I
22 will get exact convergence. That sort of analysis
23 may give you a clear picture of how the reduction in
24 UTCs have affected convergence.

25 MS. STASKA: I cannot give a great background in

1 how PJM and their assistance have been impacted by
2 this, but what I can tell you is how market
3 participant behavior has changed.

4 The majority of traders left in the market have
5 to assume that there is a fee that they need to
6 account for. When they are making their bids, they
7 have to add a fee and they do not know what it is.

8 Not only is it whatever they expect the fee to
9 be, there is a risk premium for what the fee could
10 be, but they don't know what it is.

11 Market participants do not know if it is going
12 to end up being the RTO wide BOR for deviations,
13 right, or if it is going to be the rate on the sync
14 which might be RTO wide for deviations plus the west
15 adder, as the regional adder, or it could be the day
16 ahead operating reserve rate or it could be a fixed
17 fee.

18 Nobody really knows what it is.

19 What we are seeing is we are seeing people bid
20 at much higher dollar values than they normally would
21 have because they have to include that risk premium
22 in that fee assumption.

23 What happens when you have to bid on a fee like
24 that is that it can cause divergence in the market
25 because it can never converge more than the fee

1 assumption because that is what people have to assume
2 they are going to collect from the transaction.

3 Dr. Bowring and Wesley Allen said something
4 about the profitability of the trades increasing.
5 Well, the profitability is only increasing if you do
6 not take into account a potential fee plus the risk
7 factor whatever that potential fee might be that you
8 are not counting for.

9 At that point you have to look, and say, "Is it
10 really more profitable?" and since nobody knows what
11 the fee is, are they still going to be profitable or
12 not and nobody knows the answer to that at this
13 point.

14 Thank you.

15 MR. HOLLADAY: David is absolutely right. I'm
16 not sure that looking at the darts spread is the
17 right way to evaluate this. The reason why I
18 presented to you today, had the darts spread is that
19 is what had the existing analysis use.

20 The previous studies that found and proved
21 convergence use dart spreads, so I wanted to use
22 that.

23 Congestion or potentially the loss in congestion
24 sum together is potentially a much better measure and
25 so buried in that robustness checks, the line I

1 showed. We have done that and the story does not
2 change when you focus on congestion.

3 We also looked at just the set of nodes that are
4 eligible for UTC, and again, the story does not
5 change there.

6 The data exists to do this type of study in a
7 very careful way. There is volume data for all of
8 these UTC transactions across individual nodes and
9 there is volume data for what is still transacting.

10 With that volume data, you could look very
11 carefully and look at the level of convergence in
12 congestion prices across nodes that formerly were
13 heavily traded, but are no longer. That is feasible
14 and the people who have the data should be doing that
15 for sure, or even better, share the data with me.

16 MR. BOWRING: Stephanie's point is certainly
17 correct about profitability after any fee, but that
18 is besides the point.

19 It is consistent with a lot of what I have been
20 saying and I recognize that the net profitability
21 after the fact will depend on the fee because we have
22 a date from which the fee will continue to be
23 incurred.

24 There's a broader lesson here which is, as we
25 said back at the time, when UTC was produced it does

1 not make sense to introduce a new product without
2 understanding how the rules apply, what you said from
3 the very beginning in fact so the numbers voted on
4 initially not to have the UTC product because there
5 was no agreement on how uplift would apply.

6 We are seeing the outcome of that uncertainty.
7 It has been an ongoing disagreement and now it is
8 coming to the fore and the same thing applies to the
9 FTR forfeiture rule.

10 Everyone has to understand the rules before the
11 product is created and understand all of the rules
12 associated with it and we did not have that in this
13 case.

14 MR. ALLEN: I hear this from the IMM frequently
15 that the UTC product was voted down in the state
16 court process, and what he is referring to is back in
17 2008, 2009, sometime around that time frame, there
18 was a spread bid task force in PJM, and UTCs by the
19 way, it existed at that time, UTCs had been in
20 existence for several years at that time.

21 A spread bid task force was created.

22 I cannot remember how long it lasted, it was
23 twelve months or so, and when it finally came down to
24 a vote there was a ton of questions that had not been
25 answered that needed to be answered.

1 I had asked some of the questions at the time as
2 well, one of them being, "Is this a replacement for
3 the UTC product? If we vote for a yes on a spread
4 bid, does that mean that UTC goes away?"

5 There was no clarity there. At what points
6 would it be available all on the spread bid? Would
7 it be just in the hubs, and the zones, just the
8 interfaces, all of the nodes, how would uplift be
9 applied?

10 Would it be no uplift like there is for UTC or
11 what was currently at that time? Would it be applied
12 one time or would it be applied two times?

13 There are all of these questions about it. When
14 it came time to vote, and I trade UTCs, I have since
15 2007, I voted against myself because there is so much
16 uncertainty.

17 Why would I put myself out of a job by voting
18 for something with so much uncertainty?

19 So yes, the spread bid was voted down in the PJM
20 task force that existed several years ago, but the
21 UTC product had existed for years prior to that. It
22 was mandated by FERC. It has been in the market
23 since 2002, or 2000, when day ahead market was
24 created.

25 To say that it was voted down by the

1 stakeholders, I take a little bit of exception to
2 that because I voted it down too, but clearly, I want
3 the UTC product to exist in the market, but I could
4 not in the UTC product in order to create a spread
5 bid product when I had no expectations as far as its
6 availability and how charters would be applied to it.

7 Thank you.

8 MR. SAUER: We are starting to stray from the
9 question. Let's try to keep the comments relevant.

10 MR. KLEIN: I will be brief to Joe's point. It
11 sounds like MISO, the Market Monitors, have been
12 trying to produce a UTC type product and have really
13 been stymied.

14 One of the great things about PJM over the years
15 is that it had been able to innovate so much in so
16 many different areas from expansion to new products
17 to long-term FTRs, and that's a compliment to the PJM
18 staff in how they are able to see things that the
19 market needs that are really beneficial and despite
20 some of the problems that we all know about, to get
21 the process and get them done. I am sure David
22 Patton wishes that he could have UTCs sooner in MISO.

23 MR. BOWRING: Yes, without responding in too
24 much detail, as Wesley said, everything he said
25 stands for the notion that there was a lot of

1 confusion about what the rules were, nonetheless, "We
2 got the product with all the confusion," and now
3 today in the time since then we are bearing the
4 consequences of that uncertainty.

5 MR. SAUER: Thank you all. That is a lot for us
6 to think about. We will take a ten-minute break and
7 come back and talk about allocation.

8 (On resuming after a break.)

9 MR. SAUER: Thank you all and welcome back.
10 During the opening statements, I heard a number of
11 guiding principles for cost allocation.

12 I believe Joe mentioned spreading across, making
13 the numerator as small as possible and making the
14 denominator as large as possible.

15 Dr. Hogan certainly talked about spreading the
16 cost to the most inelastic consumers essentially.

17 I believe David mentioned some cost causation
18 principles and mentioned some beneficiary base
19 principles.

20 Just to get a sense from the panel, the
21 principles, in fact, even if they are competing or
22 not, which individual principle or which multiple
23 principles should guide cost allocation decisions and
24 how that impacts any rule that would be implemented?

25 I will not call on anybody first so let the

1 volunteers come forth.

2 MR. KEECH: Let me explain what we do today and
3 what the principles are.

4 The allocation of uplift today in PJM looks at a
5 couple of different things, but in general it boils
6 down to either it gets allocated to load, if it is
7 for a reliability related problem, like we schedule
8 units for conservative operations, the allocation
9 goes to load and the concept is the load is the
10 beneficiary of those to maintain reliability.

11 There it is a beneficiary.

12 You could also argue causality in order to
13 maintain low units, so you sort of end up at the same
14 spot.

15 The other piece is the allocation that we do to
16 what we call deviation, so these are deviations in
17 real time to either the day ahead schedule or in the
18 case of a generator that is not following dispatch,
19 so a component of the allocation goes to them.

20 The rationale behind that is if everything was
21 scheduled appropriately and exactly correct in day
22 ahead, and all of that happened in real-time, there
23 would be no uplift payments, so any kind of deviation
24 in the middle there is really causal to that uplift
25 and therefore it receives that allocation.

1 Today when we allocate that deviation charge,
2 and Stephanie referred to it as a BOR, that is a
3 balancing operating reserve rate, we allocate those
4 to INCs, to DECs, to generators not following
5 dispatch at the same rate.

6 Whatever megawatts you are deviating, if you are
7 a virtual transaction from your day ahead position
8 you get allocated that number times the rate if your
9 generator is not following dispatch, however far off
10 you are from where we wanted you to be you get
11 allocated and that number of megawatts times that
12 rate.

13 Largely today we work on sort of the high-level
14 version of causality, although in other areas of our
15 market today we use beneficiary principles like
16 reserves and things like that.

17 DR. HOGAN: Let me play David Patton and point
18 out Adam's argument implicitly assumes that balanced
19 schedules are what you would have and you would have
20 no additional uplift if nothing changed, but
21 everything changes between day ahead and prices.

22 Fuels go up and down and the weather changes.
23 All kinds of things change.

24 What you want to look at is what the costs are
25 given the conditions that you have actually faced

1 when you want to analyze the impact on total cost,
2 the balance schedule requirement, and think back to
3 the Enron balance schedule model of the California
4 energy market with power exchange and the disasters
5 that that contributed to.

6 We know this is the wrong answer, right, so
7 having a cost allocation methodology that is based on
8 something that we know is the wrong answer is not
9 going to be a good thing.

10 Focus on the total cost and the real time.
11 Focus on the total cost as estimated in the day ahead
12 and then get the efficient solution as close as you
13 can get and then you can focus on allocating the
14 uplift after the fact.

15 Try to torque it and get to this balanced
16 schedule argument is very dangerous.

17 DR. PATTON: I will play myself now.

18 From listening to the description of the PJM
19 allocation, I would say that that's not at all based
20 on cost causation.

21 What it sounds like to me, and this is what New
22 England does, and others, is to just simply assume
23 that the deviations are almost entirely the cause of
24 the uplift and then smeared over all of them.

25 When you fail to distinguish between an INC and

1 a DEC, there is no way to defend that that is cost
2 causative at all because they are doing two
3 completely different things to your need to commit
4 resources after the day ahead when you fail to
5 distinguish between uplift to what is incurred for
6 congestion versus uplift that is incurred for
7 capacity, then you are definitely not doing anything
8 that looks like cost causation.

9 We know why we are committing these units or the
10 RTO knows why they are committing the units and they
11 know which deviations from the day ahead solution are
12 contributing to the need.

13 I agree with Dr. Hogan that balancing the
14 schedules is not the objective because a lot of
15 things change.

16 What that really means is, if 20% or 30% of the
17 actions that the RTO takes they take because of
18 physical deviations from the day ahead, all these
19 other changes that cause the RTOs to do things, if
20 you allocate on a cost causation basis get allocated
21 somewhere other than to the deviations.

22 That is the point of having to go through a
23 multistep process to do the allocation. It is not
24 difficult, but it creates much better incentives for
25 the participation.

1 One last comment on your numerator and
2 denominator.

3 My guiding principle is the cost causation
4 principle. Some of these other principles, and I do
5 agree we need to get the prices as correct as
6 possible, and at that point, we don't have much
7 uplift to talk about, but if you think about my
8 example earlier where I said that the real-time
9 prices are \$45, but they ought to be \$50, how do we
10 get the day ahead to clear at \$50, so that we have an
11 efficient commitment because there is no getting
12 around the inefficiency of having a bad day ahead
13 solution.

14 If you do not commit the units, then you ought
15 to commit the commitments that occur after the day
16 ahead. They are going to be more expensive and
17 increase total production costs. You really want the
18 day ahead to clear it at an efficient level.

19 These numbers are exaggerated, but if I do
20 something to pump up the denominator and reduce that
21 allocation of costs from \$5.00 to \$1.00 that sounds
22 like a good idea, but that will cause the day ahead
23 market to clear at \$46 and so then the only driving
24 principle should be cost causation.

25 MR. BOWRING: The first point, and the one that

1 Bill Hogan has made repeatedly, first, you do
2 everything to get the prices right minimizing the
3 amount of uplift.

4 Second, as part of that you make sure that you
5 assign things that are treated as uplift specifically
6 to particular participants if it is doable, and the
7 examples, there are Blackstarter, ConEd Wheel, things
8 like that which have historically been part of
9 overall uplift, but which really should not be
10 assignable to particular subsets of load, for
11 example, in a particular zone, particular areas,
12 whatever it might be, so that reduces the size of the
13 problem.

14 Then, after that, I think cost causation,
15 exactly what that means, I am not sure, but cost
16 causation is certainly a principle to be followed,
17 but so is the ability to implement it and do it in a
18 fairly simple straightforward and transparent way.

19 I do appreciate what is being said about the
20 current PJM allocation. I don't think that does
21 describe what we are proposing.

22 Potentially what we are developing with PJM is a
23 way forward through the EMU, so we are addressing
24 some of that appropriate criticism that has just been
25 raised here.

1 Thank you.

2 MR. KLEIN: To answer your question. Let me
3 agree with Joe. If you are looking at a first best
4 approach, start by allocating the things you
5 specifically know you can allocate like ConEd Wheel
6 or Blackstarter.

7 But then when you get beyond that there is a
8 benefit to simplicity and then the next thing I would
9 go to as a first best would be the charge to the
10 inelastic participant who happens to also be the
11 beneficiary from the price suppression of the
12 real-time market, as I said, so you can use a
13 "beneficiary pays" argument.

14 That is how a lot of the markets roughly do it,
15 New York certainly does, California, and ERCOT.

16 If you are looking at a second best, it would be
17 spread as widely as possible, just load, plus
18 everybody you want to throw in there.

19 That is kind of second best to try and get the
20 transaction costs down because you know with PJM as
21 we get into these because it is being charged to the
22 deviations, so you have incentive to balance your
23 schedules and everybody creates that vicious cycle
24 where everybody tries to balance their schedules and
25 avoid it and that is inefficient and the charges go

1 way up.

2 So it is very problematic.

3 MR. ALLEN: Broadly on allocation, I would not
4 say the current PJM contract is necessarily based on
5 cost causation.

6 How we arrived at the current allocation, the
7 Task Force was similar to EMU back several years ago
8 and it was a negotiated settlement amongst
9 stakeholders and there was not a cost causation
10 study, however the MISO study is or was, there was
11 not any sort of study done at that time.

12 Likewise with this look back, or the look at
13 uplift allocation, there has not been any detailed
14 analysis.

15 It is of paramount importance, the cost
16 causation principles that creates the proper
17 incentives in the market, it creates transparency in
18 the market.

19 Without having those proper incentives, there is
20 no incentive to lower uplift.

21 There are certainly in helping and harming
22 deviations, if a virtual transaction or any other
23 type of transaction is helping deviation, then it is
24 helping to convert day ahead in the real-time. It is
25 helping lower uplift, and if you assign a cost to

1 that transaction, then you may be precluding
2 transactions from being entered into the market that
3 are improving your day ahead solve from being done.

4 If you are doing that, then by allocating
5 culture preventing lowering the costs, you are
6 increasing the costs.

7 Ultimately, the financial transactions as they
8 relate to PJM, since this is what this is about,
9 cannot sustain the uplift for INCs and DECs and UTCs
10 will not be able to sustain it either as it is
11 entirely too high.

12 As far as cost causation, just to give you an
13 idea, in PJM right now, if I remember the numbers
14 correctly, it is 41% of all DECs and 52% of all the
15 INCs in the PJM market are all clearing at West Hub.

16 That means they are simultaneously being
17 cleared. That means at the most PJM is acting as a
18 clearing counterparty.

19 They are clearing one participant's transactions
20 against another participant's transactions. Now are
21 they causing uplift? No.

22 They are changing unit commitment. They are not
23 changing dispatch. They are not changing prices.
24 They are just clearing the transactions.

25 But unless they are one of the few that can net

1 out with IBTs, all of those transactions are paying
2 uplift, uplift that they had no possibility or
3 probability of causing.

4 The current construct as relates to virtual
5 transactions is calling cost causation a little bit
6 difficult to believe and that's why we like the MISO
7 construct.

8 The MISO construct handles a lot of these
9 problems as fairly and efficiently as you possibly
10 can where you differentiate between helping and
11 harming deviations, to differentiate between energy
12 deviations and transmission deviations.

13 The concept of spreading the rate out across as
14 wide as an array of participants as possible while
15 simultaneously ignoring the causal factors, and the
16 inelasticities of certain transactions of the
17 elasticity of others, you are throwing the baby out
18 with the bath water. You are increasing your costs
19 in order to try to be unseemingly fair.

20 Those are my thoughts.

21 MR. HOLLADAY: Economists traditionally do a
22 better job at efficiency than fairness, so I will
23 pass for the most part, and tell you about fairness
24 because I am not very good at that.

25 I have the type of questions that I would ask to

1 try to figure out what is going on here. One would
2 be, "Did PJM and the market participants expect 75%
3 to 80% drop in volume after the order or was that a
4 surprise?"

5 That would help us to understand the elasticity
6 of these traders in this market.

7 Where did all that volume go? That was a lot of
8 money that was going into PJM. Is it sitting a
9 checking account somewhere waiting or is it in other
10 products in PJM?

11 Is it in other markets? Can we see changes in
12 the performance of other markets?

13 If we understood whether this was an expected
14 outcome of the order and where the money went that
15 would be helpful to understanding what type of fee
16 structure you could implement that would keep this
17 volume in the market because it appears to be having
18 some benefits.

19 MS. STASKA: When we look at cost causation that
20 certainly should underpin the entire cost allocation
21 principle at PJM and I agree with Dr. Bowring at the
22 same time it should be simple and straightforward.

23 As both a financial participant, and a load
24 server, my main concern is having a fee that I can
25 project, that I can anticipate that is simple for me

1 to understand so that I can put it in my rates, so I
2 can put it my estimates, and I can put it in my bids.

3 But at the same time we also have to be
4 cognizant of any fee that we set, that will affect
5 volume in the financial market, and essentially,
6 could affect the number of load participants as well,
7 but I will leave that on the wayside because
8 financial participants can easily leave the market,
9 so we have to make sure that we center break this
10 desirable for the ideal amount of participation in
11 the market without discouraging the participation
12 that we need.

13 We can see this actually in ICE and CME which
14 are two derivative trading platforms where ICE, when
15 they want to change our transaction fees, if they
16 even want to change their credit costs which are an
17 indirect fee to participants, but let's say they want
18 their margin requirement of their credit requirement
19 to go up, their sales team has to approve it before
20 it happens so they compare it to CME Group and they
21 are competitive amongst one another.

22 What we are seeing, the different markets are so
23 different from one another in how they assess these
24 fees, the financial participants can say, "Credit
25 costs or uplift fees in this market are too high

1 right now, so we are going to trade the southern
2 markets."

3 They move their capital. They move their
4 trading business very easily.

5 What I am afraid of is the load server on the
6 other side of that is, "Then what happens to the
7 market they have left?"

8 We have seen what happens in New England and we
9 have seen what happens in MISO when people are seeing
10 too high of uplift fees.

11 I want to ensure that we are not just looking at
12 cost causation, but we are also looking at what is
13 the ideal volume, yet we want in these financial
14 transactions that can easily leave the market.

15 We will talk more later about what is happening
16 in the EMU process at PJM, but something that people
17 are talking about it should be one uplift fee kind of
18 spread across everybody.

19 As a market participant, in general, I want to
20 ensure that we have an incentive for load to bid and
21 to bid day ahead market.

22 I do not want load to not have an incentive and
23 then to have the same feed to be in real time
24 because, obviously, those deviations are causing a
25 large portion of uplift and my concern is that if we

1 make a change like that or that a change like that it
2 is anticipated that we will see bigger problems.

3 We work in New England as well and we definitely
4 see more problems with price spikes and divergence
5 there than we do in PJM.

6 That's one of our main concerns as well which is
7 that those proper incentives not only for financial
8 players, but for load servers are in the market as
9 well.

10 Thank you.

11 MR. SAUER: Let's take Stephanie's point and
12 expand on that fee concept. As a non-participant in
13 EMU we are an observer as anyone can be to the EMU
14 process. One idea that has been debated around is a
15 fixed rate fee.

16 From what I can tell, there seems to be where
17 some proposals have reconciliation after the fact and
18 some of them do not.

19 I just wanted to see how the fee was received
20 overall by market participants, some of the
21 advantages and disadvantages of the fee?

22 Any other points?

23 MR. KEECH: I will try to summarize some of the
24 discussion at the EMU STF.

25 PJM started with a proposal that looked at a

1 fixed fee and we said it would be established
2 monthly.

3 The intention of that was, "Let's make it simple
4 and straightforward and predictable," and there are
5 really two problems.

6 One was market participants in general had an
7 issue with paying forward for uplift, so if I charged
8 you \$1.00 for every transaction, and I over collected
9 today, I was impacting people's cash flows negatively
10 on that day given that that uplift was not going
11 anywhere. It was just sort of holding it in escrow.

12 That was a little bit problematic for some
13 members, the fact, "I am not paying for what is being
14 incurred today. I am paying for what is incurred on
15 average."

16 That was one of the issues.

17 A secondary issue was, if it is a flat fee,
18 everybody is paying the same fee, and therefore,
19 someone is paying for uplift that they are not
20 causing because it is not all caused equally by
21 everybody and we can all agree with that.

22 Then the last one was, what happens in the
23 months that the flat fee does not collect enough
24 money?

25 We were just coming off of January 2014 where we

1 had significant amount of uplift, and if we looked at
2 an average rate over some rolling average period,
3 none of those rolling averages were ever going to
4 cover January, and no one wanted January in the
5 rolling average because it was going to over collect
6 in another month.

7 When you look at it from that perspective, then
8 you get into this issue of does there need to be a
9 deferred balance where you hold maybe \$100 million to
10 cover outliers and what happens with that?

11 What started as a simple concept, and when you
12 get to there, it gets really complicated and really
13 differing sets of opinions.

14 That is where we eventually did a poll and we
15 ended up abandoning that because there was a lack of
16 traction with that concept.

17 MS. STASKA: From our perspective when PJM came
18 out with their original proposal, our main concern
19 was instead of being worried about the rate that is
20 published today which we know is seven to ten days
21 from now, right, so seven to ten days we will know
22 what the rate.

23 That means in seven to ten days I can respond,
24 so that if all of a sudden rates spike a lot, then I
25 can say, "Maybe this is a trend and maybe I need to

1 be concerned and I can adjust my bids accordingly as
2 a financial participant or a load server."

3 But then you go back say a month or two months
4 later, you say, "We are just going to true it up,"
5 essentially you remove that time for me to react from
6 seven to ten days to one or two months out which is
7 going to significantly impact my ability to do
8 business, and ultimately, I will have to put a risk
9 premium in when I'm serving my retail customers, so
10 it could increase rates as well.

11 MR. ALLEN: Adam pretty much got it right. The
12 first time I heard it, the concept of a fixed fee
13 sounded doable, but when you start adding in a
14 recollection which was less of a concern for us in a
15 retroactive pay make whole, and all of a sudden your
16 fixed fee becomes a variable fee you kind of defeat
17 the purpose of the fixed fee, it is variable, so it
18 did sort of fall apart at that point.

19 There is another proposal that is still out
20 there. The EMU that has a fixed fee for the
21 financial participants.

22 The purpose of it is you set the rate there then
23 you want to optimize, as Stephanie has mentioned, a
24 couple of times the number of transactions in the
25 market.

1 You do not want too many and you do not want
2 none, obviously, so you collect some amount of uplift
3 and then the leftover, if there is any leftover
4 uplift that needs to be paid is allocated to the
5 participants who cannot leave the market.

6 This is not my favorite proposal, but if the
7 rate is set at the appropriate level for financial
8 transactions, it is plausible and it would work.

9 But ultimately a fixed rate? What is the goal
10 here? Is the goal for simplicity? Are you trying to
11 allocate cost in such way that it is easily
12 understood?

13 We are trying to have an efficient market and
14 market efficiency matters more than simplicity.

15 MR. BOWRING: With any of these principles you
16 can take it too far. A fixed rate is taking
17 simplicity too far.

18 It certainly is simple, but it is also wrong by
19 definition. Everyday it is wrong.

20 Ultimately it is not simple.

21 It sure seems that it ought to be simple. If
22 you believe in cost causation you cannot possibly
23 believe that a flat rate is right unless you want to
24 pass the risks onto somebody else.

25 If you are going to bear them within the group

1 that needs to bear them, it cannot possibly be the
2 right answer because you are just shifting it across
3 days and weeks on participants.

4 If you want to shift it to somebody else, then
5 that is not consistent with cost causation. Thank
6 you.

7 MR. KLEIN: It is actually not a horrible
8 outcome relative to what we have now, so everybody is
9 against it. I know the market participants voted it
10 down, but it is the second best solution there is to
11 try to spread something widely.

12 As we have heard from PJM, and from others, cost
13 causation is really hard here, so if you end up in
14 that second best, by spreading it widely, then that
15 that's certainly a proposal that we could ultimately
16 live with. I do think that there is better you can
17 get to, I just don't know. It is not what we have
18 now, that is for sure.

19 MR. SAUER: I believe Adam mentioned that there
20 are a number of competing proposals in EMU that
21 hopefully will be voted out. Was it said Q2 2015 to
22 think back on the date.

23 What should the Commission and the staff take
24 away from that process? Should we be hopeful? Is it
25 unpredictable?

1 MR. KEECH: Perhaps I am the one to answer that.
2 The proposals? We have really run the gamut. They
3 go from sort of this quasi-fixed fee and then
4 allocate the rest to somebody else all the way to
5 just sort of tweaking what we have today.

6 There are a varied number of proposals, and if
7 we were ever going to agree, then there has to be one
8 that we can agree on in the number of proposals we
9 got, but there are a lot of differing opinions.

10 You can imagine cost allocations is a thorny
11 subject and there are a lot of differing opinions.

12 While I don't want to sound pessimistic, and I
13 do not want to be overly optimistic either because
14 there are a lot of varying opinions and a lot of
15 those you have heard today, it remains to be seen
16 where it shakes out, PJM and the Market Monitor, are
17 working on a combined proposal still that we hope to
18 put forward in the coming meetings here and hopefully
19 that garners some support.

20 MR. KLEIN: The cost allocation issues are
21 probably the hardest for market participants to
22 decide on and where they need some help.

23 There has been a lot of good work that has been
24 done by the Market Monitor, by PJM, in terms of
25 performing what we have.

1 There are some, PJM starting from the principle
2 of charging to balanced schedules when there other
3 markets that do it differently, and potentially do it
4 better, but ultimately getting something that the
5 market participants actually vote on, it may be tough
6 just because the cost allocation issues are so hard.

7 MR. ALLEN: We made our own proposal in the PJM
8 EMU. It is actually the MISO construct.

9 In talking about stakeholder process, and PJM,
10 it is important to think how this all started these
11 markets and what its purpose was.

12 It was to foster competition, to have
13 competition where there wasn't competition
14 previously.

15 The unfortunate part of the stakeholder process
16 particularly in PJM is that it is a situation when it
17 comes to allocation cost.

18 A Fortune 500 company can allocate some of their
19 costs to another market participant and
20 simultaneously eliminate their competition.

21 Imagine the scenario, just as an example, where
22 Microsoft can determine how much of their costs they
23 can assign to Apple, so not only are you lowering
24 your cost, you are making your competition less
25 competitive.

1 You are killing two birds with one stone, so
2 unfortunately a lot of the large Fortune 500
3 companies who are part of this footprint are seeing
4 this as an opportunity where costs that they cause
5 are already being passed onto other companies and
6 then the competition in the market is being reduced.

7 This is a win-win. This is a no-brainer for
8 them.

9 Unfortunately, the competition is not coming
10 from Apple. It is coming from small financial
11 marketing companies and we are kind of easy to get
12 pushed out of the market.

13 This is what is happening and could happen
14 depending on the outcome of EMU.

15 You have already seen the reduction in volume in
16 UTCs and you have seen the impact of \$1.2 billion
17 worth of increased market in efficiencies.

18 As Stephanie said earlier, where it raises the
19 question of what happens with the money, what happens
20 with the activity, where does it go? It goes
21 someplace else and it goes away and the market is
22 less efficient.

23 Some of the stakeholders do not have a problem
24 with that. I hesitate to tell this story, but I just
25 feel compelled to.

1 During a not too distant EMU meeting, a
2 stakeholder chimed in, had called in, he was
3 concerned about virtual market activity.

4 He had a generator and he didn't like the idea
5 that they were selling power at his power point.

6 My ultimate point is this.

7 The stakeholder process is not there to come up
8 with the best results for the market. The
9 stakeholder process is about people, Fortune 500
10 companies largely, who control the voting managing
11 their costs the best they can limiting their
12 competition mostly as they can.

13 This is not a simple yes or no vote and the
14 number of companies where you can garner support you
15 get a pass, it is sector weighted, and so these
16 Fortune 500 companies can pick and choose which
17 sector they are today.

18 They have cross sector voting. "Am I a
19 generation company today or am I a load company
20 today? Am I a transmission company?"

21 They can shape how the outcome is.

22 The financial market participants, yes, there
23 are a lot of us in number, but for the most part, we
24 are all isolated to the other supplier sector. It is
25 a difficult space to stay in the stakeholder process.

1 A lot of the companies didn't mind the way
2 things were before competition.

3 We are now getting back to that monopolistic
4 state through regulation. We are getting back to it
5 through the allocation of fees.

6 DR. PATTON: This is the sort of issue where
7 there really is not an efficient way to do it, so
8 asking the question, "What is the probability of the
9 stakeholder process?" is going to achieve a consensus
10 is a much different question than, "What is the
11 probability that the stakeholder process is going to
12 achieve a consensus and that consensus will be
13 efficient and reasonable?"

14 The second probability is substantially lower
15 than the first.

16 It sounds like from the discussion that the
17 first question might not even have a high probability
18 attached to it, but certainly, probably not the
19 second, on these sorts of issues, most of the
20 participants are going to invoke their pocketbook.

21 There are two things that FERC can do and you
22 have seen lots of my filings that ask you to do these
23 sorts of things, my success rate is not extremely
24 high, but there are two things FERC can do to help
25 the stakeholder process when a difficult issue like

1 this is being worked on one.

2 One is to give a deadline because that motivates
3 stakeholders to actually come to the table and then
4 work things out.

5 Second is to give some sort of minimum
6 principles, guidelines, something that would govern
7 how you are going to view what gets filed.

8 Both of those things were sort of there in the
9 MISO process that got MISO to a point of having an
10 allocation that is pretty efficient.

11 But open-ended processes where there are no
12 deadlines and no principles, our experience in RTOs
13 that we work on it is very difficult to achieve
14 success.

15 MR. MEAD: I would like to pursue the point that
16 Dr. Hogan made a while ago.

17 If I understood it correctly, it was to the
18 extent that we have uplift type costs that are not
19 really marginal, the efficient thing to do in terms
20 of allocating those costs is to allocate them to the
21 people whose decisions will not be affected very
22 much.

23 If you consider sort of the large groups of
24 loads, generators, and financial players, virtual
25 bidders, virtual bidders are probably among the most

1 elastic entities, so presumably under that principle
2 you would be allocating relatively little uplift to
3 financial players.

4 As I understand it, it was the PJM study where
5 you sort of compare the dispatch with and without
6 virtual bidders, there is a certain amount of
7 additional uplift that can come about in the
8 aggregate as a result of financial bids.

9 I would like to put the question out.

10 If we were to pursue this principle and end up
11 allocating very little uplift cost to financial
12 players, do we get too much financial bidding?

13 Is that an inefficient result or is it a
14 desirable result? Dr. Hogan?

15 DR. HOGAN: An important part of the story was
16 to say we are going to pursue all of those other
17 agenda reforming pricing so that we get as much into
18 the marginal prices as we can.

19 Then I would say to a first approximation, "If
20 you cannot do any more than that, and that is all you
21 can do, now the rest of it is residual," then you
22 want to allocate it in a way that it does not affect
23 decisions because you can affect decisions because
24 you cannot get it into the marginal decisions that
25 people are actually making.

1 As to whether or not it produces too much
2 forward trading, this is a concept of which I have a
3 hard time getting my head around, that there is too
4 much to the liquidity, of too much financial bidding
5 in here. I am more worried about the other problem
6 which is too little.

7 MR. MEAD: For example, to the extent we have a
8 bunch of financial INCs in the day ahead market that
9 may result in additional units being committed after
10 the day ahead market is closed, and that is a cost
11 that may not be considered in the dispatch, or in the
12 prices that are being offered by the virtual sellers,
13 the fact that the virtual seller does not have to pay
14 a portion of the uplift associated with these
15 commitment costs mean that virtual sellers are
16 offering at too low a price.

17 DR. HOGAN: The analysis I would do, it would
18 not be the analysis of uplift. It would be the
19 analysis of total costs, then that's the first part
20 of the story and how much does this change the total
21 cost?

22 As I said earlier you could have a situation
23 where the total costs went down which would be good
24 and uplift went up and that would be okay.

25 Uplift is a second-order issue here.

1 Just as a logical matter, if you are analyzing
2 the total cost and you have done everything you can
3 do, you have done everything you can identify, by
4 definition you cannot do anymore.

5 Whatever is now left over cannot be done using
6 cost causation analysis.

7 You should now allocate that in a way that
8 doesn't screw things up.

9 It is hard for me to think of a case where the
10 allocation would produce too much financial bidding.

11 A lot of the analysis we do about what we would
12 like to see assumes away transaction costs and
13 assumes away all kinds of things.

14 A big problem in a lot of these models is
15 analyzing why we get as little as we get.

16 It is an interesting question. I just never
17 really thought about that end of the spectrum. The
18 other end of the spectrum is more problematic where
19 you do not have enough for all the reasons that many
20 people here have said.

21 DR. PATTON: This is a complicated question and
22 the important distinction I tried to draw earlier
23 between what Dr. Hogan is saying and what I am saying
24 is that it is the difference between what you should
25 do if the price formation issue was solved versus

1 what you should do if it is not solved.

2 It is definitely not easy to solve and I do
3 agree 100% that we really had to put a lot of effort
4 into solving them and it is a big portion of our
5 state of market report recommendations are how to
6 solve these problems.

7 The average time to solve them is probably seven
8 to ten years.

9 They are not the kinds of things that can be
10 solved easily.

11 If you took my \$45 to \$50 example where
12 real-time prices are \$45, they ought to be \$50, but
13 because of price formation problems it is depressed
14 and I have been arguing that you really do not want
15 the virtual traders to offer the price down to \$45
16 from \$50, so you stop that by allocating the gas
17 turbine commitment cost to the virtual supply that
18 when they see the \$50 price would jump in and sell at
19 \$50 and buy back at \$45.

20 The cost allocation to them stops them from
21 doing that, so you get the \$50 day ahead price which
22 is, by the way, the most important thing in all these
23 markets is the day ahead solution because it
24 facilitates the commitment of resources.

25 If you look at the cost causation, whether you

1 look at uplift, the total cost, you get the same
2 answer.

3 If actions that cause you not to commit, say,
4 intermediate or combined cycle units in the day
5 ahead, and instead commit higher cost gas turbines in
6 real-time, that is going to be a total cost
7 increasing phenomenon.

8 It's also going to be uplift increasing because
9 those are the units you are paying uplift to and you
10 would get the same answer.

11 Unambiguously, the best answer is to get the
12 real-time price up to \$50 in that example, but until
13 we get there allocating the uplift efficiently is
14 what you need to do right now.

15 MR. ALLEN: I agree with what Dr. Hogan and Dr.
16 Patton were saying. They have it pretty much, but I
17 do want to comment on something else.

18 The entire panel this morning was talking about
19 that FTR forfeiture, yes, we all listened to that.

20 But all of that was predicated on lack of
21 liquidity. If you have illiquid price points where
22 someone is transacting INCs and DECs, and they have
23 an FTR position, if you have a liquid market, a lot
24 the manipulation concerns that you have currently
25 kind of go away because all of a sudden the market

1 participant who is trying to manipulate is pushing
2 against the rest of the market.

3 And who has the size in the VAR in order to be
4 able to do that, because if they try to raise the day
5 ahead price that is higher than it should be, you get
6 rest of the market pushing against them.

7 We are kind of far away from that right now, so
8 the concept of having too much virtuals when we have
9 so little, I mean so little in PJM right now, and if
10 you look at the volume of INCs and DECs, it is not an
11 ISO New England loan.

12 Sorry!

13 But it is relatively low.

14 And particularly with the amount of INCs and
15 DECs that are being done in order to converge the
16 market, most of what you are seeing, and as I had
17 alluded to earlier, a lot of it is being cleared at
18 West Hub which is the utilities and load serving
19 entities, using INCs and DECs as a hedge against a
20 forward position or what have you.

21 There is not very much being done with INCs and
22 DECs in PJM in order to converge the day ahead in
23 real time and that is due to the allocation.

24 MS. STASKA: The question revolved around
25 basically could there be too much financial trading?

1 Obviously, we do not want that because then PJM
2 would not be able to solve their day ahead model
3 which is clearly important.

4 Currently, PJM has a soft bid cap in place so
5 they can solve their day ahead model.

6 What we feel would be the more appropriate means
7 to do that would be to set a fee to encourage the
8 ideal level of volume rather than put in a cap and
9 manually restrict that.

10 Not only would this help to restrict the volume
11 to the correct amount that PJM needs and to bring the
12 correct behavior that PGM needs, it would also create
13 a tangible benefit to the market which financial
14 participants, as I mentioned in my opening statement
15 everybody always says, "There are intangible reasons
16 as to why they benefit the market, but there are
17 tangible benefits to the market and that includes
18 lowering the fees of other market participants.

19 That is not only uplift because there is an
20 argument to be made that they do cause some small
21 portion of uplift.

22 This includes Schedule 9 fees, and
23 up-to-congestion transactions are charged Schedule 9
24 fees right now, as are INCs and DECs, and up to
25 congestion provide.

1 Adam may have the specific number, but I believe
2 several million dollars in fees to PJM to help lower
3 their costs and in turn lower the costs of the
4 participants that are also paying Schedule 9 fees.

5 We want to make sure that we are not just
6 dumping all the costs on load being a load server.
7 That is not what we are looking for.

8 What we are looking for is to bring the maximum
9 amount of fee income in through financial
10 transactions that we can preferably through a fixed
11 fee in order to create a tangible benefit to the
12 market and an operational benefit to the market.

13 DR. HOGAN: David's comment about how long it
14 takes to get price formation reforms after he
15 recommends them in his excellent reports is really
16 distressing. It is true but it is distressing.

17 I have gone through so many meetings in various
18 places where I talk about what you really need to do
19 is to fix this and the most important one is scarcity
20 pricing, and the answer I get back is, yes, we really
21 think that is important, but we are busy working on
22 capacity markets and we do not have time to do this
23 right now.

24 And that has been going on for a decade.

25 Fundamentally, I bear some of the blame for not

1 articulating the story well enough, but FERC bears
2 most of the blame, and FERC is not doing its job in
3 setting priorities in setting these principles and
4 enforcing these processes to create efficient
5 markets. It is deferring too much to stakeholder
6 processes and bottom-up and consensus agreement.

7 It is a big mistake and it is hurting us more
8 and more and is causing more and more problems. We
9 need leadership at FERC to solve this problem.

10 If you look at what happened in Texas with the
11 operating reserve demand curve where I, obviously,
12 was involved and have a very strong interest in, that
13 whole conversation, admittedly, they had been doing
14 other things before, but that conversation took about
15 14 months from my starting to say in front of the
16 Commission, "You really have an opportunity to do
17 something really important here to having it
18 implemented and operating in the market place."

19 Fourteen months.

20 That was a big deal in terms of the structure,
21 changing the pricing rules, and thinking about all of
22 these things. It was much bigger than some of the
23 things that we are talking about that David has been
24 recommending and doing what David has been
25 recommending is very important.

1 FERC is a very important organization and has
2 done many good things and continues to do many good
3 things, but on this issue, its priorities have been
4 in the wrong order for a long time and somebody ought
5 to fix it.

6 Thank you for inviting me.

7 MR. BOWRING: I am not sure I want to go after
8 that. On the narrower topic, there are price
9 formation issues in PJM, but there has been a lot of
10 progress made in the pricing area including what Adam
11 just alluded to.

12 There are more issues to be addressed. We
13 sometimes worry about the lag in our recommendations.
14 I do not think it is quite that long.

15 I agree that price formation is the primary
16 issue, but when we get to them, then the question
17 that you raise is the narrower question you have
18 raised about uplift.

19 I don't think there is any evidence that it is
20 efficiency enhancing to have more UTCs and impose all
21 of those additional costs, and hopefully, if we do
22 the pricing right, the costs are not that high on
23 load.

24 Despite what Wesley keeps saying that numbers
25 has no basis, and as far as I can tell, it is the

1 \$1.2 billion number, there is no demonstrated
2 negative effect on the markets in their reduction of
3 UTC volume, so we have to be very clear about that.

4 There are ways to get at this problem which
5 address the basic principles which are consistent
6 with what Professor Hogan is doing here without going
7 all the way to saying zero to financials and impose
8 it on load because they are less elastic.

9 To accept the premise that we have to get
10 pricing right, to treat uplift as a second or third
11 order issue, but then solve it in a rational way that
12 spreads it appropriately.

13 MR. SAUER: Let's now turn to netting and some
14 of the examples that Wes raised and even one that I
15 am positive during the first part of this panel.

16 Certainly, under the current construct. If
17 market is INC, and a DEC, the two don't offset each
18 other. They independently assess uplift.

19 In determining whether UTCs should be assessed
20 uplift, and how they should be assessed uplift is a
21 correct answer to apply the current construct in the
22 sense that one half of the UTC is an INC, the other
23 half is a DEC, they should both be assessed uplift
24 independently or does the answer allow some netting
25 there and even go ahead and change of the netting

1 provisions for INCs and DECs in general.

2 Some of the answers or some of the examples that
3 I am thinking about, certainly Wesley raised an
4 example, it was 40% of INCs and 50% of the DECs are
5 PJM, I forget the exact numbers, but it is something
6 like that, yes, so trying to figure out right way to
7 do it.

8 DR. PATTON: Netting is essential in two
9 regards. The first is to really figure out how much
10 of the total uplift bucket is conceivably deviation
11 related.

12 Obviously, we talked about first subdividing
13 between capacity and congestion and local reliability
14 which we haven't talked much about local reliability,
15 but in most of these markets local reliability ends
16 up being a huge contributor of RTOs have areas with
17 capacity, second contingency requirements, they incur
18 huge costs and those definitely should not be
19 allocated in the management that we have been talking
20 about, they should be directly allocated to the local
21 areas.

22 Whether you are talking about congestion or
23 capacity, the first way in which netting is important
24 is to take everybody's deviations and see what the
25 net impact of the deviations are, and if the net

1 deviations are X, and RTO committed five times X,
2 then only 20% of the costs really can be argued to
3 have some relationship to the deviations.

4 But then the second context in which netting is
5 important is the participant level. Once you have
6 the dollars that you are allocating to the harming
7 deviations to the extent that participants have
8 transactions that net against other positions that
9 they have, let's say, on the capacity side they
10 should only be allocated costs associated with their
11 net deviation, and both of those steps, the market
12 wide netting and the participant netting, when you
13 get down to the actual allocation both of those are
14 based on the cost causation principle which when you
15 articulate it will be easier for participants to
16 accept.

17 MR. KLEIN: I would like to make two points.
18 There has been some really good work in some of the
19 proposals in the second-best area of how do we
20 allocate this market monitoring unit proposing, say,
21 to exclude our financial transactions or convergence
22 bids from the physical deviations of things that are
23 commitments that are happening after the day ahead
24 market.

25 The one part of that that is problematic is the

1 notion that you would treat the UTCs as both an INC
2 and a DEC and that was basically charge them twice as
3 much as an INC or a DEC.

4 What David is saying is don't charge them
5 anything and Wes said minus one plus one is zero, but
6 it would make more sense to even charge them half
7 than to charge them two.

8 The second point is that there have been filings
9 in this proceeding about the impact of UTC, and
10 causing other uplift, and one of the uplifts that
11 does exist, UTCs have a potential to impact is
12 negative congestion imbalances.

13 It does not make any sense to say we are going
14 to charge them for operating reserve uplift because
15 they are impacting this other billing factors that is
16 over there.

17 Charge them for the negative congestion
18 imbalances and charge other market participants for
19 that to the extent that those market participants are
20 causing them.

21 ERCOT actually has a mechanism when it has Chip
22 Transmission D rates that result in congestion
23 imbalances, it charges them to the market
24 participants who are actually bidding on those pasts,
25 so maybe they make a little bit less money from their

1 UTC bids. They are called point-to-point in ERCOT
2 and presumably the load inside the close interface.

3 There is no reason in principle that you cannot
4 charge UTCs, just as Joe said earlier, ConEd Wheel,
5 Blackstarter, things like that where you know what's
6 causing it, charge at that, but it does not make
7 sense to say, "You know because these UTCs have this
8 cost over here, let us impose a fee on them because,"
9 well, to me, that doesn't make sense.

10 MR. ALLEN: Netting, definitely, yes,
11 absolutely. This is basic math from my perspective,
12 the negative one plus one equals zero, it does not
13 equal two energy deviations.

14 In the UTC product by definition is netted
15 automatically. It is not even transacting energy.

16 It is important to look outside of the PJM
17 footprint and look at how other markets handle it.

18 Most of the markets that have done recent
19 analysis have gone to netting.

20 MISO, obviously, that is work on nets, CAISO
21 nets and they charge different rates.

22 MISO is a little bit more specific.

23 If UTC existed in California currently it would
24 not be charged any uplift.

25 In ERCOT, the UTC or something analogous does

1 exist and is charged a penny and a half day ahead
2 make whole payment.

3 MISO with the current construct, if David ever
4 gets it through in another ten years, really, just
5 kidding.

6 If it ever gets through, it would be charged the
7 CMC rate which is for average on our transactions is
8 about 2 cents.

9 It is a really small rate to the UTC transaction
10 if you follow netting principles and sometimes it is
11 even zero.

12 Netting is essential. Without netting then you
13 are charging deviations where there no deviations and
14 it is nonsensical.

15 I looked it up and it is 52% of all INCs and 41%
16 of all DECs, in the PJM footprint are clearing up one
17 location, one singular location.

18 If you expand that out a little bit further, if
19 you look at PJM West Hub, which is where all the
20 futures contracts and ICE, not all, but a lot of them
21 are traded on.

22 PJM West, if you expanded that out, you are
23 looking at 80, or if you look at zones, you find the
24 majority of the INCs and the DECs in the PJM market
25 are simply clearing against another market

1 participant's transaction and they are being assigned
2 and levied this heavy fee that they don't actually
3 cause.

4 When we think about capacity deviations, I do
5 not know how you can say you follow cost causation
6 principles that you don't net.

7 They are energy deviations.

8 It is common sense stuff that we need to be
9 moving towards and it solves this bid problem. Why
10 are INCs and DECs treated differently than UTCs? It
11 is because INCs and DECs are netted in PJM than what
12 they are in other markets.

13 MR. KEECH: With regard to netting, we just need
14 to be careful on what level of granularity you net.

15 We cannot net something in Illinois with New
16 Jersey and act like that is the one-to-one offset
17 because it's just not.

18 You ignore the transmission flows, and even
19 though from a power balanced perspective it might
20 look like he doesn't impact anything, there are
21 transmission system flows and transmission system
22 losses that cause the commitment of more generation
23 when that happens.

24 We cannot lose that that impact of those
25 transmission flows, and while they impact on unit

1 commitment and system losses is not huge for one
2 transaction.

3 For a lot of them it is a big number. We have
4 to make sure that we don't lose sight of that.

5 Wes gave a good example of INCs and DECs at
6 Western Hub and 51% and 42%, whatever it is, I can
7 certainly understand the desire to net in that case
8 because the system impact for an INC and a DEC at the
9 same location it is a net wash.

10 I get that and I do not know that I sit here and
11 say I disagree with that, but if it is the Western
12 Hub to New Jersey Hub, that is completely a different
13 story because there is that underlying transmission
14 impact system losses and things like that.

15 MR. HOLLADAY: Most of the arguments here have
16 been from a fairness perspective, but also the
17 argument that the risk of not netting and being
18 charged two deviations can kill volume in this
19 product and it looks like that that has affected
20 market performance.

21 My argument would be more cold hearted. I want
22 the market to perform well and it looks like the fear
23 of this fee not being netted has caused the market to
24 stop performing well.

25 Whether it is netting or some other structure,

1 anything that has this big impact on volume, could
2 hurt market performance.

3 MR. BOWRING: The assumption that the high
4 volumes that resulted from zero fees or some other
5 right number is not a correct premise, and it is a
6 premise that is being assumed fairly widely here, so
7 I just want to point out that it is not consistent
8 with our view at least.

9 Let me now respond to Abram.

10 To the extent that a UTC is not a wash, which
11 they are really not when they are going across a
12 constraint, which is typically why they are being
13 placed, it is not a wash.

14 It does affect commitment and therefore it looks
15 like an INC and a DEC and it should be treated like
16 an INC and a DEC.

17 DR. PATTON: In response to Adam and maybe to
18 Joe also. When people say you cannot net that over
19 there with this over here, because it creates flows
20 in the system, you need to recognize that the
21 implicit argument there is that you are not first
22 subdividing the uplift between congestion related and
23 capacity related.

24 And that is essential to do that first because
25 once you have done that, then there is no problem

1 saying the UTC causes no power balance impact, or
2 that an INC and a DEC that are on opposite sides of
3 the system, have no effect on power balance.

4 They do affect congestion, but there should be a
5 separate process to allocate that uplift if you
6 intend to do it efficiently.

7 MR. KLEIN: There probably is a second or third
8 best solution where UTCs are picking up some share,
9 some small fee, as some of the other market
10 participants as Stephanie has mentioned.

11 The notion that comparing an INC to UTC, I would
12 have to believe that UTC is not double in INC or
13 double a DEC.

14 It is something less would be the appropriate
15 billing determinate in that and that is one of the
16 key parts of the whole discussion that came up around
17 the allocation could be the same or less but not
18 double.

19 MR. SAUER: One element that has been mentioned
20 a couple times a internal transactions, IBTs.

21 From my casual observance of the EMU process,
22 from my recollection, is that a lot of the discussion
23 has been centered around getting rid of that.

24 Let me rephrase.

25 A lot of the discussion has been in agreement on

1 getting rid of that provision or that netting
2 capability.

3 Please let me know if that is not correct and
4 whether it makes sense to keep in place or get rid of
5 in fact.

6 MS. STASKA: The IBT issue is more broad than
7 just should IBTs be allowed to net, because as a load
8 serving entity of 515 MW load, and I buy a contract
9 the day ahead settles from another counterparty, they
10 put in an IBT, it should net because instead of
11 paying it on the day ahead load, then I am paying it
12 on the IBT.

13 I should not be paying it on both the day ahead
14 load and the IBT because I purchased the power from
15 another counterparty outside the market.

16 As for all of IBTs not being allowed to net, I
17 don't think that is generally what people are looking
18 for, and in this instance, I just want to ensure that
19 the use of IBT is to serve load. It is protected.

20 MR. SAUER: You are right. From the current
21 concept, my recollection is some IBTs can be assessed
22 uplift, so part of the discussion is getting rid of
23 that uplift and also the ability to net with
24 virtuals.

25 MR. ALLEN: Ultimately, we should be looking to

1 get rid of IBTs, but IBTs are used for netting.

2 Netting is automatically within the system
3 within the footprint. If issued on the market why
4 basis, it should occur on a participant basis and
5 have an IBT that is entered in days after the fact in
6 order to enact that netting behavior, or to have a
7 transaction be netted after the fact, it should be
8 done automatically and it should be available to all
9 market participants and not just a subset.

10 MR. KLEIN: It is interesting. When PJM
11 introduced e-Schedules, as they were starting up the
12 market, really most of the forward market liquidity
13 that happened in the market, this was probably in
14 2000, in that timeframe there was very little
15 transacted at the day ahead market price.

16 All of the forward market transaction settled at
17 real-time and market participants had a desire for
18 PJM to do this and create these IBTs that would net
19 off.

20 Over time the markets have really evolved in
21 such a way that now there is a very liquid day ahead
22 forward product and a real-time forward product and
23 people can move their hedges between the day ahead
24 and the real-time, so that really they don't have the
25 need to use it as an offset for deviations or how

1 much they get charged.

2 We have seen cases where market participants do
3 use it as part of that vicious cycle of lowering,
4 balancing my schedules, using something that has no
5 impact whatsoever on commitment or dispatch.

6 It is simply a financial e-Schedule.

7 PJM wants to eliminate that from the calculation
8 of uplift allocation and the market monitor wants to
9 eliminate it from the allocation of uplift.

10 Most of the market also would like to see that
11 eliminated. It has been very very inefficient.

12 Thanks.

13 MR. SAUER: Any others on that? What we are
14 also trying to find out is, getting back to the
15 harming and helping our discussions, there are
16 certainly some and this is where UTCs and INCs and
17 DECs can improve uplift.

18 Are there ever instances and, it sounds like
19 there could be, based on the principles of applying
20 an uplift allocation.

21 There are other instances where anyone could see
22 that uplift should be indeed allocated to a UTC or
23 INC and DEC that actually does improve uplift
24 essentially.

25 MR. KEECH: The way we calculate who is due an

1 uplift payment in PJM is on a "making whole" to your
2 costs when sort of the LNPs that you were running at
3 did not justify what your offer was and that never
4 happens with an INC incurred a career UTC, so as far
5 as a make whole credit is concerned, which is really
6 what gives rise to uplift payments in PJM, there
7 would be no scenario where an INC or a DEC cleared
8 with an LNP higher or lower than their cost depending
9 on the bid type.

10 It seems that it does not apply in this case,
11 but my understanding is they get credits elsewhere.

12 DR. PATTON: I will answer your question. I
13 cannot think of a scenario where you should be
14 charged an allocation, if you are helping deviation.

15 The one distinction in MISO is helping
16 deviations that occur very late in the game.

17 Right now MISO allocates cost to them and we
18 obviously argue that that is wrong.

19 They should not get the benefit of netting
20 because they may or may not have netted out the
21 harming deviation, and the decisions that MISO had to
22 make leading up to real-time, they shouldn't be
23 charged anything either.

24 MR. ALLEN: No, you should not be allocating any
25 sort of uplift to help deviations and deviations that

1 are helping lower uplift.

2 If you are lowering costs, then that is the
3 activity you want to incentivize, and if you allocate
4 to those types of transactions that help minimize
5 uplift, and help converge the day ahead and real-time
6 is sending out bad price signals, it is incentivizing
7 behavior that is an overall good for the market.

8 As far as the problem with the way things are
9 entirely done for INCs and DECs, particularly in PJM,
10 it is that the allocation is so high that the market
11 is not getting the benefit of the deficiencies, so
12 those products could bring if the allocation was not
13 such as it is.

14 MS. STASKA: This question is hard for me to
15 answer because I don't know how a market participant
16 would know when they entered the transaction whether
17 or not they are helping or harming uplift.

18 If you don't know when you enter into the
19 transaction, then I don't know how you can put that
20 into your bid assumption, and I do not know how that
21 self corrects any behavior if you don't know in
22 advance if you are helping or harming.

23 Theoretically, it is a great idea to not charge
24 uplift to transactions that are helping to obviously
25 decrease uplift, but I don't know how you would be

1 incentivizing any of the right behavior by doing
2 that.

3 I just don't know how it would be implemented in
4 a way that would help.

5 MR. KLEIN: When MISO implemented its system,
6 that you knew to do is do not INC inside a load
7 pocket because then you are going to be subject to
8 the charges that David is talking about.

9 That is how we, at least as a market
10 participant, would respond to that kind of thing
11 because you just knew that if you were, again, not
12 INC'ing inside New York City or some other load
13 pocket, you were probably going to be charged very
14 little.

15 MR. SAUER: Any questions from around the table?
16 I do not want to take up everybody's time anymore
17 with more questions that I could throw out and then
18 be poorly thought through.

19 Thank you all very much for participating today.
20 We appreciate it.

21 For the next steps, certainly, staff will be
22 issuing a request for comment sometime in the near
23 future, so keep an eye out for that or for anything
24 else.

25 Thank you for being with us. It is a tough time

1 around the holidays, so thank you for bearing the
2 cold weather and traveling over the ice and snow.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25