

1

UNITED STATES OF AMERICA

2

FEDERAL ENERGY REGULATORY COMMISSION

3

4 Bear Swamp Power Company, LLC Project No. 2669-085

5

6 FERC MEMBERS

7 Patrick Crile David Culligan Richard Quinn

8 Erin Kinsey Scott Jones Tom Christopher

9 Nick Palso Mary McCann Norm Sims

10 John Baummer Steve Murphy Bob Nasdor

11 Tim Furdina Rob Quiggle John Ragonese

12 Rosemarie Curran

13 Jennifer Griffin

14

15

16

17 MEETING HELD AT: HOLIDAY INN

18 40 Main Street

19 North Adams, Massachusetts

20 March 18, 2015 10:08 - 11:58 A.M.

21

22

23

24 Sharon Waskiewicz

25 Court Reporter

1 MR. BAUMMER: Good morning,
2 everyone. Thank you for showing up this
3 morning. My name is John Baummer. I am a
4 fish biologist for the Federal Energy
5 Regulatory Commission, FERC. I work for the
6 Department of Hydropower Licensing for the
7 New England branch. We're here for our
8 agency meeting for the Bear Swamp project.
9 The FERC project No. P2669085.

10 I have a number of other PERC staff
11 here today. I would like to go ahead and
12 let them introduce themselves. They are
13 also going to be working on the project.

14 MR. PALSO: I'm Nick Palso. I'll be
15 working on recreation, cultural, and
16 esthetic issues.

17 THE COURT: I'm Mary McCann.

18 MR. CRILE: I'm Patrick Crile. I'm
19 a project engineer and biologist.

20 MR. FURDINA: I'm Tim Furdina. I'm
21 from the FERC office, town council on the
22 energy project.

23 MR. BAUMMER: There is one other
24 person who is not with us today, that is Amy
25 Channing. She is our terrestrial biologist.

1 She is becoming the director of research on
2 the project.

3 Just a little bit of background
4 about the meeting this morning. Also, the
5 restrooms, if anybody would like to use the
6 restrooms, they are right down the hall
7 here. I'll hold questions until the end, if
8 that's possible, just to make sure everyone
9 can get through their presentations in a
10 timely manner.

11 If you have comments to make, I ask
12 that you state your name and affiliation.
13 We have a court reporter here today to
14 record all your comments so that we have
15 them on the record for the meeting.

16 The meeting this morning, the format
17 is in two stages. First I will get up and
18 give my presentation about the FERC process
19 while we're here today. And then I will
20 have Bear Swamp Power come up and give their
21 presentation about the project features and
22 how the project operates.

23 The meeting agenda for today, we'll
24 have a brief introduction. I'll go through
25 the integrated licensing pre-filing process,

1 the purpose of coping it while we are here,
2 our request for information for studies.
3 We'll have a project description by Bear
4 Swamp. We'll talk about some of the
5 resource issues that the FERC staff have
6 identified as needing analysis on this
7 project. Then we'll have a period for your
8 comments and questions.

9 Again there's a sign-in sheet at the
10 back of the room. I ask everybody to sign
11 in for everybody that is here for the
12 meeting. As I mentioned before we have a
13 court reporter, so when you are speaking,
14 please state your name and affiliation
15 before speaking. And to help out the court
16 reporter, if you could spell your last name,
17 that would be appreciated as well.

18 The very next date in this process
19 is comments on the pad and study requests.
20 Those are due April 18, 2015. You can
21 either file your comments with FERC
22 electronically or send them in by mail, or
23 you can speak your comments here and the
24 court reporter will make sure to get them on
25 the public record.

1 Either way if you want to file
2 comments or if you want to speak your
3 comments here today they will be on the
4 public record.

5 There's also information here about
6 how to stay on our mailing list and how to
7 keep astride of the project so that you can
8 get updates and information about anything
9 with FERC or anybody else that's filed
10 things for the public record.

11 This is the commission's integrated
12 licensing process. I'm sure that quite a
13 few of us have been through this process
14 before. But in case you haven't, there are
15 pre-filing steps here. On December 19, 2014
16 Bear Swamp Power filed their Notice of
17 Intent and their pre-application document.

18 Then the Commission issued their
19 scoping document on February 18, 2015.
20 Today we're holding their scoping meetings
21 and tomorrow we'll have a site visit. Here
22 we are going to discuss issues relating to
23 the project and any existing information,
24 other information we have and information
25 that you can bring to us that we don't have

1 already.

2 Comments on the pad and study
3 request, this next date here is important.
4 It's February 18, 2015. Bear Swamp Power
5 will then file, look at all the study
6 requests and comments and they will file
7 their proposed study plan on June 2, 2015.

8 On July 2, or somewhere right about
9 that time period, we'll have a study plan
10 meeting that Bear Swamp will hold to talk
11 about their proposed study plan. And,
12 again, there will be another place here for
13 the public and agencies to come out and file
14 comments on the studies that they have
15 proposed.

16 Comments on the study plan, the
17 proposed study plan, are due August 31,
18 2015. Here is where we kind of wrap up our
19 activity a little bit here. Bear Swamp
20 Power will file a revised study plan on
21 September 30, 2015 and the Commission will
22 issue our determination on studies October
23 30, 2015.

24 If there are no disputes, we'll
25 proceed forward on the studies. The first

1 study will be conducted in 2015. If there's
2 only one year's worth of studies, Bear Swamp
3 Power will file their preliminary licensing
4 proposal in the winter of 2017. If a second
5 study is deemed as necessary, then they'll
6 file their preliminary licensing proposal in
7 the winter of 2018.

8 The scoping process here, we are
9 soliciting input and comments. We want to
10 make sure that we have correctly identified
11 the issues that relate to the project and we
12 also want to talk about exiting conditions
13 that the agencies and the public may have.

14 So the reason why we're here today
15 is to request additional information that
16 talk about potential studies that need to be
17 filed. Bear Swamp Power did propose a
18 number of studies in their pre-application
19 document. But we're today to look at
20 information that, number one, may help us to
21 define the geographic and temporal scope of
22 analysis and help us to identify any
23 significant environmental issues that they
24 have not attached in the pre-application
25 document.

1 We are also looking for data to help
2 describe the existing environment and the
3 effect of the project as well as other
4 activities that they affect the
5 environmental and socioeconomic resource.

6 We are also here to look at any
7 Federal, State, or local resource plans and
8 to see if any future project proposals would
9 affect those plans and to also to make sure
10 that we have captured all of the State and
11 Federal resource plans that we have
12 identified in the scoping document.

13 We're also looking for information
14 here today to document why any resource or
15 issues should not be considered for further
16 study or consideration. We're also going to
17 begin to talk about studies that would help
18 provide a framework for collecting pertinent
19 information about the environmental
20 resources that are potentially affected by
21 the project.

22 So this is kind of an important step
23 in our process here, the study request
24 criteria. This is what you would file for
25 any studies on April 18, 2015. We're -- to

1 have a study that FERC finds acceptable and
2 will identify all of the information needs
3 that we have for a study, the study should
4 address these seven criteria. And when you
5 file your study requests, the number that
6 you have already filed for study requests in
7 the past for other projects, we want to make
8 sure that we captured all seven of these
9 criteria when you are filing a study
10 request.

11 So in this study request we want to,
12 number one, describe the goals and
13 objectives of the study proposal. The
14 second part you want to discuss your
15 relevant resource management goals so any
16 kind of fishery resource goals or trends,
17 endangered species, that kind of stuff.

18 You'll want explain their relevant
19 public interests and considerations that are
20 relevant to the study, a brief description
21 of existing information and the need for why
22 Bear Swamp Power should collect additional
23 information.

24 Explain the nexus -- this is
25 important -- between project operation and

1 effect and how the study results form a
2 licensing requirement. A description of
3 methodology and why and how it is consistent
4 with accepted practice in the scientific
5 community.

6 And the last thing here is a
7 description of the level of effort and cost
8 with the study and why alternative means or
9 studies are required for your study to take
10 into consideration.

11 And basically, if you don't know
12 exactly how much the study cost, just kind
13 of give us a ballpark about what kind of
14 information or what kind of cost. But we
15 need an idea of how much effort is involved
16 and kind of a cost number associated with
17 conducting the study.

18 So, again, requests for information
19 and studies, these are due on April 18,
20 2015. When you file your study request,
21 please identify on the first page Bear Swamp
22 Project 32669085. You can file these
23 electronically by the internet or by mail.
24 The address is here and it is also in our
25 scoping document as well. Learn how to file

1 comments and the requests for studies as
2 well.

3 So, again, April 18th is our very
4 next deadline and we are looking for
5 comments from the pad and study requests.
6 That's one month from now, I guess.

7 So now I have Steve Murphy from HDR
8 from Westfield come up and describe the Bear
9 Swamp Power Project.

10 MR. MURPHY: Good morning,
11 everybody. Happy belated St. Patrick's Day.
12 I'm Steve Murphy. I'm the manager of the
13 licensing for the Pittsfield/Atlantic
14 region. I recognize I'm a new face to most
15 of you folks. I'm joined today with Pat
16 Moriarty. Most of you probably know him as
17 operations manager of Bear Swamp and Fife
18 Brook facilities.

19 I'm also joined by our lead
20 consultant on the proposed licensing
21 process. HDR, Dave Tulligan, Rob Quiggle,
22 Mary McCann, and Scott Jones.

23 So just a 30 second, who is
24 Brookfield, right? You know Brookfield is a
25 company that focuses primarily on renewal

1 energy. We operate in five countries
2 including the U.S. and Canada. We have
3 100 years of power generation experience.
4 We have, 1,300 employees. We have 6,700
5 megawatts of capacity. We have 234
6 generating facilities, 136 of which are in
7 the U.S., including Bear Swamp.

8 So Bear Swamp Power Company is a
9 limited liability company owned jointly by
10 Brookfield Renewal Energy Group. They are
11 the licensees for the project. They are the
12 owner and the operator. So Brookfield takes
13 the management role in this partnership, and
14 we've been, you know, fully authorized to
15 represent the company.

16 The project is located on the
17 Deerfield River, in the town of Rowe in
18 Florida, in the Berkshires, and Franklin
19 County, Massachusetts. So the project is
20 originally licensed on April 28, 1970 and
21 the existing licence expires on March 31,
22 2020.

23 The project was commissioned and
24 placed in service in 1974 and the project
25 includes both Bear Swamp Pump Storage and

1 Fife Brook. Brookfield -- I'm sorry. Bear
2 Swamp Pump Power Company acquired the
3 project in 2005.

4 So this just gives you a little
5 overview here. This is the upper reservoir
6 associated with Bear Swamp Pump Storage.
7 The power house sits in the mountain. The
8 lower reservoir for the pump storage and
9 additionally -- well, the lower reservoir is
10 the reservoir for pump storage as well.

11 So the lower reservoir is dual
12 purpose in that it is the lower reservoir
13 for the pump storage, Bear Swamp Pump
14 Storage Development and it's also the
15 reservoir for the Fife Brook Development,
16 and the Fife Brook Power House would be
17 there.

18 So the Bear Swamp Pump Storage
19 Development generally consists of 118 acre
20 upper reservoir retained by four dikes.
21 It's submerged in that outlet structure and
22 associated tunnel which bifurcates into
23 stacks. The underground power house
24 contains two vertical turbine-type pump
25 serving jet units and motor generator units

1 with the combined capacity of 600 megawatts.

2 There are two tunnels leading to an
3 inlet and outlet structure in the lower
4 reservoir. A 152-acre lower reservoir
5 which, again, is formed by the Fife Brook
6 Dam on the Deerfield River.

7 So the Fife Brook Development
8 consists of the Fife Brook Dam, impoundment,
9 which is counted in both Bear Swamp Pump
10 Storage and Fife Brook. The dam is a
11 compacted glacial dam which includes a dam
12 with a tainter gate facility structure. See
13 the two tainter gates right here and also
14 there. The concrete intake structure, a
15 single structure leading to a power house
16 containing one conventional Francis turbine
17 generator unit of a ten megawatt capacity.

18 So on the Deerfield River the Bear
19 Swamp Project is only one of three projects
20 in Deerfield. There's the Deerfield River
21 project itself, 2323, the Bear Swamp
22 Project, 2669, and Gardner Falls, 2334.

23 So we've got another one here but I
24 think the highlights of this is, you know,
25 in addition to three separate licenses,

1 there's three separate owners: TransCanada,
2 Bear Swamp Power Company and Essential
3 Power.

4 Bear Swamp is the only pump storage.
5 Bear Swamp is the newest. It takes us from
6 the headwaters to the confines of the river.
7 So it starts in Vermont and heads
8 downstream.

9 So this kind of gives you more of an
10 overview of how the river is laid out. I
11 guess that is orange/brown there, those
12 would be Deerfield River Project. So you
13 can see Bear Swamp and Fife Brook sits in
14 the middle of those projects as does Gardner
15 Falls.

16 So this is an important part of
17 describing how the system actually works.
18 It was kind of a lead-in to some of our
19 further slides here as far as describing how
20 our project operates.

21 So the overall flow regime on the
22 Deerfield River is generally characterized
23 as having regular flow and stage
24 fluctuations driven by a long history of
25 peaking operations on the Deerfield River

1 and is currently licensed under the
2 Deerfield River Project.

3 Because Bear Swamp Power Company
4 does not drive the system, the Fife Brook
5 Development is limited to operating in a run
6 and release mode reacting to (inaudible).

7 Similarly the Bear Swamp Pump
8 Storage Development operates independent of
9 and with no effect on the Deerfield River
10 flows upstream or downstream of Bear Swamp
11 Pump Storage Development and Fife Brook.

12 So Bear Swamp, our company in
13 TransCanada, engage in regular
14 communications in the coordination regarding
15 the day-to-day administration of each end of
16 these minimal flows and white-water release
17 license articles with emphasis on exchanging
18 information necessary to facilitate and
19 enable each licensee meeting the minimal
20 flow of white-water release obligations.

21 Coordinating and meeting with
22 white-water boating interests and other
23 Deerfield River recreational stake holders
24 involving communal white-water release
25 schedules; communication by the Deerfield

1 River Project license relates to its daily
2 peaking schedule including changes they make
3 to that schedule. And mutual communications
4 on matters such as outages and, of course,
5 emergencies.

6 So Bear Swamp Pump Storage has it's
7 normal operations. It operates in a pump
8 storage mode, which is characterized by
9 regular, scheduled movement of water from
10 the upper reservoir to the lower reservoir.
11 It is generated from the lower reservoir
12 back to the upper reservoir, which is
13 pumping.

14 The upper reservoir has a useable
15 storage of 4,900 acres during normal
16 operations. The upper reservoir is
17 typically drawn down forty-four and a half
18 feet from elevations of 1,600 and 1555.5.

19 The lower reservoir has a useable
20 storage of 49 acre feet between the normal,
21 maximum pull elevation of 870 to allow a 40-
22 foot drawdown from 830.

23 In general, Bear Swamp Pump Storage
24 normally operates consistent -- operations
25 consist of generating with pumping back some

1 or all of the upper reservoir storage
2 capacity in its general framework over a
3 24-hour period. Bear Swamp Pump Storage is
4 dispatched and generated by ISO New England
5 in response to regional energy needs.

6 So Fife Brook normal operations:
7 Fife Brook Development operates in a run and
8 release mode utilizing mode inflows, peaking
9 or otherwise, as provided by the upstream
10 Deerfield No. 5 station.

11 Bear Swamp Power Company schedules
12 Fife Brook to effectively follow the
13 Deerfield No. 5 schedule for accounting for
14 provisions of the 125 minimum flow to Fife
15 Brook, releases through minimum flow pipes,
16 a total of 106 white water releases based on
17 the schedule. The white water schedule is
18 established each year.

19 When Deerfield No. 5 is generating,
20 regardless of whether Bear Swamp is pumping,
21 generating, or idle, Fife Brook Development
22 will generate at a level effectively
23 matching the timing and magnitude of inflow.

24 Based on the schedule we receive
25 from TransCanada, Bear Swamp Power Company

1 publishes public notification of expected
2 flow for expected Fife Brook operations at a
3 magnitude of water lines.

4 When making a transition from the
5 125 minimal flow to the higher scheduled
6 discharge, Bear Swamp Power Company turns on
7 the strobe light at Fife Brook Dam and
8 sounds an alarm to provide a visual and
9 audible warning to bring the Fife Brook
10 Power House up to approximately three
11 megawatts and it curtails the minimum flow
12 discharge.

13 They hold the Fife Brook Power House
14 at approximately three megawatts for
15 15 minutes and then they bring the Fife
16 Brook Power House up to its scheduled
17 discharge. The 15-minute three megawatt
18 hold ramp point is the result of
19 collaboration between downstream angular
20 interests relative to improving angular
21 safety.

22 Bear Swamp Power Company continues
23 to expand the opportunity to improve public
24 safety in the Deerfield River within the
25 framework of peak flows in the Deerfield

1 River.

2 Given the spacial context of the
3 Bear Swamp Power Company and Bear Swamp
4 project and its "contemporial" context
5 constructed after the peaking system was
6 established, Bear Swamp Power Company can
7 confirm that Bear Swamp Pump Storage and
8 Fife Brook Development are not the source of
9 peaking flows and fluctuations on the
10 Deerfield River. Bear Swamp Pump Storage
11 and Fife Brook Development do not have the
12 ability to re-regulate the Deerfield River.

13 So this is kind of a graph to show a
14 couple things. If you look at the red, it's
15 actually Bear Swamp Pump Storage as well, so
16 that's where we're pumping back up. The
17 green is the Bear Swamp Pump storage
18 generation flow. The idea is to show here
19 that those flows are very independent of the
20 Deerfield River flow.

21 So if you look here, there is
22 actually blue in here and there's purple.
23 The Fife Brook flows are superimposed on top
24 of the Deerfield/Fife flows. It shows, you
25 know, we're matching what's coming. So you

1 can't really see blue on there. I recognize
2 that. And that's kind of the whole idea; it
3 mirrors what is happening.

4 Like here's a longer, two-year
5 period look. It's the same thing. There is
6 a blue line underneath this which is
7 Deerfield No. 5 releases. This is the
8 hourly data, by the way. I'm sorry. This
9 is daily data. And then the purple is the
10 outflow from Fife Brook. Again, it pretty
11 much mirrors what's coming toward us.

12 Recreational facilities and
13 opportunities, the existing recreational
14 facilities for Bear Swamp project in
15 proximity to the state, national forests
16 provide other a wealth of recreational
17 opportunities. Angling, white water boating
18 and tubing are popular recreational
19 activities in Deerfield in the vicinity of
20 the project.

21 There are six formal recreational
22 facilities associated with the Bear Swamp
23 project, the Bear Swamp Visitor Center, the
24 Fife Brook fishing and boating access area,
25 the Zoar picnic area, the Zoar white water

1 access area, the Fife Brook overlook hiking
2 trail, Bear Swamp public hunting area, in
3 addition to formal project recreational
4 facilities, numerous informal shoreline
5 parking access areas are available on the
6 Deerfield River.

7 So this is a map we developed in
8 consultation with I believe the group is
9 Deerfield River Public Safety Forum. And
10 I'm sure a bunch of you guys were part of
11 the development of the map. It does
12 highlight all the recreational facilities in
13 Bear Swamp. Everything we were just looking
14 at is pretty much project related from here
15 to here. So you can see there's a lot going
16 on, you know, upstream and downstream of the
17 facility.

18 And to zoom in on Bear Swamp itself,
19 including where the project boundary is, it
20 leads to the facilities that I just read
21 off: The Visitor Center; the Bear Swamp
22 hunting area; the Fife Brook hiking trail;
23 the downstream boat access; Fife Brook; the
24 Zoar picnic area and Zoar white water
25 access.

1 So white water flows, in accordance
2 with each parties' FERC requirement, the
3 Bear Swamp Power Company and TransCanada
4 provide 106 white water releases from the
5 Fife Brook Dam between April 1 and
6 October 31st annually. Releases are
7 provided at a minimal flow of 700 CFS for a
8 duration of at least three hours. Releases
9 start anywhere between 9:30 and noon and
10 they are scheduled for 50 weekends and 56
11 weekdays from April 1 to October 30th.

12 Bear Swamp and TransCanada
13 coordinate at an annual meeting to
14 cooperatively resolve the white water
15 scheduled release in consultation with
16 citizen groups including New England Flow
17 Charter Unlimited. The Bear Swamp Power
18 Company provides information to the public
19 regarding estimated current and forecasted
20 flow conditions downstream from Fife Brook
21 Dam, again, on the waterline website.

22 The annual white water release
23 schedule is posted on the waterline site
24 again. You have an example here. Most of
25 you are probably familiar with that. I

1 recognize this is 2014. I believe '15 is
2 already out there.

3 And so Brookfield's contact for this
4 project is myself. In our underlying pad we
5 indicated that we developed a website and
6 that will be our main means of transmitting
7 the document to the state throughout this
8 process.

9 MR. BAUMMER: So based on the
10 information that's -- I'm sorry. Based on
11 the information that was provided to Tad,
12 the First Staff has identified the project
13 for the following resources: Effective for
14 the project operations and maintenance on
15 aquatic resources, terrestrial resources,
16 threatened endangered species, recreational
17 land use, culture resources and
18 developmental resources.

19 Now, I guess at this point in the
20 meeting we'll take comments and questions
21 that anybody has from either Bear Swamp or
22 First Staff. And I ask that if you have a
23 comment, that you, I guess, stand up so the
24 court reporter can hear you. State your
25 name and affiliations very clearly. We

1 don't have a mike in her, so if need be you
2 might have to come to the front of the room
3 so that we can make sure everything is
4 accounted for, for the record.

5 Yes, sir?

6 MR. CHRISTOPHER: Good morning.
7 Than you for providing the opportunity to
8 make some comments. My name is Tom
9 Christopher, secretary and director of New
10 England Flow. Before I move forward with my
11 comments, I'd like to take, if you will
12 allow me, a brief walk down history lane.

13 It was back in 1988 a small group of
14 kayakers approached the owners of the
15 project at the time, to supply white water
16 releases. And, quite frankly they were told
17 that this is our land, our dam, our water,
18 here's the door, don't let it hit you on the
19 way out.

20 New England Flow was formed at that
21 time and became the largest collating
22 firm -- voting groups in the northeast. New
23 England Flow collaborated with other
24 stakeholders across the United States and
25 formed the hydropower coalition in

1 Washington. And we still currently sit on
2 the scheduling committee of HRC, which has
3 worked with FERC staff for many, many years
4 now to develop the process to get these what
5 we've called the integrated due processing.

6 I can assure you back in 1988 this
7 process was more expensive and painful and
8 very expensive for all of us. I'm very
9 proud to say that I've had a major role in
10 changing how this process evolved. And I'm
11 proud to say that New England Flow is one of
12 the original signatories.

13 That being said much, has changed
14 since 1988 and 1994 when it was signed, and
15 in 1997 when the article was signed and when
16 the articles of Section 401 were finalized
17 by FERC.

18 Again, I appreciate the work that
19 HDR has been put into this at this point.
20 We were contacted by Mr. Quiggle and he has
21 identified these issues and we've attempted
22 to do our best job to identify the issues.

23 I have got just four comments.
24 Hopefully, it won't be too long. I know
25 there are a lot of other people out here who

1 have some comments they would like to make.
2 But just to be specific, since our interest
3 is primarily white water use and recreation,
4 there's a couple of things that did concern
5 us.

6 One of the issues that we were
7 concerned about is the fact that this
8 project has changed ownership several times
9 since 1997. You know, the settlement
10 agreement that included the Fife Brook Dam,
11 which is really just sort of an ad-on. It
12 was not really not part of the formal
13 licensing.

14 And the fact that deregulation
15 stepped in shortly thereafter has really
16 changed how this project is managed. It was
17 not like it was attempted to be managed when
18 the original agreement was signed so
19 consequently it's not exactly what it was
20 originally.

21 We've noted that there are five sets
22 of rapids to the pump storage and we feel
23 that they should be evaluated as to the
24 quality and some efforts should be made to
25 make these resources available to the

1 community.

2 I believe that in terms of public
3 access adequacy, the pad and HDI has
4 primarily followed our lead in what we've
5 identified. But I'm a little concerned that
6 the actual scoping document does not propose
7 a specific analysis as to the quality and
8 adequacy of these needs. Basically we've
9 received detail of what we listed and how
10 they intended it, but there is not
11 quantifying how to process and go forward
12 when these things are identified.

13 Another important comment I'd like
14 to make is relative to the camping
15 facilities that are noted in the pad. The
16 scoping document, again, does an adequate
17 job of noting what is already there but it
18 does not identify any camping facilities
19 that are owned by Brookfield and it does not
20 characterize the existing recreational
21 additions in the present boundary or in the
22 nearby areas.

23 Consequently, again, we would like
24 to see quantitative and qualitative analysis
25 of the existing facilities and also the

1 number of pedalists, anglers, and other
2 river users, so that is for taking trips on
3 the river.

4 And finally, as was earlier noted,
5 safety has become a significant concern on
6 the Deerfield River. The Deerfield River
7 was brought together originally on
8 November 16, 2012. Again, I want to commend
9 Brookfield Power for stepping up and taking
10 a major role in dealing with some of these
11 issues.

12 When the Deerfield River was
13 licensed, back in the days of yore, there
14 was no even wild estimation of how many
15 people would be using this river. It is
16 like your basement, if you build it, they
17 will come. So consequently there are a
18 number of folks here in the room, New
19 England Flow, White Water Outfitters,
20 Brookfield Power who certainly are concerned
21 about the safety on the river.

22 We have seen some bad behavior and
23 poor sanitation. We've seen some terrible
24 crowding and, unfortunately, we've seen a
25 death because an individual did not elect to

1 wear a life jacket.

2 So the scoping document really
3 doesn't provide any analysis of the evolving
4 abuse that is taking place on the Deerfield
5 River today. New England Flow believes that
6 this re-licensing process is a good time to
7 gather some substantial data for a number of
8 reasons, to provide some insight into law
9 enforcement and possibly planners.

10 And it should have enough specific
11 detail so that we can develop some
12 additional public policy actions to keep
13 Deerfield in a relatively pristine condition
14 and safe for everyone. And also it's really
15 important to gather this information
16 because, quite frankly, it stimulates an
17 enormous amount of economic activity
18 throughout the region.

19 We have people coming three hours
20 distance to visit us in Deerfield. I happen
21 to live an hour and a half way and I'm here
22 almost every single weekend.

23 I think that's about all I have to
24 say at the time. I have more detail with
25 written comments I will submit to your FERC

1 staff when we have a break. But, again,
2 thank you very much for the opportunity to
3 speak.

4 MR. BAUMMER: Thank you, Tom. Just
5 briefly to talk about some of the issues
6 that you had with the scoping document. In
7 this process here we'll take your comments
8 back and then address it. There's usually a
9 point here we'll file a second scoping
10 document based on some of the comments that
11 we received at the scoping meeting, so we'll
12 take back those comments and in all
13 likelihood there will be a scoping document
14 issued.

15 Yes, sir?

16 MR. PARSONS: Good morning. I'm
17 Kevin Parsons on behalf of The Deerfield
18 River Watershed Chapter, Unlimited. I was
19 going to hold off a little bit but I thought
20 that my comments kind of tied in with Tom's.
21 First and foremost I do have some written
22 comments which I'll submit.

23 Our chapter was under a different
24 name at the time of the previous license
25 with Renewal Power and that chapter kind of

1 went away. And then we reformed the chapter
2 about four years ago.

3 So the gentlemen that are here
4 today, who are the representatives for our
5 organization, Peter Brandon, Chris Jackson,
6 and Bob Anderson, the four of us want -- or
7 all or a combination thereof -- will be at
8 all of the meetings.

9 We do want to be a very active
10 participant in this process because we
11 believe we have a lot of concerns and a lot
12 of information to share in this process to
13 hopefully make this a safer and better river
14 for everyone and not just for our interest.

15 So about three years ago I received
16 a phone call from an representative of
17 Brookfield asking our chapter to get
18 involved with discussions with Brookfield
19 and TransCanada and the Deerfield River
20 Watershed Association, as part of that
21 discussion as well, to talk about what's
22 going on on the river and what do we have to
23 say about it and hopefully that they could
24 implement a change as a result.

25 Those discussions lasted for a

1 period of two and a half years and we,
2 frankly, broke down out of frustration,
3 mostly on our part, feeling like we're not
4 getting anywhere and we're just talking with
5 not much action.

6 The initial request by Brookfield
7 was their concern was safety. They wanted
8 to know from fisherman what were our
9 concerns and do we have some ideas in
10 regards to how we can make the river safer.

11 We are a conservation organization
12 but we also have members and other fisherman
13 that are nonmembers that are on the river
14 that are continuously being exposed to
15 unsafe conditions that we believe is going
16 to result, in just a matter of time, in a
17 death or severe injury as a result of the
18 current operations.

19 In part of my comments that I'll be
20 submitting is a request, a formal request
21 that our chapter made to Brookfield and
22 TransCanada for certain changes with regards
23 to their operation that would make it a
24 safer river. We never got a written
25 response to that.

1 We did get verbal communication from
2 someone from Brookfield, a Marsha Wilson,
3 indicating that as a result of that request
4 -- this was just last summer, late last
5 summer, early fall -- that they were going
6 to do a study with regards to flows and
7 adjustments to flow regimen and how that
8 would impact the release, the amount of
9 water that was coming down and the impact
10 down river. And they invited us to
11 participate meeting there on the river on
12 these specific days, which we did have
13 members out there.

14 After the study, their internal
15 study was done, Marsha told me that the
16 results of that study would not be released
17 to us, that it was an internal study, and
18 that it would not affect any operational
19 changes.

20 What we heard today for the first
21 time, as far as the presentation goes, that
22 now they are going to ramp up to three
23 megawatts and hold that for 15 minutes and
24 then grant a full release schedule for full
25 release, that was the first time that we

1 heard it. And we're happy to hear that but
2 we haven't seen it.

3 So that's where we're coming from is
4 that we feel that we've been kind of played
5 for a period of time and Brookfield not
6 really taking an honest approach to this.
7 So that's troublesome for us because we were
8 going at this, perhaps naive on our part.
9 So we thought we were going to be able to
10 negotiate and talk and have honest
11 discussion and good things were going to
12 come out.

13 Within the confines of the current
14 licensing we thought that there would be
15 some changes that would be improving safety.
16 So hopefully, and we don't know, that a
17 15-minute hold, that three, four megawatts
18 will do the job as far as getting adequate
19 release down river or not. So that's,
20 obviously, something that we want to have
21 resolved and studied.

22 Tying in a little bit with what Tom
23 was saying as far as the whole thing, the
24 whole field has changed, and we've seen this
25 in their presentation, that Brookfield

1 states essentially they are limited to what
2 they can do because they are controlled by
3 what's going on up above them. So we need
4 to come to understand what are the real
5 confines of this operation? What can they
6 do; what do they not want to do; and what is
7 reasonable within their own operation,
8 despite what TransCanada is doing.

9 And if we can't get significant
10 improvement to safety and to the environment
11 then, again, I believe it leads us with no
12 choice but to start looking at the opening
13 of the TransCanada license and the
14 agreement.

15 We think that within the confines of
16 the existing licenses of TransCanada and
17 Brookfield, the existing licenses, that
18 there are significant improvements that
19 these two companies could work together with
20 the interested parties to make this a better
21 situation.

22 Because like Tom says, things have
23 changed and not for the better. Our members
24 have seen significant environmental changes
25 upriver with regards to the activity, and

1 why is that? Is it just global warming or
2 is it the way things are being operated? We
3 believe it is because of the way that this
4 operation is being handled right now and
5 that the regulations have a significance.
6 So these are the things we need to study.

7 And then going back to the safety
8 issue is that in our requests in October of
9 2013 we wanted to have this waterline to
10 provide accurate, reliable, timely
11 information so that people that are going to
12 the river that are traveling an hour and a
13 half away, coming up to the river with an
14 expectation that they were going to have a
15 minimum flow and that they could go out
16 on the river. And then they get into
17 Charlemont and beyond that, they don't have
18 the ability to access internet to check and
19 recheck whether or not the waterline is
20 accurate or not. And then they get out on
21 the river and all of a sudden here comes the
22 flow. And they are on the wrong side of the
23 river and how do they get back.

24 And for inexperienced people, and
25 this has happened on a number of occasions

1 and happens every single year, people are
2 stranded on the other side of the river
3 because they had gone to the river with the
4 expectation that the flows were going to be
5 this, and then when they get up there,
6 TransCanada releases water and Brookfield
7 releases water, then they're stuck.

8 So this is a significant safety
9 issue that TransCanada and Brookfield, they
10 need to work together and they need to
11 provide accurate timely, and reliable
12 information so the users of this river.
13 Because the way that it's happening right
14 now, it's going to cause someone to get
15 seriously hurt or killed. And we believe
16 that's inevitable. And then we're in court
17 trying to figure out who is responsible.

18 So those are just some of the
19 comments. I have got significant other
20 comments. Do I want to -- should I submit
21 them now, or should I mail them in, what's
22 the best process?

23 MR. BAUMMER: I would mail them in
24 other than file them electronically. That
25 would be the best way to do it.

1 MR. PARSONS: Okay. Thank you for
2 your time.

3 MR. BAUMMER: Thank you.

4 Yes, sir?

5 MR. SANCHEZ: My name is Ramon
6 Sanchez. I'm a member of the Rowe
7 Conservation Commission. I'm talking as a
8 citizen and a user of the river.

9 I didn't hear or see any information
10 in this packet as far as concern of how the
11 fluctuation of the river's tide has an
12 effect on the fish in the river as far as
13 limiting the size they can grow.

14 I'm speaking from personal
15 experience and I guess it's beyond this
16 specific project area, but it's part of the
17 chain of the reservoir where there has been
18 a tremendous fluctuation of the water level
19 that's being held there.

20 And over the years it has had a
21 significant impact on the size that the fish
22 population can grow because of the
23 disruption or just the change in the
24 environment, which they need in order to
25 produce and stuff.

1 So as a fisherman, that's one of my
2 concerns as far as how you guys in the Bear
3 Swamp area and Fife Brook and all the way
4 up, what has been done to understand how the
5 activities and the regulation of the river
6 has affected the fish itself both in the
7 disruption of their environment and that
8 affects the size and health of the
9 population, which would affect anglers.

10 That's information that I would be
11 very interested in seeing looked at in the
12 study.

13 MR. BAUMMER: Thank you.

14 MR. NAZAREAU: I'm Bob Nazareau with
15 American White Water and we also will be
16 submitting comments and studies, et cetera,
17 on this.

18 We're in the beginning of a long
19 process here. It's going to be a long
20 process. There'll be plenty of time to, you
21 know, beat up Brookfield as we go along.
22 But to start off with just a positive
23 moment, as they say.

24 You know the Bear Swamp and Fife
25 Brook project have had a tremendous impact

1 on the Charlemont community. The creation
2 of jobs; benefits for the local economy;
3 bringing tens of thousands of people to this
4 area. It's really transformed its identity,
5 I think that's in a very positive way.

6 This is our home river and it's
7 where new paddlers, you know, cut their
8 teeth in the Fife Brook sections, learn how
9 to paddle, move up to the challenging area
10 and move up to the section below dams No. 5.

11 There is a lot of things that I
12 think Brookfield can do better, and we're
13 going to talk about that over the next five
14 years. But I just want to certainly
15 acknowledge that there is a Deerfield
16 River Forum for financial contributions to
17 Charlemont police to help the river patrol
18 deal with, you know, the problems of two
19 many tubers engaging in dangerous
20 activities. I'm in support of that activity
21 and I really want to compliment them for
22 those efforts.

23 I'm wondering if this might be a
24 time that we could ask a few questions to
25 Brookfield, and maybe someone is in a

1 position to answer them.

2 I have three questions, really, I
3 want to ask. The first one Tom Christopher
4 alluded to, which is my question is: You
5 made a statement earlier that the Bear Swamp
6 Project, I think you said, has no effect
7 upstream or downstream on the Deerfield
8 River. And the first question I wanted to
9 ask you is: What impact does the reservoir
10 level have on white water boating
11 opportunities upstream from Fife Brook Dam?

12 UNIDENTIFIED SPEAKER: Upstream from
13 Fife Brook?

14 MR. NAVAREAU: Right.

15 UNIDENTIFIED SPEAKER: So are you
16 basing on how high the Deerfield River is on
17 that channel?

18 MR. NAVAREAU: Yes.

19 UNIDENTIFIED SPEAKER: I'm not even
20 sure on that. (Inaudible) Was that the
21 question?

22 MR. NAVAREAU: That's the question.

23 UNIDENTIFIED SPEAKER: The backwater
24 at Fife?

25 MR. NAVAREAU: That's correct.

1 I would suggest the impacts are very
2 substantial. As a white water boater, all
3 of the rapids below the Dragon Tooth are
4 Dragon Tooth Rapids. You have a series of
5 rapids below that, Showtime, and others.
6 They disappear when your lower reservoir
7 pool height is 870 feet. When it's at 830
8 feet, those rapids reappear.

9 And I think as part of the
10 re-licensing process we're hoping that
11 that's something that we can look at. It's
12 not quite accurate to say that the Bear
13 Swamp Development has no impact on flows
14 above or below. And there is a substantial
15 impact to the recreational activity, and I
16 hope we can look into the process.

17 The second question I have for you
18 is on recreational opportunities in and
19 around the upper and lower reservoirs. I
20 noted in your pad there was some discussion
21 of the Housatonic Trail. And Norm Sims from
22 is here and perhaps he has more to say about
23 that.

24 My understanding was that was
25 supposed to be a ten-mile trail. It's 1.3

1 miles, I think, has been completed in the
2 last 20 -- 17 years. That's a big concern
3 and we'd like to get into that. But apart
4 from the hiking trail, what recreational
5 opportunities are provided in and around the
6 upper and lower reservoir?

7 UNIDENTIFIED SPEAKER: Outside of
8 the fence itself?

9 MR. NAVAREAU: I'm not asking about
10 the fence. I'm just asking about --

11 UNIDENTIFIED SPEAKER: I guess,
12 understand that there are security and
13 public safety concerns around both the upper
14 and lower reservoir.

15 So outside of the upper reservoir
16 there's the trail and hunting area. So
17 there's -- I don't know how many acres.
18 There are 900 acres of hunting area. A
19 trail system, which is the Overlook Trail,
20 right Pat?

21 PAT: A few years back we put in a
22 -- at one point we found a trail that was on
23 the Bear Swamp Power Company property. We
24 have been looking very hard at getting an
25 (voice drops) from abutters in the last

1 seven years -- I guess maybe five years.

2 We have made headwinds this year and
3 we have issued a plan to FERC. And with
4 (inaudible) to have the entire trail
5 completed by the end of this year. The plan
6 was ten miles.

7 MR. NAVAREAU: But that is a
8 licensing requirement as part of your
9 settlement agreement, correct? It's a
10 concern, how far overdue.

11 But in terms of -- what about
12 boating and fishing opportunities in the
13 upper and lower reservoirs? I guess I am
14 somewhat confused from the lack of
15 recreational opportunities around these
16 reservoirs. I looked at Northfield
17 Mountain, the hiking and cross-country
18 skiing opportunities there. I looked at the
19 pump storage operation in New York for their
20 boating opportunities in both the upper and
21 lower reservoirs. It's a concern those
22 opportunities are not provided here at this
23 development. I would like to bring that to
24 your attention.

25 PAT: I think we can view it, you

1 know as it's a 30- 40-foot elevation and the
2 impact (inaudible) so we do have to play by
3 FERC rules to some extent as far as security
4 and public safety goes. Not the Washington
5 folks but the regional office would oversee
6 that. So we've been doing it since 911.

7 MR. NAVAREAU: But these
8 restrictions predated 911.

9 PAT: Yes.

10 MR. NAVAREAU: That kind of leads me
11 to my third question, which is: I
12 understand you have to play by the FERC
13 rules but you also need to play by
14 Massachusetts law, and I trust that you do
15 so.

16 My question is: What is the impact
17 of the Bear Swamp Development for navigable
18 ability?

19 UNIDENTIFIED SPEAKER: The plan was
20 ten miles. I don't know if I can really
21 answer that. I mean it's still navigable.

22 (Multiple unidentified speakers)

23 MR. NAVAREAU: I'm talking about the
24 lower reservoir. The lower reservoir is
25 1.75 miles from the Deerfield River. The

1 Deerfield River is a navigable river, but
2 you can't navigate it around Bear Swamp
3 Development. There is no shoreline access.
4 There is no portage.

5 It's a very serious concern to me
6 that without anybody's approval, without any
7 permission, Brookfield, or its predecessors,
8 I should say, have obstructed the Deerfield
9 River, and we are very concerned about the
10 navigability. We expect to address that in
11 our comments and we want to bring it to your
12 attention.

13 MR. BAUMMER: Thank you. Norm?

14 MR. SIMS: I'm Norman Sims, S-I-M-S
15 from (inaudible). As Tom and Bob mentioned
16 the original Deerfield settlement agreement
17 started in 1988. The Appalachian Mountain
18 was a major part of that settlement. I just
19 wanted to mentioned a couple of things, and
20 I will be filing significant scoping
21 comments and study requests later.

22 A couple of things. First of all,
23 the Appalachian Mountain Club has somewhat
24 broader interests than Travel Unlimited or
25 White Water. We have about 90,000 members

1 in New England. We're the largest
2 conservation/recreation organization in the
3 northeast.

4 A number of things have been
5 mentioned about the white water recreation
6 below Fife Brook, and I think that's very
7 significant economically and recreationally.
8 And we certainly are hoping to expand that
9 in this re-licensing.

10 The ANC also has a number of
11 land-based recreational interests. In this
12 case we have a pump storage facility that
13 generates, I believe, 676 megawatts of
14 power, which I believe is about ten percent
15 of the power that Brookfield has in the five
16 counties that they operate. So that's a
17 significant facility, the largest financial
18 and electric generator on the entire river.

19 The recreational facilities that are
20 built into the mountain where the upper
21 reservoir is, are virtually nonexistent.
22 Apparently there's a trail -- apparently
23 there are white water safety concerns that
24 Steve has mentioned here. You allow hunters
25 with firearms in the area. We think that

1 needs to be dramatically expanded. The
2 reason --

3 (Individual enters room)

4 MR. SIMMS: TransCanada has arrived.

5 We think the reason that those
6 recreational facilities should be expanded
7 is because, as Bob mentioned, this river has
8 been closed to recreation by a power
9 company. We recognize that there may be
10 some safety concerns with the 40-foot
11 elevation change in the reservoir. But
12 still, you have enclosed the river. I
13 believe the distance is actually about seven
14 and a half miles. And it does affect
15 upstream boating opportunities from the
16 TransCanada releases. I'll be making many
17 more comments about that later.

18 I just want to mention a second
19 thing. After the Deerfield settlement
20 agreement which was finally signed and
21 closed, I believe, in 1997. All of the
22 other project plans in that settlement --
23 and since John Ragonese is here, maybe you
24 can help my memory on that.

25 MR. RAGONESE: You're doing fine.

1 MR. SIMS: I believe that all of
2 those lands were placed in a permanent
3 conservation placement. That did not happen
4 with the Fife Brook/Bear Swamp lands because
5 their license was not actually up for
6 renewal at the time. In the pad there is no
7 indication that those properties will be
8 placed in a conservation easement. We feel
9 they should in line with what the other
10 power companies have done.

11 And thank you very much. I'll file
12 the written responses.

13 MR. BAUMMER: Thank you.

14 Yes, ma'am?

15 MS. DONELAN: My name is an Andrea
16 Donelan, D-O-N-E-L-A-N. I work for the
17 water ship council. I have a couple of
18 questions about the pad.

19 Is this just free comment time, or
20 do you want to go into the resource areas?

21 MR. BAUMMER: It's fine to me.

22 MS. DONELAN: I was just wondering
23 in terms of people's discussion about the
24 Deerfield River section, the lower
25 reservoir. Is there a map that shows the

1 extent of the impoundment for that project,
2 goes up to that? I couldn't hear the
3 gentleman's comments. Does it go up to the
4 next --

5 UNIDENTIFIED SPEAKER: (Inaudible)
6 I'll let Steve address that.

7 MS. DONELAN: And then I was curious
8 about seeing a map that shows up to the
9 project area what's open to the public and
10 what's closed to the public.

11 (Referring to slide presentation)

12 UNIDENTIFIED SPEAKER: This is the
13 project boundary. Right up here to seven
14 plus miles, this is the upper limit.

15 MS. DONELAN: I can't hear you.

16 UNIDENTIFIED SPEAKER: I'm sorry.
17 This is the upper limit. And this is -- I
18 don't know -- would Deerfield/Fife be right
19 in here with that?

20 UNIDENTIFIED AUDIENCE SPEAKER: That's part
21 of the visitor center.

22 MS. DONELAN: So when the pump
23 storage is generating the flow, that water
24 flow goes to up to that project downstream
25 from it, or is there another ...

1 UNIDENTIFIED SPEAKER: No. This
2 would the extent of the inundation.

3 MS. DONELAN: I can't hear you.

4 UNIDENTIFIED SPEAKER: This would be
5 the extent of the inundation. This is not a
6 good map. We don't assume that's a full
7 reservoir right there. It doesn't flood
8 into these areas.

9 UNIDENTIFIED AUDIENCE SPEAKER: Yes,
10 it does.

11 (Multiple unidentified speakers)

12 MS. DONELAN: No. I want to know
13 what the backwater --

14 UNIDENTIFIED SPEAKER: I don't know.
15 There is not a detailed map that has before
16 and afters. I understand exactly what you
17 guys are talking about. Do we have to build
18 (inaudible)

19 UNIDENTIFIED AUDIENCE SPEAKER: The
20 backwater extends all the way to the parking
21 area.

22 UNIDENTIFIED SPEAKER: Fully
23 understood. We get that. We are just
24 trying to discern in terms of a request for
25 more information.

1 MS. DONELAN: You know, in terms of
2 recreation for the community, would that be
3 in the pad or study question, is what I'm
4 trying get a sense of what information we
5 know and what information we do not know.

6 So the area of the land around the
7 lower reservoir, the Deerfield River
8 upstream from the dam, is all of that
9 blocked from public access; is that true?

10 UNIDENTIFIED SPEAKER: With the
11 exception of the area around the Visitor
12 Center.

13 MS. DONELAN: Is the other side of
14 the river around the upper reservoir, is any
15 of that woodland accessible?

16 UNIDENTIFIED SPEAKER: All of it.
17 To clarify that, Article 405, the license,
18 clearly describes and speaks to the 1,200
19 acres of land around the upper reservoir and
20 a couple hundred of acres of land along the
21 lower stretch below Fife Dam.

22 So there is most certainly access to
23 do that. It describes the easement which
24 has the intents and purpose, you know, of
25 retaining the undeveloped nature. The

1 expiration of that -- when does that
2 expire -- that expires with the license.

3 I want to clarify that there most
4 certainly is access to over 1,000 acres of
5 land. Is it developed with cross-country
6 ski trails? Maybe not. But there is most
7 certainly public access.

8 I think when we're talking about the
9 public safety we are talking about a narrow,
10 well-defined perimeter around the upper
11 reservoir and the same with the lower.

12 MR. BAUMMER: That's some of the
13 stuff we'll probably see on the site visit
14 tomorrow.

15 MS. DONELAN: Unfortunately I can't
16 go to that.

17 So the lower reservoir, the license
18 allows for a 40-foot fluctuation. I know
19 with Brookfield Mountain they don't use
20 their full range. I didn't see a graph that
21 shows typical operating range on this as far
22 as do you guys use the lower (inaudible).
23 That doesn't show any elevation.

24 (Multiple unidentified speakers)

25 MS. DONELAN: So then in this graph

1 here, for two months of last year, am I
2 correct in reading that what you get coming
3 downstream at you is anywhere from close to
4 zero to 1,000 CSF of water coming out of the
5 Bear Swamp facility is anywhere from
6 (inaudible).

7 MR. CULLIGAN: No. What this graft
8 is showing -- I'm Dave Culligan, and
9 engineer, by the way. C-U-L-L-I-G-A-N. The
10 purpose of this graph is really to show the
11 fact that you've got an input cycle to the
12 lower reservoir, which is the Deerfield
13 flow, the Deerfield No. 5 discharge into
14 Fife Brook Reservoir.

15 What comes out of Fife Brook
16 Reservoir is the purple signal, and those
17 signals are the same. Fife Brook Power
18 House is following the flow of Deerfield No.
19 5. So while that is happening, Bear Swamp
20 Pump Storage is going in a pump and generate
21 cycle. So there is no discharge into the
22 lower Deerfield River. That's all contained
23 within the storage of the lower reservoir
24 the river is flowing through the lower
25 reservoir unchanged by Bear Swamp Pump

1 Storage operations.

2 MS. DONELAN: Well, what I'm saying,
3 to make it clear, is the lower reservoir is
4 the Deerfield River, so at times you have
5 like a tributary flow coming into that
6 impoundment that's anywhere from 0 to 10,000
7 CSF.

8 UNIDENTIFIED SPEAKER: It's not zero
9 flow. It will be --

10 MS. DONELAN: I see that. But the
11 graph shows us it is going down to zero. Is
12 that correct that sometimes you get ten
13 times the flow?

14 UNIDENTIFIED SPEAKER: Into the
15 lower reservoir.

16 MS. DONELAN: Into the lower
17 reservoir that's already coming down from
18 the next project up.

19 UNIDENTIFIED SPEAKER: So you're
20 saying 11,000 or something like that,
21 inflow?

22 UNIDENTIFIED AUDIENCE SPEAKER: Like
23 a big bathtub.

24 (Multiple speakers)

25 MS. DONELAN: You know, people said

1 that maybe they would be getting public
2 access on the river in the upper and lower
3 reservoir. So I'm just trying to understand
4 what that would look like.

5 We have a flow that is coming in
6 from the next project up and sometimes you
7 have an incredible flow, that's much higher,
8 coming down from Bear Swamp. So what does
9 it look like? I mean you mentioned safety
10 and the lower reservoir being off limits, so
11 I'm trying to understand. There is no
12 pictures in the past and I would like to see
13 that.

14 MR. BAUMMER: We have got some
15 pictures.

16 MR. RAGONESE: I can maybe help her
17 with this. This is John Ragonese from
18 TransCanada.

19 Inflow into the upper end of the
20 reservoir does not change the elevation. So
21 that doesn't change. The elevation will
22 only change if Fife Brook pump storage
23 operations sends back (inaudible). And that
24 is the concern because of that.

25 Does that help you at all? You seem

1 confused by that.

2 MS. DONELAN: I'm not confused about
3 that. (Inaudible) I want to know the
4 magnitude of how unsafe it is. (Inaudible).

5 MR. BAUMMER: Hang on for one
6 second? Can you stand up and talk towards
7 the front of the room so the court reporter
8 can hear you and get everything on the
9 record?

10 MS. DONELAN: What I was trying to
11 say is I understand what John is saying.
12 But I'm trying to get a sense of how unsafe
13 it really would be on the lower reservoir.
14 So, for example, what are the flows like at
15 the taintor and structure at the taintor

16 So if someone was in a boat on the
17 lower section of the river and there was
18 interest in that, what would that be like?

19 MR. RAGONESE: I can show you this
20 photograph, if that helps at all. It really
21 doesn't show -- you can't really see the
22 intake valve.

23 MR. BAUMMER: So the intake is
24 somewhere out here then?

25 MR. RAGONESE: Yes.

1 UNIDENTIFIED AUDIENCE SPEAKER: I
2 can put it a different way. When you refill
3 the upper reservoir, is it sort of like a
4 toilet flushing, that everything gets stuck
5 in the reservoir, or is it like a six-hour
6 process of refilling the reservoir for a
7 height of forty feet, so it's really only
8 five feet an hour that the foot height of
9 the reservoir is really changing?

10 MR. RAGONESE: So in order to
11 generate flow from the upper reservoir,
12 completely full, it's about six hours before
13 it's fully pumped. And it's about
14 eight hours refill it.

15 UNIDENTIFIED SPEAKER: So five feet
16 per hour, that's safe.

17 UNIDENTIFIED AUDIENCE SPEAKER: If
18 you're in a boat.

19 MR. BAUMMER: Yes, sir?

20 BRUCE: I'm Bruce (inaudible), from
21 Zoar. I have been a white water rafter for
22 just over 25 years. We were involved in the
23 first license. I'm going to file a comment
24 but I just have a question. The graph
25 you've showing with inflow and outflow from

1 the lower reservoirs, the blue and purple
2 line -- the graph is too large a scale to be
3 able to see whether that's a variation of a
4 minute or an hour or four hours. And that
5 timing difference could make a big
6 difference in how the recreation and
7 fisheries are all accommodated on the river.

8 So the important thing to know with
9 that graph, it shows, within a day, the
10 water coming in and going out. But if
11 that's offset by three or four hours by the
12 lower reservoir, which we believe it is,
13 that can impact how you manage it.

14 UNIDENTIFIED SPEAKER: I just want
15 to do a little clarification on the filling.
16 On the lower reservoir it's V-shaped so not
17 five feet an hour when first (inaudible)

18 MR. BAUMMER: Yes, ma'am?

19 MS. DONELAN: Andrea Donelan, again,
20 water ship counsel. This graph and then the
21 other graph showing daily -- I'm just
22 wondering how you pick those (inaudible) but
23 my question is, why those?

24 UNIDENTIFIED SPEAKER: I don't think
25 there was a rhyme or reason. The other one

1 was 15 minutes and this was a daily average.
2 We didn't try to expand it out. The other
3 one was 15 minutes when we were doing global
4 studies, and that was data during that time
5 frame.

6 MS. DONELAN: Are you able to make
7 flow duration curves of the outflow?

8 UNIDENTIFIED SPEAKER: The outflow?

9 UNIDENTIFIED SPEAKER: Of what the
10 river would be like by the dam.

11 UNIDENTIFIED MAN: I guess, yes.

12 (Inaudible)

13 MS. DONELAN: Those weren't included
14 in the packet.

15 UNIDENTIFIED MAN: I believe just
16 the gauge.

17 UNIDENTIFIED SPEAKER: I think you
18 have a longer record just using the gauge.
19 I don't know we have much more than the 2005
20 data.

21 UNIDENTIFIED SPEAKER: Just a couple
22 of questions. First, before I forget, we
23 would request that future meetings be held
24 in Franklin County. Most of the people, I
25 think, in this room are coming from that

1 part of the state and that part of the area.

2 Having them here is a major
3 inconvenience for a number of people. I
4 think it's more appropriate for something
5 that really is in Franklin County, that
6 these meetings be held in either Charlemont,
7 Shelburne Falls. There is plenty of
8 facilities available to accommodate this
9 number of people. This is a pretty big
10 inconvenience for a lot of people to come
11 here.

12 Second, now that there's questions
13 being offered to the power company, when was
14 the change made with regards to ramping up
15 to three megawatts; when was that change
16 implemented?

17 UNIDENTIFIED MAN: I'm not familiar
18 with the exact date. It's going on a few
19 years.

20 UNIDENTIFIED AUDIENCE SPEAKER: A
21 few years? So that isn't a recent change?

22 UNIDENTIFIED SPEAKER: (Inaudible
23 reply)

24 UNIDENTIFIED AUDIENCE SPEAKER: So
25 you're saying that isn't a recent change as

1 a result of our meetings that we've done
2 before?

3 UNIDENTIFIED SPEAKER: That is a
4 result of a change from a couple of years
5 back.

6 UNIDENTIFIED AUDIENCE SPEAKER: So
7 the times that we have been meeting with you
8 over the last two-and-a-half years, which we
9 have been asking specifically for that, and
10 now you're saying you were actually doing
11 it? That frustrates me. Now I don't
12 believe you are doing it based on the water
13 line graphs we have been seeing over the
14 last two years.

15 So I mean, if, in fact, they have
16 been doing it, clearly it isn't enough, and
17 I don't believe they have been doing it.

18 MR. BAUMMER: Yes?

19 LOIS: I'm Lois (inaudible) And this
20 question is for FERC. The first one is: So
21 on the Connecticut River re-licensing HDR is
22 serving as the consultant. I just wanted to
23 clarify that is not the case here.

24 MR. BAUMMER: We are handling this
25 one. We don't have a consultant. Thanks.

1 LOIS: The other question is: In
2 the scoping document I think FERC says that
3 they're proposing to analyze the aquatic
4 impact to a system that's seven and a half
5 miles downstream. I believe that's a
6 project boundary, but is that the downstream
7 influence of Fife Brook operations on the
8 river?

9 UNIDENTIFIED SPEAKER: That's a
10 question that we probably need to explore
11 further. It's part of the scoping process.

12 LOIS:

13 UNIDENTIFIED AUDIENCE MAN: I think
14 you're asking about the TransCanada
15 development of what is downstream and
16 upstream.

17 MR. BAUMMER: Oh, okay. I would
18 have to look that up. I'm not exactly sure,
19 to be honest with you.

20 LOIS: But you're not proposing that
21 analysis to be that entire distance, you're
22 proposing to stop at seven-and-a-half miles.

23 MR. BAUMMER: That was what we
24 originally proposed based on information we
25 had in front of us. We can expand that.

1 That's why we're kind of here, to discuss
2 that.

3 LOIS: Okay.

4 MS. DONELAN: Andrea Donelan,
5 Connecticut River Water Ship counsel. I was
6 wondering if Brookfield could explain
7 actions taken during Hurricane Irene, the
8 most recent flood and there were a lots of
9 rumor to the effect of the hydropower
10 company doing or not doing something. And
11 this would help us understand what the
12 capacity of storage is and what actions are
13 necessary during times of catastrophe?

14 MR. BAUMMER: I guess the question
15 is whether or not Brookfield has capacity
16 for flood storage, how they handle potential
17 flooding?

18 MS. DONELAN: Yes.

19 UNIDENTIFIED MAN: Normally in high
20 flow events we place -- the procedure is we
21 place the lower reservoir to a mode for
22 pumping. In the case of Hurricane Irene, we
23 had the lower reservoir rise by ten feet
24 within an hour. Water was, you know, coming
25 down off the mountain across the number five

1 into the lower reservoir. It was completely
2 under water. And we actively visited our
3 Condition C, I believe was referred to. We
4 did everything we could to keep the water
5 flowing as best as we could.

6 UNIDENTIFIED SPEAKER: At that time
7 the Bear Swamp was full and it was not
8 contributing to anything downstream, which
9 is typical of flooding.

10 UNIDENTIFIED SPEAKER: (Inaudible)

11 MR. BAUMMER: Yes, ma'am.

12 MS. MOODY: Hi. I'm Jennifer Moody,
13 White Water. So can you tell me,
14 physically, where on the river this
15 seven-and-a-half mile point ends? I mean it
16 seems like it's a number that you must know
17 where. Does it end at a stream? Does it
18 end -- I know the river very well. I'm
19 trying to figure out where seven-and-a-half
20 miles is. I mean I know every bend in the
21 river. Tell me where it is, where the
22 proposed ending is.

23 UNIDENTIFIED SPEAKER: (Inaudible).

24 MS. MOODY: I didn't see a map that
25 explained that.

1 MR. BAUMMER: Can you pull that up,
2 John.

3 MR. RAGONESE: That's probably all I
4 can get out of it.

5 MS. MOODY: Just tell me what the
6 name of the point is or where.

7 MR. RAGONESE: It's really
8 impossible to see on this map. If you look
9 at the maps that are in pad, if you look
10 where Zoar Road is coming down out off of
11 Route 2, right about in this area Deerfield
12 River. You know when you're on that stretch
13 of road and there is a big retaining wall?
14 It's in that vicinity. It's probably the
15 downstream end of that.

16 MS. MOODY: Before Route 2?

17 MR. RAGONESE: Yes.

18 MS. MOODY: Any particular reason
19 you picked that point?

20 MR. RAGONESE: It was derived as
21 part of the original license. Those lands
22 and waters that are necessary.

23 MR. BAUMMER: They close everything
24 in the project boundary that could be
25 affected by the project. That would include

1 this access area and there is arbitrary --
2 not arbitrary -- but there is some type of
3 formula for it. They originally issued a
4 license that they said that that was the
5 lower project boundary.

6 UNIDENTIFIED MAN: I know that area.
7 I drive by it every day, that point. And
8 believe me the difference between low and
9 high water is significant. So I concur with
10 some of those requests that whatever you do
11 in Bear Swamp affects the river all the way
12 down to Deerfield No. 3 or No. 4. And the
13 impact goes the entire river.

14 MR. BAUMMER: Yes?

15 MR. PARSONS: We would concur that
16 (inaudible. We have been monitoring over
17 the last two years, monitoring water
18 temperatures on the Deerfield River from
19 Fife Dam all the way down to the Connecticut
20 River. There is no question that there is a
21 significant temperature spiking issue that
22 is ongoing from the Deerfield River from
23 exactly the point of the termination point,
24 seven-and-a-half miles, that's where the
25 problem starts as far as the temperature

1 spikes.

2 Because from that point down, down
3 through Charlemont, past Charlemont Academy,
4 thinner water, whiter water which is heating
5 up. We have recorded temperatures in excess
6 of 80 degrees, which is lethal to trout.

7 And so as part of our request and
8 the goals at this point would be the
9 temperature spikes of the entire watershed.
10 Our studies have indicated, our monitors,
11 with regards to significant positive effect
12 once these releases are coming through
13 during these temperature issues.

14 MR. BAUMMER: I have some time for a
15 couple of more comments and then we need to
16 wrap it up a little bit.

17 Yes?

18 MS. DONELAN: Andrea Donelan, water
19 ship counsel. Pages 553 to 556 or so of the
20 pad describing some fish found in the area
21 and I was curious. I saw that the American
22 eel is found in the Chicopee River, which is
23 downstream, a tributary downstream from Fife
24 Brook. But I didn't see any data for eels
25 being in Deerfield, below Fife Brook. I

1 feel they must be. I don't know. Is there
2 any evidence of eels downstream or upstream
3 from Fife Brook?

4 UNIDENTIFIED MAN: I mean we use
5 data that is available and that was what we
6 were presented. We are not aware of any
7 other information.

8 UNIDENTIFIED SPEAKER: I can check
9 the data base. But the project on the
10 Deerfield River probably predates most of
11 our data. The dams have been there a long
12 time. There are eels in the North River.
13 So that's the lower. I mean there are
14 definitely eels all the way up to Vermont.

15 (Inaudible response)

16 UNIDENTIFIED MAN: I just wanted to
17 say for the record that we will be
18 submitting written comments. Feel free to
19 contact me, and I'll do my best to see your
20 comments are contained as well. I have
21 cards and handouts after the meeting.

22 MR. NASDOR: Just a quick comment.
23 If you're using the Charlemont gauge, the
24 Bear Swamp project accounts for 70 percent
25 of the flows for the Charlemont gauge. So

1 the graphs that you were showing, were they
2 adjusted for the drainage area?

3 UNIDENTIFIED MAN: That, they
4 planned out.

5 MR. NASDOR: Yes. But is that based
6 on the Charlemont gauge?

7 (Multiple speakers)

8 MR. NASDOR: Is there additional
9 data that would be available with detailed
10 information that we can analyze from the
11 plan data? Because right now we only have
12 the Charlemont gauge to work with.

13 UNIDENTIFIED SPEAKER: It shouldn't
14 be much different.

15 MR. NASDOR: It is. Whether it's
16 warm or whether it's -- you know, whether
17 it's high water or low water affects the
18 Charlemont gauge. I would really like to
19 have yours. Based on the Charlemont gauge
20 it looks like you have haven't defined the
21 settlement agreement for the white water
22 releases since last September.

23 So if you have more accurate data
24 that will show that information, it would be
25 great to have that available to at least

1 look at that. Seventy percent may just be
2 an approximation depending on what's coming
3 in from other sources.

4 UNIDENTIFIED MAN: I think that's
5 all part of the study and the scoping
6 process.

7 MR. NASDOR: We can take a look at
8 it as the whole process unfolds.

9 Okay. Thank you.

10 MR. BAUMMER: Yes, ma'am.

11 SPEAKER: (Inaudible)

12 MR. BAUMMER: Maybe I could just
13 talk a little bit about the site visit
14 tomorrow. I'm not sure how many people were
15 signed up for the site visit but I want to
16 talk a little bit about it.

17 So we asked for a RSVP and there is
18 26 people. So 9:00 a.m. tomorrow, a meeting
19 at the Visitor Center for a site visit.
20 This is the address for people who don't
21 know. This is the address for the Visitor
22 Center. It's just about a mile, a little
23 over a mile up the street of the front of
24 the plant.

25 If you do Goggle it or MapQuest it,

1 it will put you on the Housatonic River. So
2 I think Bing puts you in the right place.
3 But just be aware if you're looking for
4 those types of directions.

5 So as part of the site visit we are
6 going to go to the Visitor Center. We are
7 going to the upper reservoir and public
8 hunting area. And it will be a broad
9 overview. We will get inside the gate and
10 look at the whole thing. We are not going
11 to walk around it.

12 And then we'll go to the Bear Swamp
13 Pump Power House and lower reservoir and
14 visit Fife Brook Power House. We'll go to
15 the Fife Brook fishing area and we'll go to
16 the Zoar white water picnic area. The
17 transportation will be by bus. We can't
18 allow vehicles inside the power house and or
19 up the reservoir. The bus is leaving at
20 nine and we expect it back at one at the
21 latest.

22 You guys probably all saw there is a
23 bunch of rules posted as part of the notice.
24 You know, the most important thing to me is
25 people are safe as far as shoes goes. And

1 we do not allow pictures. You know, I hope
2 everything else goes without saying.

3 MR. BAUMMER: Okay. I just want to
4 remind people that on page 19 is the scoping
5 document with information on how to
6 subscribe to the projects so you are
7 notified. And also how to be added to the
8 mailing list. If you would like to be added
9 to the mailing list and receive any hard
10 copies of any issues that FERC provides.

11 We'll also be back here tonight at
12 7 o'clock for the public meeting and we'll
13 have a similar format to this. We will also
14 be available to hear any of your comments at
15 the public meeting. I want to thank
16 everyone for coming here today. And if you
17 have questions, get back do me. Thank you
18 all for attending.

19

20 (Hearing concluded at 11:58 a.m.)

21

22

23

24

25