

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Federal Energy Regulatory Commission

Competitive Transmission Development Technical Conference

Docket No. AD16-18-000

June 27, 2016

1:00 p.m.

888 First Street, NE

Washington DC 20426

Commission Meeting Room 2C

1 P R O C E E D I N G S

2 CHAIRMAN BAY: Good afternoon everybody. Who
3 knew that order one thousand would attract such a large
4 crowd but we're now six years into order one thousand. A
5 tremendous amount of work has gone into order one thousand,
6 both here at the Commission and at the RQS ISOs, the
7 planning regions and industry appreciate the work of our
8 stakeholders on order 1000. Notably competitive projects
9 have been put out to bid in the RQS ISOs.

10 And now that we have some experience here under
11 order one thousand, today's conference gives us an
12 opportunity to take a step back and to examine a number of
13 issues that have arisen. One being cost containment,
14 provisions and competitive development processes and how
15 they should be evaluated. Rate-making issues associated
16 with cost containment provisions, the relationship between
17 Commission incentives and competitive development processes,
18 inter-regional transmission coordination issues as well as
19 other regional issues.

20 I look forward to hearing the views from all the
21 panelists. I thank them for coming here today. I
22 appreciate the hard work of staff in putting together
23 today's conference. Let me note that after the conclusion
24 of this technical conference the Commission will review the
25 record in this proceeding and in the near future issue a

1 notice inviting post-conference comments. The notice will
2 identify certain issues regarding which the commission is
3 particularly interested in receiving comments. If anyone
4 else is wearing seersucker here today your comments receive
5 extra credit, so. Cheryl?

6 COMMISSIONER LEFLEUR: Thank you, yes. Imitation
7 is the sincerest form of flattery as clear who my style icon
8 is. Very excited about today's and tomorrow's tech
9 conference. I appreciate all of the comments we received in
10 advance and people traveling from near and far to share
11 their thoughts. It's axiomatic, our Nation is going through
12 big changes in how we generate and deliver electricity and a
13 robust transmission network is needed to support those
14 changes.

15 Order one thousand was issued five years ago next
16 month, recognizing that transmission would be important to
17 ensure liability, allow access to lease/cost resources, and
18 meet State and Federal public policies particularly carbon
19 policy. The central purpose of the rule was require
20 regional planning and cost allocation to make sure that the
21 transmission that built was cost effective and best suited
22 to meet customer needs. A key part of achieving that
23 objective was our belief that opening transmission
24 development to competition was a part of making it just and
25 reasonable. As I think through all the issues over the next

1 couple of days I am going to be really trying to listen to
2 them on two levels. The first is I'm very interested in the
3 specific questions that staff framed on the agenda. I
4 issued a statement last week to underscore some of those
5 questions, interested in how the competitive processes are
6 going, what we have learned, how cost control proposals have
7 been and should be considered and whether there are changes
8 that we need to make to our rate-making or incentives policy
9 to reflect Order One Thousand.

10 As always, at every tech conference I hope folks
11 can be as clear and specific as they can and any
12 recommendations for further Commission actions so we can
13 build a good record but more fundamentally, at a higher
14 level I'm interested in how Order One Thousand
15 implementation is working out and whether it's achieving its
16 core purpose of making sure that regional and intraregional
17 transmission is planned and built where needed.

18 I try to follow the regulatory Hippocratic oath,
19 "Don't make things worse" and I know we intentionally gave
20 regions and transmission owners a lot of flexibility and
21 I've been really closely watching how that flexibility has
22 been applied, not just with reference to the letter of the
23 law but the spirit of the law as well.

24 In particular, I've been concerned for a while
25 that the threat of competitive processes may be having an

1 unintended impact on transmission planning itself since we
2 seem to be seeing a profusion of the types of projects and
3 categories that are not subject to competition such as local
4 and near-term projects and a relative dearth of projects,
5 bigger projects that are subject or regional projects that
6 are subject to competition and you know, that kind of goes
7 against the central purpose of the rules so I just want to
8 see if that is happening, why is that happening, to make
9 sure that we got it right and it's actually advancing the
10 purpose of doing what's right for customers. Thank you very
11 much.

12 CHAIRMAN BAY: Thank you, Cheryl.

13 COMMISSIONER CLARK: Thank you Mr. Chairman and
14 thanks to everyone for being here this afternoon and for
15 tomorrow when we continue our discussion. One of the
16 challenges it seems of putting this together was attempting
17 to create some sort of structure so that the Commission
18 could gather some information that then we could act upon.
19 One of the things that's challenging about Order One
20 Thousand is that it's such a big topic that if there isn't
21 some focus brought to exactly the questions that we are
22 trying to ask, that it could just be sort of a two-day gripe
23 session about what's working and I like this part of it and
24 I don't like this part of it.

25 We need to have a little more focus than that.

1 So the way the Commission, the Staff has laid this out I
2 think makes a lot of sense. Broadly speaking, the way I
3 would group and categorize the topics that we're going to be
4 dealing with over the next couple days, there is a, the
5 first two panels have a sort of natural affinity towards
6 these other, which is a fairly discreet question about this
7 issue of cost-containment measures and cost containment
8 caps.

9 This is something that has come up in a number of
10 proceedings in a number of different venues that have come
11 before the Commission both discreet filings as well as some
12 petition has dealt with. So this tees up a rather specific
13 question with regard to cost-containment measures and
14 transmission incentives and how all of these things work
15 together. With regard to that, what I'll be looking for in
16 particular, and I'd ask the panelists to see if you can
17 address this specifically, is to answer the question of how
18 prescriptive the commission should be in the laying out how
19 cost-containment measures and transmission incentives might
20 work.

21 The reason that I tee up that particular question
22 is this: The question becomes does the Commission give
23 stakeholders the book and say if you're going to do
24 transmission incentives and cost-containment measures, this
25 is how they're to be done. Or is it a little but more

1 generic than that where the Commission looks at it in terms
2 of here the four corners of the things that we will probably
3 be looking at but doesn't specifically lay out how some of
4 these measures will take effect.

5 In other words, how much latitude do we give the
6 industry, understanding there could be a trade-off between
7 certainty and the benefit of letting a number of ideas
8 bloom. So I will be looking at that and secondly
9 identifying areas where traditional rate-making principals
10 may need to be tweaked in order to accommodate some of these
11 things that we see coming forth through the regional
12 processes. I have run into very few people who say
13 cost-containment measures are a bad thing. Rather it's "If
14 we're going to do it, how do we make it work in a way that
15 meshes with Commission precedent and the rules that we have
16 on the books.

17 Panels, the last few panels that we have
18 especially tomorrow, deal a little bit more with
19 interregional planning and regional planning. These are a
20 little bit more general in terms of what I would classify as
21 a little but more of a diagnostic checkup in terms of how
22 the Order One Thousand planning processes are working both
23 inter-regionally and regionally.

24 We will hear more about that tomorrow but I think
25 in the case of those panels what we're looking for is not so

1 much "is this particular model good, is that particular
2 model good" but rather in terms of "it is good for
3 incumbents, non-incumbents, public power, so on and so
4 forth" but really analyzing it through the lens of FERC's
5 mandate, which is just and reasonable rates and which is
6 broadly defined as "are consumers getting a good deal but is
7 it being done in such a way that the public interest is
8 protected such that we have viable utility companies who are
9 able to make a business model of this process the Commission
10 has set up.

11 So, some big topics. Obviously it's a group of
12 topics that has a lot of interest and I'm looking forward to
13 the next few days, thanks.

14 CHAIRMAN BAY: Thank you Tony, Colette?

15 COMMISSIONER HONORABLE: Thank you, Mr. Chairman.
16 Good afternoon. FERC really knows how to throw a party.

17 (Laughter)

18 And I feel right at home with my colleagues Tony
19 and Cheryl wearing our Southern fare and seersucker. Thank
20 you for reminding me about what's so wonderful about the
21 South. I too would like to welcome all of you to this
22 Competitive Transmission Development Technical Conference.
23 Some of you have been referring to it as the Order One
24 Thousand Technical Conference but I really see it as broader
25 focus than that. Certainly with Order One

1 Thousand the Commission has set a great number of processes
2 into motion. Now, nearly all of the compliance stylings
3 have been approved and we really are starting to see the
4 processes taking shape and I think we can see the road ahead
5 in some ways. I also think this is an opportunity in time
6 to stop and listen to you and to learn what's happening in
7 the real world and this is a great opportunity to do that.
8 I'd like to thank our staff that you guys have done an
9 incredible job, not only with I was mentioning the days
10 before we began addressing the stylings and the substance at
11 work but also to aide us in preparing for biting off almost
12 more than we can chew with two days of incredible dialog.
13 I'm really looking forward to it.

14 I really have benefitted greatly from speaking
15 with a number of stakeholders during my tenure here and
16 hearing from you regarding a number of issues concerning
17 Order One Thousand and competitive transmission development.
18 I'm particularly interested in a few areas. One is whether
19 the Commission should provide additional guidance regarding
20 the interplay between cost-containment measures such as cost
21 caps and incentives. Are these things coordinated? Should
22 the Commission provide more guidance there?

23 Some of you are aware I'm very, very interested
24 in what's happening with regard to interregional
25 coordination and the effort to develop projects that address

1 and provide value and relieve congestion along seams between
2 regions. This is a particularly thorny issue for us but it
3 is one that we must focus on and tackle together. I know
4 that a number of you think that this look may be a bit
5 premature but because of some concerns I heard from a number
6 of stakeholders, I think there is no better time than the
7 present to analyze if there are issues that we need to
8 correct. There is no better time than the present to do
9 that.

10 I continue to be interested and concerned about
11 seams in modeling issues, harkening back to my days as a
12 state regulator and also of course regional planning and
13 cost allocation processes and also how the processes are
14 working at the regional level. It is imperative that our
15 policies help to achieve the right projects, in the right
16 places and at the right costs. We need to make sure that of
17 course that we are fulfilling the reliability, economic and
18 public policy needs of transmission and especially ensuring
19 that we are not over burdening consumers who ultimately bear
20 the cost of these projects.

21 Most of all I want our efforts to support the
22 build-out of the infrastructure that we so desperately need
23 to address the dynamically changing landscape as we are
24 looking at ways in which energy is generated and consumed so
25 different than even 5 or ten years ago. With that, I look

1 forward to hearing from all of our Panelists and Mr.
2 Chairman I should mention that because we are talking about
3 Order One Thousand, I'm almost at one thousand Twitter
4 followers, so I know there is one or two of you out there
5 that has not looked me up and it's chonorableFERC. I think
6 I may get to one thousand today.

7 (Laughter) With that, thank you all for being
8 here.

9 CHAIRMAN BAY: Thank you Colette. Just one quick
10 announcement, there are some seats open in the front row so
11 for people who are standing in the back, please feel free to
12 come forward and to take one of the seats. In addition, we
13 have opened up hearing Room 1, so that can accommodate many
14 additional people. With that, let's start with our first
15 panel Cost Containment Provisions and Competitive
16 Transmission Development Processes. Each Panelist is
17 supposed to make opening remarks within two minutes I
18 believe, is that right David?

19 MR. TOBENKIN: Yes.

20 CHAIRMAN BAY: We will start with Craig Glazer
21 from PJM. Thank you Craig.

22 MR. GLAZER: Mr. Chairman and Commissioners, I
23 have to start with a true confession. I'm not sure how I
24 drew this card to open this. I never won a lottery ticket
25 in my life, I've never had one pay off but somehow I drew

1 this card, so --

2 CHAIRMAN BAY: It's your day, Craig.

3 (Laughter)

4 MR. GLAZER: I am honored and but given that I'm
5 going to actually start this whole conference off with
6 something a little bit different because the author Stephen
7 Covey, in his words in his book "The Seven Habits of Highly
8 Effective People" reminds us that, using his words, the main
9 thing is to keep the main thing the main thing. Our message
10 today, quite frankly, at least from PJM is that that's part
11 of what we all need to do, to keep our eye on the prize.
12 Mainly bringing competitive forces to the planning process
13 to spur innovation and competitive costs of new
14 transmission.

15 I say that because at the end of the day the P in
16 planning still has to stand for planning. We can't lose
17 sight of the need to continually get the job done of
18 upgrading the transmission system efficiently and timely. I
19 know we are all committed to that, but as a corollary to
20 that, the P in planning, the letter L in planning shouldn't
21 stand for litigation. Because quite frankly my biggest fear
22 is if it does the L word will rapidly subsume the P word in
23 planning. I have just been thinking letters this week.

24 We at PJM have gone all in on Order One Thousand.
25 We've had six different proposal windows, received over four

1 hundred proposals for evaluation and the good news is we've
2 gotten some really innovative proposals. We've awarded one
3 of the largest projects to a non-incumbent, taken a
4 recommendation to the board on another one soon and have
5 seen a lot of good innovation with that. We're better for
6 that process so I thank you and the staff for that.

7 But we've also seen, frankly, the L word
8 beginning to creep in and starting to overwhelm the best of
9 the process, a lot of paper-chasing on small projects that
10 really aren't paying benefits as well as this sort of my
11 fear that we are so documenting the process and tariffs that
12 it may become a compliance trap for all of us that we can't
13 get ourselves out of.

14 Let me just quickly go to cost caps because cost
15 caps are essentially challenging. Commission Clark, you
16 said "I've never seen anybody that doesn't like a cost cap".
17 I agree. Cost caps are great. When I was a State
18 Commissioner, we loved cost caps. But what is a cost cap?
19 In essence, it's an alternative allocation of risk between
20 the investor and the rate payer. That in essence is what it
21 is. That's also the good part of it but also the problem.
22 I say in my testimony we are kind of at the ragged edge
23 where planning and regulation meet each other because
24 something about cost caps, dealing with what are just and
25 reasonable rates.

1 It's something where due process rights of load,
2 to be able to come in and comment mean a whole lot. So I
3 will close by saying my request to all of you, all of us is
4 that we all have to be cognizant of each other's mission as
5 we move forward, our best expertise, who has what expertise
6 and responsibility as we maneuver through these unchartered
7 waters. I tried to lay out some ideas in my testimony of
8 things we could do as we in Stephen Covey's words, all of us
9 together "search for the main thing" I look forward to your
10 questions.

11 MS. HANEMANN: Thank you. It's a pleasure to be
12 here today. My name is Kim Hanemann. I'm the Senior Vice
13 President at PSE&G. I'm responsible for managing all
14 aspects of PSE&G's transmission portfolio including
15 construction, permitting, operations and maintenance. My
16 comments here I'll deliver today are a summary of my written
17 comments. First point I'd like to make, PSE&G does not view
18 Order One Thousand right now as improving the transmission
19 planning process or bringing value to our customers.

20 We encourage the Commission to take a hard look
21 to evaluate whether the rule has delivered its intended
22 benefits. Sound transmission planning requires
23 consideration in many factors besides just the initial
24 construction costs. Projects with the greatest overall
25 value may be more expensive in the short term but they might

1 provide other ancillary benefits as reducing congestions and
2 replacement of aging infrastructure. Simply put, the
3 project with the lowest bid cost is not necessarily the best
4 project or value for our customers.

5 The second point has to deal around with the
6 skill sets of the RTOs. While our RTOs are strong engineers
7 and planners, they don't currently possess at the required
8 skill sets to adequately administer the Order One Thousand
9 open window process. Knowledge of commercial practices,
10 environmental permitting requirements, local regulations,
11 equipment procurement practices and construction cost
12 estimating are all required. Currently the RTOs don't have
13 adequate proficiency or resources in those areas.

14 Third area is around cost containment. We
15 believe cost-containment provisions are of limited value.
16 Reputable developers already have cost-containment measures
17 in place through their internal project execution processes
18 and have a track record to demonstrate whether they can
19 deliver projects on budget. In addition, you have the
20 existing prudence review process at FERC.

21 Further, when cost-containment provisions are
22 included in the evaluation process, right now they seem to
23 get over-valued creating a situation where more important
24 considerations receive insufficient weight, like the overall
25 project costs including all the inner connections like the

1 long-term value of the project and the developers ability to
2 permit and construct in the required timeframe.

3 There is also many practical issues around the
4 cost-containment provisions that limit what theoretical
5 value they may have. Cost caps typically have exclusions
6 such as changes in laws and regulations or TO directed
7 changes and importantly the ultimate meaning and effect of
8 such caps will be determined in the context of a dispute and
9 ensuing litigation. (Your L word). If the Commission
10 believes that some form of construction cost caps should be
11 included, then FERC should provide guidance on how these
12 caps will be enforced and require the RTOs have clear
13 guidelines for evaluating them.

14 Plans should include development of clearly
15 understood and judicially recognized cost-containment
16 provisions for use by all bidders. These provisions should
17 be predictable, commercially reasonable and enforceable.

18 Thank you for your time.

19 MR. IVANCOVICH: Chairman Bay, all the
20 Commissioners, my name is Anthony Ivancovich. I'm the
21 Deputy General Counsel for the California ISO. I appreciate
22 being given the opportunity today to come and discuss the
23 ISO's competitive solicitation model. To date, we have
24 completed nine competitive solicitations and we've dealt
25 with a host of cost containment issues. Our tariff sets

1 forth the standard and the criteria that we apply to select
2 and approve project sponsor.

3 For each competitive solicitation we identify
4 what we believe at the key selection criteria for that
5 particular solicitation. Under our tariff, cost-containment
6 is required to be a key selection factor for every
7 solicitation and it is. However it is not the only relevant
8 consideration. All criteria in our tariff are relevant and
9 we must consider the totality of all the facts. The ISO
10 acknowledges that concerns have been raised nationwide about
11 the ability of planning regions to objectively and
12 transparently evaluate dissimilar proposals.

13 We believe it's critical to instill confidence in
14 the selection process. However, based on our experience,
15 imposing predetermined weights, mathematical formulas and
16 simplistic rules is not the answer. That can embed
17 arbitrariness into the process, it can dictate inappropriate
18 project sponsor selection decisions. Nor should least
19 project cost be the sole driver of decision-making. That
20 would inappropriately devalue or ignore other factors.

21 Our experience shoes that cost containment takes
22 a variety of great diversity in form and substance. The
23 proposal with the lowest construction cap may not even be
24 the best proposal from a cost perspective. Least cost does
25 not mean cost-effective, it does not mean least risk and

1 upon closer examination, it may not even mean least cost for
2 the life of the project. We believe that hardwiring
3 cookie-cutter rules under these circumstances is
4 inappropriate.

5 Planning regions should be able to holistically
6 look at all of the facts and evaluate and compare proposals
7 based on their merits and the specific needs of each
8 project. In return, the Commission should hold planning
9 regions accountable for following their tariffs, for running
10 fair and transparent processes, for fully explaining the
11 reasons for their decisions and the role of each of the
12 selection criteria and basing their decisions on meaningful
13 differences between projects. We believe that will increase
14 transparency and allow participants to better understand why
15 decisions were made in the end and instill greater
16 confidence in the process. Thank you.

17 PRESIDENT MROZ: Mr. Chairman and Members of the
18 FERC. It's good to see you all and thank you for having me
19 today. When I was appointed to be the President of the
20 Board of Public Utilities in New Jersey in 2014 I did
21 something that some might not think to do, but I pulled out
22 the statutes just to take a look and remind myself of what
23 my duties were. What my responsibilities and obligations
24 were so that I could remind myself but also just to remind
25 what other audiences I took up the position.

1 It is, as you know, a role where we need to
2 balance often inconsistent interests or decisions or
3 requests. The financial viability of the companies who
4 regulate safety and soundness of the systems, the planning
5 in our state, the energy policy planning function and
6 ensuring reliable service. All at just and reasonable
7 rates. This balancing is what we do every day and at the
8 end of the day, I need to make sure as I know you do in your
9 role, to make sure that when you make decisions at the end
10 of the day, the impact, the rate impact is what has been
11 taken into account.

12 If for no other reason, at least for me,
13 oftentimes when there is a rate impact, I'm the first person
14 that gets the phone call from the rate payer or in many
15 occasions from political figures that are calling on behalf
16 of their constituents. So at the end of any process, I need
17 to make sure that the decisions were made with consideration
18 of cost because it will impact rates and therefore I need to
19 be assured that those decisions were made and that the cost
20 was appropriate or just and reasonable.

21 Now I come from a marketplace that's a
22 deregulated marketplace so we don't have a direct role over
23 transmission or generation, but I still have a very
24 important role and our Board is very active in these issues.
25 Whether it's focusing on an oversight of the activities of

1 the planning, of the delivery of projects, the engineering,
2 we need to know that they are being delivered in an
3 appropriate manner. That's the role where I come in, in my
4 Commission that I need to do.

5 I'm concerned from matters that we're involved in
6 that cost is not appropriately focused upon, not just in any
7 particular procedure. In fact, the term cost containment as
8 I think you already know and most acknowledge is really a
9 tactic for procedure. For my mind, what really needs to be
10 done and maybe to refer to what Craig Glazer said, the prize
11 here is to make sure that there is a sense of
12 cost-consciousness throughout the process. Not just
13 cost-containment in the procedures although that is a very
14 important and I think required element.

15 So that sense of cost-consciousness is what
16 drives me and what I think should drive the process for
17 everyone, the developers, the RTOs, the companies that are
18 involved and us as regulators. Now the methods that we can
19 employ include elements and procedures that bring about
20 effective competition that keep cost-consciousness in check
21 and contain costs. So I know you want some specific
22 suggestions and I have a few from both my role as the
23 President of the Board of Public Utilities but my years
24 having worked in engineering, working with companies that
25 were developers and the construction industry.

1 So procedures such as having RFPs, they need to
2 be specific and have informed cost estimates, not just what
3 are referred to in the industry as "office estimates". The
4 scope of work should be drafted in a manner that invites
5 responses with engineering and permitting details and
6 calculations. The scope of work should also provide the
7 latitude to determine the scope of the project and then a
8 selection criteria could be drafted.

9 Some RTOs have even looked at the use of a
10 two-step process for the planning and scoping of projects
11 and then the delivery of the projects. I've also seen that
12 some of the RTOs suggest that they don't have sufficient
13 resources to provide the technical expertise. In my mind,
14 they could and should whether it be on staff or to have
15 third party consultants as consultants or an extension staff
16 as the engineers would refer.

17 There are a number of procedures that we can use
18 to continue to ensure that cost consciousness is in place
19 across the board and it meets the spirit of Order One
20 Thousand as FERC had hoped. Thank you.

21 MS. SEGNER: Chairman and Commissioners, LS Power
22 appreciates the opportunity to participate on the panel and
23 provide our views on the state of the Order One Thousand
24 process. LS Power actively participates in planning
25 processes all over the United States and we are involved in

1 the majority if not all of the regions across the United
2 States. In implementing Order One Thousand as you know, the
3 Commission allowed each region to devise its own competitive
4 solicitation process and as you scan the country, the
5 country has many different competitive models, ranging from
6 a competitive process in California to a sponsorship model
7 in New England and PJM in New York and a hybrid model in SPP
8 which has bonus points for sponsoring a project, and a put
9 competitive process in California in MISO.

10 There's been a learning curve for sure in each of
11 the different regions to be expected but one thing is very
12 clear from the last few years of experience and the one
13 thing that is very clear is that the qualification process
14 in each of the regions has been a success and what you had
15 is in each of the regions, highly qualified participants.
16 Formidable energy companies stand ready to compete for
17 projects. Pre Order One Thousand there were fears that "two
18 men and a laptop" would line up and try to compete for
19 complex transmission projects that they were not qualified
20 for but the qualification process in Order One Thousand has
21 been a striking and significant success in that formidable
22 energy companies stand ready in each of the regions and they
23 are qualified and ready to compete.

24 With this foundation of qualification, because
25 this is what you have in each region of the country, this is

1 now the appropriate point to address the issue of
2 cost-containment because the backdrop of this discussion is
3 that in each of these regions you have highly qualified
4 entities ready to compete for the customers and for the rate
5 payers and for the various projects. That is the point in
6 the backdrop that we now stand in the context of this
7 discussion.

8 There are many critics as you know who will say
9 that the Commission's policies of the last two years have
10 not worked. We would say there haven't been enough projects
11 that have gone out for bid in the various regions. Most of
12 the regions across the country whether it's ISO New England,
13 MISO NTTG, New York, West Connect and others have yet to
14 complete their first Order One Thousand process. In stark
15 contrast in PJM in California there have been many windows
16 and they are rapidly and have done very well in implementing
17 Order One Thousand.

18 So one action item is to address most of all the
19 various and stark differences across the country and how
20 Order One Thousand has been implemented and the number of
21 proposal windows. So first of all you have qualified
22 entities across the country that are ready to compete, in
23 our view not enough competitive windows in many parts of the
24 country and PJM in California have done, in our view, very
25 well and where now the cost-containment issue is front and

1 center of those regions because there are so many windows.

2 We would say a starting point for addressing
3 cost-containment issues and cost-containment projects is
4 looking at market efficiency projects in terms of getting
5 the policy right there. The very basis of a market
6 efficiency project is to relieve economic congestion and so
7 in terms of where cost and cost caps should be significantly
8 weighted in our view it clearly should be significantly
9 focused and significantly weighted in markedly efficiency
10 projects because that is the very definition of why a market
11 efficiency project exists.

12 We definitely have seen some examples in some of
13 the regions today where cost-containment and cost caps have
14 been proposed in various regions, associated with market
15 efficiency projects and in our view there's been inadequate
16 focus on market efficiency and cost caps. Lastly, we would
17 say that we do not support at this juncture efforts to
18 standardize cost-containment and innovative rate structures.
19 We think that cost-containment proposals will vary from
20 region to region and from project to project because
21 different projects truly are different and there's different
22 types of project development risk.

23 We would be very cautious and weary of policies
24 that would standardize cost caps across the board for this
25 regard. That in turn though we would say that over time

1 these issues will be addressed in terms of different forms
2 of cost-caps. The Commission at this juncture should not
3 standardize the types of proposals that entities can
4 propose. The market is still evolving.

5 However in closing, we would say that once these
6 terms and conditions are finalized and the various cost caps
7 are proposed and the terms and conditions are finalized with
8 the electing condition, the binding terms and conditions in
9 a cost cap absolutely should be an integral part of entity's
10 ultimate work/rate case as well as the designated entity
11 agreement or ultimate awarding agreement as well. We
12 understand that cost caps are absolutely legally binding
13 terms and conditions, thank you.

14 MR. SHEEHAN: Good afternoon. On behalf of
15 NextEra Energy transmission, I thank the Commission for the
16 opportunity to speak before you here today and participate
17 on this panel. The Commission eliminated the right of first
18 refusals from tariffs so that transmission competition would
19 lead to customer benefits including greater innovation and
20 cost savings. Cost caps benefit customers through cost
21 savings and certainty. Shifting the risk of cost overruns
22 from customers to the developers equity shareholders.

23 In KSO and PJM, NextEra Energy Transmission and
24 other non-incumbent developers have been selected in the
25 competitive process in large part because of the

1 cost-containment commitments in their bids. In implementing
2 Order One Thousand, a few RTOs recognize the significance of
3 cost containment in evaluating bids by including language in
4 their tariffs and pro forma developer agreements with
5 respect to the use of cost caps by developers. But overall
6 in our experience most RTOs do not give sufficient weight to
7 cost containment in these evaluations commensurate with the
8 value it provides to customers.

9 NET recommends that RTOs use a transparent
10 scoring system based on benefits provided in each proposal
11 that reflect the adequate weighting for cost factors. Such
12 scoring systems and methodologies are needed so that RTOs
13 will fairly evaluate the relative benefits of competing
14 proposals and meet the objectives of Order One Thousand.

15 Finally, NextEra Energy Transmission believes
16 that RTOs should not define in advance which categories of
17 cost are covered or not covered by binding cost-contained
18 bids. Consistent with Order One Thousand's goals of
19 fostering innovation in the transmission, development
20 sector, bidders should be allowed to submit cost-contained
21 bids reflecting the risk tolerance in various elements of
22 transmission development. I thank you for allowing me to
23 participate today and I welcome the further discussion on
24 this topic.

25 MR. SMYTH: On behalf of Transource Energy,

1 American Electric Power and Great Plains Energy, I'd like to
2 thank the commission for allowing me to be here to speak
3 today. Transcourse was formed in 2012 specifically to
4 compete for projects in the Order One Thousand space and
5 we've been active in virtually all of the planning regions
6 in the U.S. as well as the competitive processes in Alberta,
7 Canada as well so we bring to the table some real world
8 experience and hope to share that with you today.

9 We commend the Commission for implementing
10 competitive developer reforms via the Order One Thousand
11 rule-making. Competition for transmission development
12 opportunities can and will result in significant benefits to
13 customers. As an active, non-incumbent participant in the
14 post Order One Thousand competitive solicitation process, we
15 have gained perspective on which competitive dynamics are
16 likely to maximize consumer benefits in a manner that's
17 workable for developers, planning regions and the
18 Commission.

19 Based upon our broad real-world experience to
20 date, customer benefits are maximized to the sponsorship
21 model such as that employed by PJM as compared to a
22 competitive solicitation model for financial bidding. By
23 encouraging developers to tap into their design experience
24 and ingenuity to craft innovative solutions to an identified
25 problem, the sponsorship model fosters a more creative

1 competitive environment that will produce and efficient 21st
2 century transmission grid.

3 While cost estimates and cost-containment are
4 among the many factors considered in the sponsorship model,
5 featuring cost containment as the deciding factor where
6 project construction begins two to three years from project
7 award creates an environment where little to no
8 consideration of the increased risk of project execution is
9 given. The savings from picking the right project under the
10 sponsorship model are much larger than the potential savings
11 from picking the cheapest developer for a single project and
12 a bid-based competitive model.

13 While cost containment or fixed revenue
14 requirements bids would seem to benefit consumers, each
15 approach is fraught with challenging issues that may
16 actually ultimately increase cost to customers. For
17 example, the level of risk undertaken by developers with
18 state processes and permitting challenges can create
19 instances where customers may be worse off if projects are
20 abandoned or otherwise financially injured. In addition,
21 Order One Thousand did not change the regulated nature of
22 transmission as it costs the service business.

23 Cost-containment still utilizes the cost of
24 service framework where developers are able to recover the
25 lower of their capped expenditure or their actual cost.

1 Cost containment ultimately shifts risks to investors and
2 will ultimately result in driving up both the cost of equity
3 and the cost of debt for projects. It's not clear whether
4 consumers are left in a better position as a result thereof.

5 Further, fixed revenue requirement bidding is
6 market-based and does not result in a cost-based rate and
7 it's not clear that the level of competition is sufficient
8 to produce just and reasonable rates. It is also unclear
9 how a fixed revenue requirement bid would impact the rights
10 of developers and customers under Sections 205 and 206 of
11 the Federal Power Act. Voluntary cost containment as
12 opposed to revenue requirement bidding seems much more
13 manageable within the current competitive frameworks
14 approved by the Commission under Order One Thousand.

15 In short, we believe that the sponsorship model
16 offers the best opportunity to harness the benefits of
17 competition for consumers. While cost containment may play
18 a role in parallel with a sponsorship model, it should be
19 among the many factors considered by the planning region.
20 Regions should account for the limitations associated with
21 both cost estimates and cost containment commitments made by
22 developers for projects that are inherently 2-3 years from
23 actual construction.

24 The Commission should continue to take a balanced
25 and long-term view of these markets and continue to explore

1 these and other issues raised by competitive transmission
2 development efforts and adapt in its rate incentive policies
3 to this new competitive model with guidance and feedback
4 from stakeholders. Thank you.

5 MR. WILLIAMS: Mr. Chairman, Commissioners and
6 staff, I am the GridLiance Senior Vice President of
7 Engineering and operations and their chief operating
8 officer. I want to thank you for the opportunity to provide
9 GridLiance's views on Order One Thousand competitive
10 transmission development processes based on our experience
11 as an independent transmission-only company focused on
12 addressing public powers and cooperative powers and desire
13 for RTO investment opportunities.

14 Our operating companies and partners intend to
15 compete to construct transmission projects in SPP, MISO and
16 PJM. The goal of competitive transmission development
17 processes should be to maximize the value to rate-bearers.
18 To reach that goal this process, like any procurement
19 process, must rely upon transparency, integrity and a
20 practical and reasonable cost of participation. Companies
21 that participate in the process must be confident that they
22 will be treated fairly when bidding on a project.

23 By promoting competition through transparent
24 solicitations, evaluations and award decisions, RTOs will
25 build trust with stakeholders and develop healthy developer

1 pools that perpetuate the cycle of robust competition that
2 delivers the best value to rate-bearers. Recent RTO RFPs
3 have demonstrated competitive transmission processes have
4 the potential to provide tremendous value to rate-bearers.
5 However, in our experience current RTO rules allow the RTOs
6 too much arbitrary indiscretion in regard to qualified low
7 bids.

8 In select higher-cost options with no
9 corresponding benefits to rate-bearers. These and other
10 barriers to full participation in the RTO competitive
11 processes need to be eliminated, otherwise competitive
12 entrants like GridLiance will likely limit their
13 participation to the RTORPs where they will be treated
14 fairly. In reasons where competitive RFP processes are used
15 we would submit the following procedural reforms are needed
16 to ensure maximum rate-bearer benefit.

17 First, cost and associated binding cost
18 containment mechanism should be a deciding factor in the bid
19 evaluation processes. Second, RFPs should incorporate as
20 much as possible in the prequalification processes and limit
21 the bid itself to actual engineering design and cost aspects
22 of the projects such as the bid proposals are scored only on
23 project-specific criteria that was not addressed in the
24 pre-qualification process. Third, we believe the Commission
25 should issue a policy statement adopting a set of uniform

1 best-practices for RTO competitive solicitation processes
2 for determining whether there can be a rebuttal presumption
3 that the rate outcomes from a given RTO solicitation are
4 just and reasonable.

5 A detailed description of our proposal for
6 uniform best practices included in our preconference
7 comments and just to close I'd like to remind the folks on
8 the Panel here that our view is Order One Thousand was
9 really about just and reasonable rates. So cost really does
10 matter so having cost-containment or looking at cost as a
11 major factor is important in determining whether or not we
12 are providing just and reasonable service to consumers.
13 That concludes my remarks and I look forward to our
14 discussion.

15 CHAIRMAN BAY: Thank you. I want to thank all of
16 our panelists for your comments today. I think a key
17 question for all of us is regarding cost containment
18 provisions is how some regions can perform an
19 apples-to-apples comparison of proposals given that some
20 will contain cost-containment provisions and others will not
21 and even those proposals that contain cost-caps may vary in
22 terms of what's included and what's not included. So, and
23 this is really reflecting a comment that Tony and Collette
24 made, but is there a need for more structure or uniformity
25 with respect to cost containment and I know some of you

1 already weighed in on that regard but I'd be interested in
2 hearing your views with respect to that question.

3 MR. GLAZER: Mr. Chairman, I think you put your
4 finger on it. It is a very difficult area for us but the
5 bigger problem than just the doing the comparison is to me
6 there is a giant "who decides" question and I really feel
7 that cost caps in many cases have a regulatory element to
8 them. At the end of the day, that choosing is really
9 setting rates, effectively setting what we are saying is an
10 acceptable level of cost that the customer ought to pay.

11 Yes, there could be a process afterwards and then
12 a rate case but you know, effectively you are setting RTO in
13 discussion or in a bid is setting rates, that's a funny
14 place for us to be and I think it's not just a question of
15 difficulty but a question of what's the right role for us
16 versus a regulatory body to be honest. Some cases it's
17 easy; cost caps are not the factor but in those cases where
18 it's close then effectively we're setting rates at that
19 point and that's what makes us nervous. I think on those we
20 suggested a process to be able to come to you all to sort of
21 certify that question to you all if we've got two competing
22 proposals, if they're not close -- an easier situation.

23 CHAIRMAN BAY: Thank you Craig. Anyone else?

24 MR. IVANCOVICH: For starters, I think you know,
25 in the California ISO the days of evaluating proposals with

1 no cost caps versus those with cost caps is probably over.
2 In our last competitive solicitation every project sponsor
3 proposed a cost cap and the one before that all but one
4 proposed a cost cap and the one that didn't was really not
5 cost competitive. We work very closely with an expert
6 consulting firm to evaluate cost. We basically put together
7 an illustrative revenue requirements for all of the project
8 sponsors, taking into account what's capped, what's not
9 capped.

10 We run a multitude of scenarios and sensitivity
11 studies to assess the various risks and differences. At the
12 end of the day they say you can't really just look at
13 simplistic formulas, cap levels very dramatically. The
14 number of outs number dramatically and the scope of those
15 outs, it's not just we have an out for force majeure. We've
16 seen outs that include every cost beyond our control. We
17 have an out for that.

18 Now, obviously that begs the question, what's the
19 value of that cost cap? But it really runs the whole gamut.
20 Folks even condition their outs. There's also a big
21 difference in the number of items being capped. I mean,
22 it's not just construction costs. It could be return on
23 equity, it could be debt, it could be O&M for a limited
24 term. It may or may not include inflation. It may or may
25 not include AFUDC. Another factor I think you've got to

1 look at I think is the sort of inherent cost characteristics
2 of projects. They are not always the same.

3 Sometimes folks will have existing right-of-way
4 that they could use. Others may have existing power
5 positions that they could use. Others may be proposing to
6 underground a proposal as opposed to overheading it which
7 could increase costs. I think the message I want to convey
8 is that there really is no simple answer to doing this. It
9 depends on the specific facts of the case and really getting
10 down there and evaluating the differences between sponsors,
11 what's the relevance in those differences, what's the
12 significance and how much risk do they present?

13 MS. SEGNER: Two points. First of all, our view
14 would be that yes, the regions need to develop the adequate
15 capabilities to evaluate the cost cap proposals whether or
16 not it's the financial, the legal, the resources to evaluate
17 the capabilities whether it's in house or externally. The
18 reason these capabilities need to be developed and why it's
19 important, it's because at the end of the day the cost caps
20 is what could bring significant consumer value and part of
21 the reason that the Rover was removed in the first place in
22 Order One Thousand was that there could be value to the
23 consumers at just and reasonable rates. So building the
24 capabilities, yes -- it will take some time. It will take
25 some effort by the regions but in our view it's a very

1 worthwhile function because building the capabilities
2 relating to cost caps is what can bring this ratepayer
3 savings home.

4 Secondly I would say that there are some good
5 examples from Nesco in their filed comments as it related to
6 cost caps. Nesco referred to their recent clean energy RFP
7 that was issued in New England and in that clean energy RFP
8 they stated that proposals including cost containment
9 features such as fixed price components, cost overruns or
10 other cost bandwidths to limit customer risk will be viewed
11 more favorably. Essentially they use that as a general
12 policy statement as folks could take into account when they
13 were putting their bids together in the Clean Energy RFP and
14 there could be some very good policy statement precedence
15 that the Commission should also consider in terms of what
16 Nesco has proposed in New England. Thank you.

17 CHAIRMAN BAY: Thank you.

18 ANTONIO SMYTH: Yes, thank you. I thought it was
19 maybe a good time to talk about some of the real world
20 experience that we've had when we talk to difference vendors
21 and contractors when we go to negotiate and put forth a cost
22 cap. We've observed a very inefficient distribution of
23 risks that have ultimately driven the cost of projects up.
24 So for example we will encounter in discussions with
25 contractors that they will not want to take the rock risk on

1 foundations when they are drilling and that will result
2 ultimately because since we don't have cost assistance, we
3 don't have site control. That will result in a contractor
4 pricing in 100 percent of rock in the foundations when in
5 reality that's probably not realistic when you go to build
6 the project.

7 But again, they'll come back to us and say "well,
8 you don't have the route so we can't, you know tell you that
9 we're going to be safe on this. So we've actually seen some
10 inefficiencies in creating these cost caps. Before we got
11 to the point where we talk about these and you know
12 implement them in the regions. I think we need to have the
13 conversation about whether or not they're having the desired
14 effect one layer removed from the acheoprocesses.

15 CHAIRMAN BAY: Thank you. Kim.

16 MS. HANEMANN: You can see right now most
17 developers basically are feeling that they have to put in
18 cost caps to have their proposal to be in the mix for
19 consideration. You know, one of the things that I've said
20 is there shouldn't be an overreliance on cost caps. You
21 have to really analyze the project, the value of the
22 project, the developer and the competencies. It's very
23 complicated. Can you evaluate them? Are they economically
24 reasonable, commercially reasonable and enforceable.

25 Like Antonio said, I equate it to my commercial

1 contracts with my contractors building these projects and
2 you find out how good your contract is, how good your caps
3 are is when you get into a dispute time with them and that's
4 where it has to carry through. I make the same parallels
5 with cost caps so people have to understand the commercial
6 basis of it and how dispute resolution would occur as well.

7 CHAIRMAN BAY: Thank you. Rich.

8 MR. MROZ: Let me just make an observation and it
9 reinforces something that I mentioned in my opening
10 statement I think it's coming through in some of the
11 comments that were just made. Talking about several
12 different issues all at one time. The cost containment cost
13 and a cost cap ultimately is something that probably needs
14 to be considered at the end of the process for a project is
15 the scope. What is the scope? What is the solution? And
16 often, there are several different solutions that are being
17 proposed.

18 I think it's incumbent upon a process to identify
19 the scope first and then that leads to at a later point in
20 time the issues in and around what the cost is to deliver
21 the particular solution. That's something that can get lost
22 in the process if we're just talking about any cost cap and
23 not determining what the scope of the project is from the
24 get-go.

25 CHAIRMAN BAY: Thank you. So one other question

1 I have is, oh, I'm sorry. Noman?

2 MR. WILLIAMS: Yes, I think a couple thoughts,
3 cost cap, cost-containment really is whose going to take the
4 risk you know, in an uncapped or in a standard process the
5 ratepayer takes the risk and then the company has to
6 determine whether that was just and reasonable. We do a
7 cost cap, cost-contained and the bidder or the builder is
8 taking the risk and there's lots of risks to building. I've
9 built lots of transmission over my career, lost of unknowns,
10 even when you know the route, even when you know who your
11 contractor is you have risks for various things. So if the
12 developer is willing to take that risk that brings value
13 back to the consumer.

14 The other part, back to some of the comments I
15 made earlier, looking for transparency in the bid process
16 that we want to know how things are going to be treated. I
17 think it's only fair that the RTOs can expect that when
18 there is a cost-contained bid, cost cap bid that it is very
19 transparent how that's applied, how it's measured and then
20 how it's enforced and that the bidder should be willing to
21 live by their containment language.

22 So it becomes a contract, so they're taking the
23 risk and what risks they're not taking or they're laying off
24 would be very clearly defined in the process and that way
25 the RTO could determine with the various different ways

1 people are going to contain our cost cap bids, how those
2 will lay together so I think it's coming on us when we say
3 we want those opportunities and we don't want to have
4 structure that we also explain how those cost-contained cost
5 cap bids are to be applied. Thank you.

6 CHAIRMAN BAY: So I want to return to a comment
7 that Craig made where you raised the risk of litigation.
8 Certainly from my perspective I would not want Order One
9 Thousand to create a cottage industry of litigation. I
10 think that would not be a very good thing. So I'm curious
11 to hear whether or not there is anything that FERC could be
12 doing that could minimize the risk of collateral litigation.

13 MR. GLAZER: Great question Mr. Chairman. Here's
14 one think that I'm concerned about is Order One Thousand is
15 driving transparency, so it's driving us to put more and
16 more things in our tariff. I get that. I understand the
17 rationale for it. the problem is back to my P in planning,
18 the problem is if you document every last aspect of how you
19 make discretionary decisions, given the fact that this
20 Commission's standard of review when it looks at a complaint
21 is not "was the end result just as reasonable" was "did you
22 follow your tariff?"

23 Well the tariff has such a level of specificity,
24 it's a trip point. It's a trip point for the planners, it's
25 a point where the planners almost at some point are going to

1 feel they have to have their lawyer next to them before they
2 can make any decision and planning is as much an art as a
3 science. So I think I would suggest one place perhaps is we
4 all have to sort of step back when we are trying to find the
5 balance between transparency and specificity in the tariff
6 with not so much specificity that we've taken away the
7 judgment and discretion part of planning.

8 You should be able to look at whatever we do, the
9 term if it was just and reasonable but we document every
10 last jot and tiddle of the process, that to me is creating
11 the gotchas that we're all going to have to deal with.
12 That's one suggestion.

13 MR. IVANKOVICH: Again the ISO has won nine
14 competitive solicitations. We are very fortunate that we've
15 not had any complaints filed against us. It's not that we
16 don't think about that but at one point I want to get across
17 this balancing the risk of litigation with embedding in your
18 tariff rules that are going to lead to wrong decisions, you
19 know a wrong decision that can be corrected by litigation is
20 much better than a wrong decision that's embedded by in your
21 tariff and can't be resolved by litigation because it's the
22 final rate and again we think you know just echoing Craig,
23 there needs to be a careful balance here and at the end of
24 the day I think it's the planning regions like the ISO, like
25 PJM that have to go out and instill confidence in the

1 process and be fully transparent, fully explain what we're
2 doing and why and I think at the end of the day that will
3 help cut down the litigation risk.

4 CHAIRMAN BAY: Thank you. Anyone else? Sharon?

5 MS. SEGNER: I think it's important for the
6 Commission to consider as there's a discussion of litigation
7 in terms of what really has happened over the last few years
8 related to litigation. Yes, there was a complaint filed in
9 PJM but the Commission dealt with it in three months.
10 There's been very limited litigation and complaints filed to
11 date on Order One Thousand processes/projects and yes
12 there's been a lot going on related to the compliance
13 filings on Order One Thousand but that's a natural part of
14 tariff formation. But if you actually look at had there
15 been a lot of complaints related to Order One Thousand
16 projects, I think that you would see that's a very short
17 list and the complaints were dealt with in three months.

18 CHAIRMAN BAY: Yes, Michael.

19 MR. SHEEHAN: I would say that it comments right
20 on litigation but comments or controversy kind of become
21 apparent in two different phases so in the competitive
22 bidding model stakeholders inject and have comments about
23 what is the project that should be built throughout the
24 transparent stakeholder planning process. Then it goes out
25 to bit and we've seen very few, no litigation at the end of

1 when the California ISO is selected an improved project
2 sponsor at the end of the process. People can be upset about
3 not being picked but the report is a transparent reflection
4 of a comparative analysis by the California ISO.

5 That's not to say that all bidders said the
6 project that got awarded should have been the project that's
7 going to get built. As opposed to in the sponsorship model,
8 we see the complaints happen in the selection process
9 because it's which project should have been picked and then
10 why was it picked and there's not transparency in that
11 process so we look for instance, it's a two-pronged approach
12 on the sponsorship model. It's the project and also the
13 project sponsor as opposed to any competitive bidding model,
14 it's more the project.

15 CHAIRMAN BAY: Alright, thank you. Kim?

16 MS. HANEMANN: Just a real quick. I bring it
17 back to the goal of FERC One Thousand is to get transmission
18 built. I've built hundreds of miles of transmission in the
19 most densely populated state in the country and it's not an
20 easy business. It's about getting it built, not about
21 litigation. It should be transparency of rules and people
22 know how you're going to evaluate the process going through
23 and I think that will, if there's transparency and clear
24 understanding of that RFP process and the evaluation
25 process, then I think that will help in terms of reducing

1 litigation in the future.

2 CHAIRMAN BAY: Alright. Thank you. Cheryl?

3 COMMISSIONER LEFLEUR: Where to start. I think
4 I'm going to start with the two different models of
5 competitive transmission processes that we've seen. It's
6 striking I think that the two regions, really the only two
7 regions that have done a lot of successful windows so far;
8 one has a sponsorship model -- PJM and one has the
9 competitive bidding model. As I see with the sponsorship
10 model certainly allows a more creativity and a broader range
11 of proposals but perhaps a tougher selection process and
12 harder to easily integrate some of these cost guarantees and
13 so forth that we've talked about.

14 The competitive bidding is more structured. It's
15 also very similar I think to what Alberta has done, more
16 structured and easier to compare but perhaps loses some of
17 that creativity. I'm interested, I think only one person
18 really made a clear statement. Folks think that because we
19 have all the other regions that haven't done this yet that
20 might be looking at these examples, as we weight theses pros
21 and cons, is one model better for customers in terms of
22 getting. The goal is to get the best transmission project,
23 the most cost effective that can be built I guess I'd start
24 with the developers that worked in both systems but I'm
25 interested in anyone's views.

1 MR. WILLIAMS: Well, I think really to get the
2 innovation I think sponsorship model probably drives more
3 innovation because you end up having the idea compete and
4 then price is part of that process or cost is part of that
5 process. so ultimately to drive the you know, what I would
6 say the innovation or creative projects I think you see them
7 come out of the sponsorship model a lot faster out of maybe
8 you do the competitive bid model. I think both of them can
9 get there but from the standpoint of driving the innovation
10 I think the sponsorship model is probably there.

11 They both have their pros and cons. You can put
12 cost-containment on in a sponsorship model you run the risk
13 there of you may not, the developer may not be in a position
14 to want to take as much risk there because you're still
15 dealing with a lot more unknowns than you would be with a
16 defined project in the competitive bid side of the model.
17 So pros and cons of both, I think both can work but I think
18 you're seeing a lot more success currently from a
19 sponsorship model because it does drive a little bit more
20 innovation at the front end and it's a project that is
21 decided wins the day rather than the price and so the price
22 or the competitive price.

23 MR. SMYTH: Yes. Thank you. We have actively
24 participated in both models like I stated and I think we've
25 seen evidence of the sponsorship model being much more

1 powerful with respect to consumer savings as compared to the
2 bid-based model. In a bid-based model, I think you're
3 playing on the edges with respect to what you can do versus
4 another competitor.

5 There are only so many constructors out there.
6 There are only so many suppliers out there with equipment.
7 There is only so far you can go on an ROE so you're really
8 only playing on the edges with respect to saving to
9 customers. I think that the creativity that the sponsorship
10 model puts forth really results in some powerful savings.
11 So I don't think it's cost.

12 MR. IVANOVICH: I think California would argue
13 that it's a very flawed assumption that the sponsorship
14 model automatically produces greater savings than the
15 competitive bidding model. I'm sure our transmission
16 planners would agree with me. Our tariff requires and Order
17 One Thousand requires that every planning region look at the
18 more efficient or cost effective proposal and identify those
19 solutions and our planners do that before the competitor's
20 solicitation process.

21 They would with stakeholders, they evaluate a
22 variety of proposals and not just from developers but from
23 various state agencies, municipal utilities, consumer groups
24 are all in there, arguing on what we should choose as the
25 model to be bid out for competitive solicitation. I would

1 argue that our model absolutely provides more benefits
2 because we are choosing the most cost-effective solutions in
3 the planning stage and then we are bidding out that more
4 cost-effective solution through a competitive solicitation
5 to get those benefits on the edge.

6 We've had independents. LS Power is one who has
7 come in with creative ideas during the planning stage and
8 one of those projects, the Harry Allen El Dorado Project was
9 bid out for competitive solicitation so I don't think we can
10 automatically say that just because you have the competitive
11 bidding model that you're not bringing benefits to
12 ratepayers.

13 COMMISSIONER LEFLEUR: So just to follow up, are
14 we miscategorizing? Do you think you have something of a
15 sponsorship consideration and then followed by the
16 competitive bidding? I mean are these not, they're not
17 hermetically sealed.

18 MR. IVANOVICH: No we basically in the planning
19 process it's you know, a collaborative effort between ISOS
20 stakeholders and the ISO to basically sit and decide what we
21 think is the best solution that ought to be bid out and if
22 anybody thinks that you know somebody in California where
23 there's a strong focus on cost that we can choose a high
24 cost alternative and then think that somebody's going to be
25 able to go to the California public Utilities Commission and

1 get that cited, that's just an incorrect assumption. We
2 need to look at what's the most cost-effective proposal in
3 the beginning of the process and redo that.

4 MS. SEGNER: We would say a couple of things.
5 First of all, as a general preference, LS Power prefers a
6 sponsorship model. However, we see merits in the California
7 model and we also see that the California model works and
8 that there is room in Order One Thousand for regional
9 differences. What I would say characterizes is there are
10 actually three models nationwide. One is there's a
11 sponsorship model. Second, there is the competition model
12 in California, which in our view works as well and thirdly,
13 there's the competition model with a defined point system,
14 which is different than California.

15 Essentially MISO and SPP have competition model
16 with a defined point system tied to various project
17 characteristics which is different than California. So I
18 would respectfully say there's three different models and in
19 our view the model that is most challenging is actually the
20 competition with the defined point system because right now
21 the point system in MISO and SPP does not majority weight
22 cost and so there is not in terms of in the selection
23 process.

24 So if someone comes in with a cost cap, even for
25 a market efficiency project in MISO or SPP, essentially the

1 competition model doesn't reward the cost-containment
2 innovation in SPP and MISO. Clearly its new insurance and
3 others have won projects MPJM in California. The model MPJM
4 in California is producing cost-containment proposals. The
5 challenge is in the SPP and MISO models if anyone ever
6 proposes a cost cap on whether or not there is really any
7 credit for it in the model. That's where the tariff changes
8 need to occur in those two markets.

9 MR. SHEEHAN: So our position would be every
10 region, you know every project, every developer is unique.
11 It's not a one-size-fit all approach to transmission
12 planning that based on densely populated areas, rule areas,
13 mountainous, desert -- transmission planning should be a
14 one-size-fits all approach whether it be two big pictures,
15 competitive bidding model or sponsorship model. It needs to
16 be, every region needs to figure out its best planning
17 process.

18 I think the real moral of this story is here,
19 given if you go to the three miles, the hybrid that Sharon
20 mentioned, every single project; there is an example of a
21 project in every single model. That's delivered savings for
22 customers compared to what the estimate was and what the
23 binding cost has been. So it's delivering value for
24 customers. It might be a little messy in certain regions
25 but it's working for the benefit of customers.

1

2 MS. HANEMANN: Just to follow up on Sharon's
3 point. She described the three models. I will give you a
4 little different view of the MISO model versus how Sharon
5 described it. Yes, the MISO model uses a point system where
6 they have part of the points are the cost and the cost cap.
7 I would say just as important as well is the developer's
8 ability to operate and maintain those facilities for many,
9 many years to come. The rigor and the design, the
10 contracts, the assurance of delivery, the team that is going
11 to deliver the project and build it and get it into service,
12 so to me those are all very important variables when you're
13 choosing somebody to build a transmission line.

14 COMMISSIONER LEFLEUR: Do you think there's a lot
15 of unqualified bidders out there? That seems to be the kind
16 of under -- I mean, because there's some folks who haven't
17 done much of this and as I've said before building
18 transmission is not easy. It's fun, but it's not easy. I
19 want to probe in a different dimension and that's kind of
20 standardization versus flexibility. We did let a thousand
21 flowers bloom in the way Order One Thousand was written and
22 in the compliance filings and I heard at least 3 or 4 people
23 say don't standardize, it's not one size fits all. Yet,
24 almost every single person made a suggestion that that
25 suggestion would require some level of policy statement or

1 standardization or best practice, you know, require
2 something on market efficiency. Have a transparent scoring
3 system. President Rose talked about standardizing certain
4 aspects of the process and there were others.

5 So do you think we should put out some kind of
6 policy statement standardizing something or pushing in some
7 directions or just let this flow a little longer? Nobody
8 ever wants standardization for the things they like but yet
9 almost every change recommendation seemed to point that way.

10 MR. GLAZER: The short answer is yes. I think
11 standardizations of buzz word, people will automatically say
12 no, one size fits all. We all know the sort of sound bites
13 but there are certain things that I think if we don't get
14 our handle on we're going to crash and burn. Some of them
15 for example is this question, it's not should there be cost
16 caps. What about revenue requirement caps versus
17 construction caps?

18 When you're dealing with a revenue requirement
19 cap, the RTO is going to be doing this which we're trying to
20 suggest we need to share this more but if we're going to be
21 doing this, that's really difficult because then we are
22 prognosticating on what kind of ROE, what kind of capital
23 structure. Comparing an entity A that might have a cost cap
24 with entity B that might not. Over the lifecycle of the
25 transmission line, which is cheaper? That's a lot of

1 assumptions about frankly what this Commission will do both
2 when it gets the case and in the future so I think again
3 sort of respecting our own missions and expertise, I would
4 ask that you would clarify that that's in your lane.

5 We don't need us necessarily to be in that lane.
6 It's tough enough to compare construction cost. I think
7 that would be helpful and frankly reduce the litigation at
8 least on that point.

9 COMMISSIONER LEFLEUR: I have a feeling we might
10 go there in the next Panel on ratemaking. Anthony?

11 MR. IVANOVICH: Listening to this discussion I'm
12 reminded of the adage from the old Supreme Court case that
13 says cost allocation is not a matter for the slide rule. I
14 would pause at neither is competitive transmission
15 development. Again, we would urge against standardization.
16 I think folks ought to be proposed whatever cost containment
17 or other measures they feel are appropriate given the risks
18 of the particular project and we can address those.

19 I think we would prefer to have guidance from the
20 Commission on matters such as what do when somebody proposes
21 a fixed revenue requirement and you don't know whether the
22 Commission is going to accept that or not. You treat it as
23 a cap subject to Commission action or not.

24 I think another area where we could use guidance
25 is on rate of return. Somebody caps their return on equity,

1 another entity doesn't. Yes, there is a risk that the
2 person that didn't cap their return could have a higher, you
3 know down the road, have a higher return on the equity but
4 how realistic is that for an entity that has basically one
5 project. If they're setting on a 10 percent return on
6 equity a day is it possible that twenty years from now and
7 inflation goes up that they're going to be given a 15 or 16
8 percent return on equity? I think some guidance on how we
9 would handle that in the process.

10 I think a third item, where we would like
11 guidance. Our decisional reports, we would like to post the
12 cost containment measures of all of the project sponsors. I
13 know when Harry Allen solicitation for the first time we
14 posted the cost-containment measures of the winning sponsors
15 but I think that was extremely beneficial but we've gotten
16 push back on the folks that haven't won about publishing
17 that information. I think we would ask that we be able to
18 do that, that way we're being fully transparent in our
19 decisional process and everybody can see that and basically
20 everything is on the table.

21 MR. MROZ: Commissioner, I just want to clarify
22 in my comments that I would not want you to think that I
23 would suggest that my recommendation would be that you
24 mandate or that you standardize this process across all
25 regions. I think that conversation does point out, and I

1 think people realize there are regional differences.

2 Secondly, my comments should be taken as just
3 there should be guidance in the different phases of the
4 development of projects and that's really what my
5 perspective is because whether it's in the planning, whether
6 it's in the procurement and the delivery of the project. I
7 think they're all different and they have different elements
8 than you have heard today, different aspects of how
9 procedures can be implemented to contain cost in the
10 different phases.

11 That's really my perspective is that all along
12 the way of delivery of a project from the planning to the
13 ultimate delivery, those procedures can't support or
14 guidance can't be implemented.

15 MS. SEGNER: I'd suggest, we'd suggest four --
16 excuse me -- five main areas for policy guidance in this
17 area. First of all, a directive to the various regions that
18 cost caps has the potential to bring consumers benefits and
19 so therefore the regions are instructed to develop the
20 financial and legal capabilities in order to evaluate the
21 bids. Because this is an important potential part of
22 bringing value to the consumers.

23 Secondly, a clear directive to the developers
24 that cost caps are not PowerPoint slides and that the
25 developer should expect to see their cost containment

1 proposals in their ultimate rate case and in their agreement
2 with the RTO.

3 Thirdly, guidance -- specific guidance to the
4 regions on how to weigh the cost cap versus the cost
5 estimate when the regions are confronted with that decision.
6 That seems to be the challenge in terms of evaluating cost
7 estimates versus cost caps and so really providing more
8 guidance to the region specifically on that.

9 Fourthly, guidance and a directive following what
10 Nesco proposed with clean energy RFP related to market
11 efficiency projects, that when related to market efficiency
12 projects that cost caps when proposed should be decisive in
13 the selection process with market efficiency projects and
14 then fifthly in MISO and SPP, given the small waiting on
15 cost in those regions there should be further Commission
16 action related to whether or not costs are appropriately
17 weighted in those regions given the creativity and the
18 strong cost cap proposals that have been proposed.

19 COMMISSIONER LEFLEUR: thank you very much. I
20 might have another question if we loop around but I doubt
21 we'll have time to do that. Thank you.

22 CHAIRMAN BAY: Thank you Cheryl. Tony?

23 MR. CLARK: Thank you. So if Staff's goal was to
24 make sure that we had a variety of opinions on the Panel I
25 think they succeeded extraordinarily well. I've taken notes

1 and it sounds like Order One Thousand is either partially a
2 success, generally a failure, cost containment is either
3 important, unnecessary or unneeded, should be flexible or
4 very well-defined.

5 (Laughter)

6 Let me hearken back to some of the questions that
7 were teed up in the agenda that the Commission put out.
8 Although there's lots of disagreement that we've heard so
9 far today, one area that didn't seem to be any disagreement
10 at all is on this idea of transparency. However it plays
11 out in terms of whether it's the selection process or what
12 happens after the project is selected. There is a high
13 degree of transparency in how that happens so there is
14 general agreement on that.

15 While I'm very supportive of the comments of both
16 of our planning regions have made with regard to PJAM and
17 CAL so with regard to this concern about putting too much
18 into the tariff and being too descriptive and inviting
19 litigation. It's been something that I've been talking
20 about for a long time under Order One Thousand which is my
21 biggest concern is that the process becomes so overwhelming
22 that we're blocking otherwise needed transmission projects
23 that would just get built.

24 So I'm sensitive to that concern yet there must
25 be some sort of middle ground of balance that we can find

1 with regard to this issue of transparency. Because it does
2 seem that if there is going to be transparency then there
3 has to be rules of the road that everyone pretty well
4 understands and knows about going in. I'm wondering if
5 anyone has suggestions for us here today, certainly I'd
6 welcome them in follow up comments, with regard to whether
7 the regions should in advance define certain categories that
8 should, for example, be exempt from cost containment where
9 in looking at how developers structure their bids they
10 simply say, "Look, these sorts of things are not the kinds
11 of things that are going to be in cost-containment and can
12 those things be defined or set to something that we can't
13 define", number one.

14 Then number two, how proactive should the regions
15 be in or maybe they are already. If they are in advance
16 telling project developers here is how we are going to
17 handle situations where there are cost overruns and being
18 rather specific about how that's going to be handled in
19 terms of the contractual language. Craig?

20 MR. GLAZER: Thank you, Commissioner. I wanted
21 to first get to the 2nd question because up to this point we
22 haven't talked about enforcement and I'm glad you brought
23 that up because that's a really interesting issue and to me
24 back to this sort of difficult who decides question. I'll
25 give you the scenario. The project's moving forward so from

1 a construction viewpoint we're pleased.

2 As the RTO it's getting done. But the costs are
3 blooming. President Morrow is very upset. He sees these
4 costs ballooning. We transparently are having the developer
5 produce and present that information to stakeholders. He
6 sees that information. He's upset. Who does he call? Does
7 he call the RTO Board and say "oh, Mr. or Mrs. RTO Board you
8 need to do something about this." What do we do at that
9 point? Do I yank the project? Well from a reliability
10 point of view the project is getting done. I don't have
11 penalty authority over that. Do we do that, or does he file
12 a complaint here at FERC.

13 Again, this sort of muddy area when we get into
14 the cost caps been accepted, who enforces it? Who is the
15 contract with? Back to my point where I think you have to
16 sort of think down the road what is our turf and what is the
17 Commission's turf because I can see this enforcement issue
18 being very, very difficult so let me just stop there as one
19 I've been thinking a lot about and I think we all need to
20 think about who does he call and how does his redress get
21 resolved?

22 CHAIRMAN BAY: Sure, thanks.

23 MR. MROZ: I would just agree with the suggestion
24 that is a problem and certainly to not have a cost
25 containment construct somehow, somehow leads to those

1 problems. We would, the states would, I know my colleagues
2 in other states would be in the same position to raise
3 concerns and then we would be coming back here to FERC after
4 the fact to file a complaint and that is not a great place,
5 quite frankly for the industry, the RTOs or for us as state
6 commissions or for the FERC to be in.

7 MR. CLARK: Thanks. Kim?

8 MS. HANEMANN: There is a question about
9 enforceability and once again I make the parallel to
10 actually executing these projects and construction
11 contracts. It starts with you know, what's your RFP, what's
12 your scope of work and then what's your process through
13 construction where you're managing change? You're going to
14 have to figure all that out in terms of what is a change
15 notification form, who's monitoring it through construction
16 if somebody is using cost containment but it's very similar
17 to a process you would use, a construction execution
18 contract and how you're managing change.

19 I think you've got to walk the process all the
20 way through with rules that everybody understands around how
21 you've managed that and determine where your line is and
22 where FERC's line begins with that process.

23 MR. CLARK: Yes, and so the question becomes I
24 mean that's sort of contractually binding language. Is it
25 too late for the ISO or the planning region, whoever to

1 award that out after the project has been selected or does
2 that need to be done more transparently in advance through
3 the planning process?

4 MR. GLAZER: The way it worked in the artificial
5 island is that we entered into a designated entity agreement
6 which contained the cost cap language. We couldn't take it
7 just at exactly as it was filed because every project there
8 were little changes that were made. We put that in. This
9 part of the process I think actually worked. You had us
10 file that with you. There were protests -- and others to it
11 and then this Commission approved it.

12 So I view that as almost then at that point you
13 have put your stamp on it. The only oddity at that point is
14 it kind of shifted the burden of proof because my board had
15 already approved it. At that point if PSIG or somebody
16 wants to challenge it or a consumer advocate wants to
17 challenge it, it's almost a fate accompli, I'd have to go
18 back again. So but I think the process was a good one, I
19 just think the timing of it -- but is it worked out up
20 front? It is in the sense that we have to sign a contract.

21 Again, a little strange when I'm signing the
22 contract on behalf of the load for this thing which is
23 effectively what I'm doing with regard to the cost cap. But
24 that is how it works.

25 MR. CLARK: Anthony?

1 MR. IVANCOVICH: Yes, at the California ISO we
2 basically allow project sponsors to voluntarily propose
3 whatever cost containment measures they want. The measures
4 proposed by the winning project sponsor get reflected into
5 our approved project sponsor agreement. We're not
6 negotiating them after the fact. We're taking the binding
7 commitments they made, putting them into our contract.

8 I think it's that expectation that that contract
9 be enforced. If not, then the cost containment measures are
10 illusory, the basis for our decision basically gets undone.
11 I think it needs to be enforced or else it's going to
12 basically undermine the entire competitive solicitation
13 process if it's not.

14 MR. CLARK: We'll start at Noman and then just go
15 down the line from there. I'm not sure who had their tin
16 card up first.

17 MR. WILLIAMS: Thank you. I look at cost
18 containment would be a contract, just what Anthony said. I
19 mean it's a contract between the developer and the region to
20 build underneath whatever containment measures they have but
21 I also look at how do you manage the ones that aren't cost
22 contained. So you look at SPP. SPP has a bandwidth that
23 they look at and if their projects deviate outside that
24 bandwidth there is a review by the RTO and the Board has to
25 either approve or disapprove of everyone outside that

1 bandwidth.

2 So you almost have to balance between what normal
3 project cost measures are and make sure you are tracking and
4 not seeing a lot of overruns and then also look at how you
5 do cost contained. I think, again, cost-contained would be
6 contractually bound to do something unless there was an
7 agreement by all parties that there was something that
8 created a significant change in circumstance and the RTO
9 said we got to do this, we got to look at this a little bit
10 differently.

11 But again that changes the project potentially
12 that was awarded underneath that as opposed to projects that
13 get awarded under the normal process that have a bandwidth
14 and they just continue to escalate in cost and the only
15 thing you do is either deny it, remove the MTC and the SBP
16 vernacular or you just approve additional cost and it just
17 keeps on going. There is really no check and balance there
18 other than just saying "yup, we've got to build a project
19 and it's now fifty or sixty or seventy percent higher than
20 what we originally thought it was going to be."

21 So you can look at it either way but you need to
22 know up from exactly how you are going to measure those and
23 then what the stepping points are in the process of building
24 the project and if you get to a stop point or a view point
25 how you are going to be treated with that project and at

1 cost-contained, my view is it's contractually bound.

2 MR. CLARK: Tony?

3 MR. SMYTH: Yes, thank you. We support an
4 optional process but with clear rules regarding and
5 transparency regarding what is going to be scored and how.
6 We think that's very, very important. It think it's
7 difficult to standardize anything, even in the Alberta Model
8 where it's very, very rigid, there is still a multitude of
9 items that you can come back for and seek relief on after
10 the fact so I think that points the difficulty of building
11 when your infrastructure whereby you don't have site
12 control, whereby you don't know what's going to happen and
13 it's very, very uncertain but either way I think the costs
14 go up when you're in a situation where it's uncertain
15 whether or not you'll get recovery when and if you run into
16 those uncertainties.

17 MR. CLARK: Michael?

18 MR. SHEEHAN: When using our, NextEra has been
19 fortunate to have been awarded two projects in the
20 California ISO so we view our approved project sponsor
21 agreement, it is a binding obligation on NextEra energy with
22 the California ISO. It was filed that agreement, contains
23 cost, as Anthony said, has the cost-containment provisions
24 in it, it was filed at FERC when we filed for our Section
25 205 application and it's important to note, it's not a

1 snapshot in time.

2 We have ongoing reporting obligations with the
3 California ISO. Every 90 days we file a construction plan
4 status report. From the day we were awarded the project
5 through construction. That has milestone updates, that has
6 regulatory updates, and it's got budget updates. That plan
7 if filed with the ISO and shared with the interconnecting
8 transmission owner for an update on the project because it's
9 germane if this project is going to be viable or not.

10 It's also important to note that it's not
11 NextEra's sole discretion to increase costs. There is
12 language in the Project Sponsor Agreement that if we
13 discover a cost which is outside of the cost cap and may
14 increase the cost above the cap that we need to consult with
15 the ISO before we incur such costs. NextEra and the ISO
16 will determine with that increased cost if the project is
17 still viable and if so NextEra will come up with a new cost
18 estimate or add it to the binding cost cap and amend the
19 agreement.

20 So it's not in a vacuum. There is checks and
21 balances here and there is robust reporting obligations from
22 the developer.

23 MR. CLARK: Thanks. Let me follow up quickly on
24 my first question because I think we mainly got to my second
25 one which was this idea of enforceability and the responses

1 were helpful. With regard to this first question about
2 whether the region should in advance be exempting certain
3 binding cost containment measures. Maybe I'll ask it this
4 way, is that for the regions to do or is that something that
5 the Commission should be looking at because it gets so into
6 the idea of rate setting that you had talked about Craig and
7 which really leads to our second Panel discussion which is
8 that section between FERC rate-setting and cost-containment
9 measures and ensuring that something that is committed to
10 over here doesn't end up over here and rates getting
11 recovered just in another way.

12 So I'll tee that up to anybody who wants to
13 discuss. Is the idea of what can actually be contained in
14 cost containment measures, is that something for the
15 Commission to define? Should we be defining it or is that
16 something just best left hands off? Sharon? I'll go to
17 Sharon first and then Craig.

18 MS. SEGNER: We would say that really the market
19 should decide at the proposal level which costs are excluded
20 from the cap and what is in their cap. It's their proposal
21 and that's what they're submitting to the region. So we
22 would say initially it should be the marketplace of ideas
23 and of proposals that come in in terms of relating to the
24 cost gap. It's the regions' role to essentially develop
25 broad capabilities to evaluate the financial and the legal

1 aspects and doing the review of the cost cap as a
2 preliminary rule in their evaluation process.

3 But ultimately it's the Commission's approval of
4 the DEA and the rate case and the selection process and
5 ultimately the Commission has the ultimate oversight over
6 whether or not the region correctly ran the process, but the
7 regions absolutely need to develop the initial capabilities.
8 They are not, we would not agree that the regions are of a
9 sudden becoming regulators. The Commissions are essentially
10 developing the initial review. But ultimately it is the
11 Commission's review.

12 MR. CLARK: Craig.

13 MR. GLAZER: Commissioner, I would argue that
14 you've effectively done that. You probably did it for
15 different reasons but when you said that upgrades go to the
16 transmission owners' projects allocated in a single zone you
17 have effectively said that we're going to use the existing
18 regulatory rate-setting process as the way to police costs
19 on those. So I think you kind of back-doored it. I don't
20 think it's a bad thing that you've done that.

21 We've got ourselves in a little bind now, a case
22 in front of you to try to get out of this sort of box that
23 we find ourselves in, we're putting everything out. I think
24 you've effectively done that by virtue of saying you know,
25 there's a certain class of projects that you want to just go

1 to the TO. They're smaller projects. We can argue if
2 they're too large or not, that category but effectively by
3 doing that you're saying just use the existing regulatory
4 process. We don't need cost caps because there's no
5 competitor in effect.

6 So I think you're there already and for the
7 smaller projects I would argue that probably makes sense.

8 MR. CLARK: Thanks, anybody else?

9 CHAIRMAN BAY: Thank you, Tony. Collette?

10 COMMISSIONER HONORABLE: thank you, Mr. Chairman.
11 Thank you all for your comments and your points or view and
12 most of all your candor because you really shed light on how
13 cost-containment is working in various regions throughout
14 the country and this is a great time for us to take a look
15 at whether this is an appropriate time for additional
16 guidance from the Commission, if so -- how much?

17 Me too, I mean Craig I appreciate your concern.
18 You don't want to be a regulator and we don't want to be
19 heavy-handed here. I think that cost caps can be a very
20 useful tool in keeping costs down for consumers if they in
21 fact keep the cost down. So we will talk about that another
22 day I suppose. I greatly appreciate Tony's questions
23 regarding enforcement because we don't want this to be a
24 runaway train and I especially appreciate Michael's talking
25 about the process of the reporting and the check and balance

1 of keeping an eye on costs.

2 We have to keep in mind the main thing and that's
3 to get infrastructure built, to ensure reliability
4 affordably and making sure the developer is able to at a
5 reasonable rate and has an opportunity to earn a reasonable
6 rate of return and that we take into account risk as well.
7 So it is a balance.

8 A couple of my questions have been answered as
9 we've gone through the Commissioners' questions but there is
10 one that I think I've heard glimpses of and I really want to
11 get to the heart of if not best practices, sometimes I hate
12 to use that word, but practices, better practices. I've
13 heard some of them today. For instance, from LS Power, the
14 ways in which regions are weighting costs and the fact that
15 we need to take a look at that and I want to ask you who in
16 your opinion is doing that well. You mentioned a couple
17 that maybe we could work on that.

18 Mr. Ivancovich, it seems that your work is going
19 well if we take a look at the fact that we don't have as
20 many lawyers coming here --

21 (Laughter)

22 About your processes and maybe it would be better
23 for some of the developers who work in Cal-ESO to tell us
24 why that is. That's what I'd like to know. What is working
25 so well that it's efficient and litigation free or there is

1 minimal litigation. I say that as a lawyer to the many
2 lawyers in the room. And then, going back to Mr. Sheehan's
3 point about enforcement. So it seems as though you think
4 that the enforcement mechanism or process in CAL ISO is
5 working well. Are there others that are working well? So I
6 wanted to ask that pointed question. We've heard about
7 concerns for sure, where are the glimpses of hope and light
8 that could be replicated by our colleagues around the
9 country? Yes?

10 MS. HANEMANN: I think it's just too early to
11 tell. I mean where you think where we are in actual
12 execution of these projects, I don't think we've gotten to
13 that point of maturity where we've tested it really.

14 COMMISSIONER HONORABLE: And I greatly appreciate
15 that. Time certainly will tell. Anthony?

16 MR. IVANOVICH: I mean, in terms of the CAL ISO
17 it has all the audits, it hasn't always been smooth sailing.
18 It was you know, difficult to implement at first but we've
19 learned a lot and basically after every round of competitive
20 solicitations we conduct our own sort of internal lessons
21 learned process to look at it. What could have gone better,
22 how can we improve the application, how can we improve the
23 decisional report?

24 We recently completed a stakeholder initiative
25 where we made some commitments you know to be more

1 forthcoming in the decisional report, to give better
2 explanations of why we made decisions. We also beefed up
3 our application in terms of the information we seek for cost
4 but you know I think at the end of the day you have to be
5 fair. There's no magic formulas, you just have to be fair.

6 You have to look at all of the facts and fully
7 explain your decisions. What are the differences between
8 project sponsor. Why are they important. You know, what
9 benefits and risks do each of the projects propose for you
10 and again, you've got to look at all of the facts and you've
11 got to explain it really well. Again, I think looking at
12 fairness we have five project sponsors that have lost
13 competitive solicitations and those same five project
14 sponsors have won competitive solicitations.

15 I think you've just got to look at the individual
16 facts of each one and just really get down, I hate to say
17 it, get your hands dirty and really go through the facts
18 which is why we're so strongly opposed to any types of
19 mathematical formulas or anything like that because we think
20 it's going to imbed bad decisions and we could get numerous
21 examples of why we think that's the cases but I think first
22 and foremost you've got to establish integrity and
23 credibility that you're going to be fair in looking at this.

24 I hope we've accomplished that, we've been
25 fortunate so far with no litigation and it's certainly our

1 commitment I think to manage this with integrity and to be
2 fair.

3 COMMISSIONER HONORABLE: Thank you and one of my
4 questions for you would have been to talk more about your
5 process but you've done a great job of that through this
6 panel. I echo what you've said and certainly litigation has
7 its proper role because it's an attempt to have a dispute
8 resolved in a manner that is open and transparent where
9 there are impartial arbiters over the facts that you have
10 mentioned, the law and applying policy as well to reach the
11 proper result that is in the public interest. I don't want
12 to suggest that my goal is to eradicate litigation because
13 that is how we resolve our disputes in a civil society.

14 MR. IVANCOVICH: I think another important factor
15 is that you issue decisional reports that project sponsors
16 can actually look at and learn from that going forward and
17 there's, we've noticed by some of the project sponsors that
18 have participated in a number of competitive solicitations.
19 They've learned their lessons as well and have modified
20 their proposals going forward to make them stronger after
21 having getting dinged for certain deficiencies and I think
22 that's what makes the process work well when people can
23 learn and improve their process and make it more competitive
24 going forward.

25 COMMISSIONER HONORABLE: Indeed, and then they

1 win projects as well. Sharon?

2 MS. SEGNER: I would say that both PJM and
3 California have in our view figured out how to make cost
4 caps enforceable and the reason that we say that is because
5 in the awarded projects in PJM and California that all have
6 cost caps associated with them, essentially the entities
7 propose the cost caps, the cost caps became part of the
8 Project Sponsor Agreement that was signed with the region,
9 or in PJM the Designated Entity Agreement was filed at FERC.

10 Secondly the cost caps ultimately became part of
11 the rate filing as well, adding another layer of
12 enforceability. And of course in these Designated Entity
13 Agreements or Project Sponsor Agreements in PJM in
14 California, if the developer breeches the material terms and
15 conditions in the designated entity agreement the developer
16 could lose the project. So there's real enforceability
17 right there.

18 In addition, there's real enforceability with
19 cost caps because it's in the rate case so what the
20 developer is dealing with is that they are in breach of the
21 cost cap ultimately what's in play is both the project and
22 the rates. That's a lot. In our view, the PJM in
23 California has figured out how to make the cost caps
24 enforceable and not just a PowerPoint presentation. In
25 terms of other regions what they're doing as well, we've

1 noticed in particular that in New York while they haven't
2 had as many windows and they are not quite as far ahead as
3 PJM in California in actual number of windows we certainly
4 have noticed in our discussions with the New York ISO they
5 do a lot of looking and learning what's been going on in PJM
6 especially as relate to cost caps. They certainly have been
7 very watchful of all of these market developments.

8 Also, we've noticed that in New England with
9 Nescos that they've had several workshops related to how cost
10 caps should factor into the selection process in New England
11 and we see the potential for some very positive consumer
12 policies potentially coming from New England driven by some
13 of Nescos' initiatives.

14 COMMISSIONER HONORABLE: Excellent. Thank you
15 for mentioning it. Michael?

16 MR. SHEEHAN: Well, responding to your question
17 Commissioner regarding what's worked well from a
18 transmission developer perspective in California, I think
19 big picture is when the rules are known and the methodology
20 is consistently applied business functions best. What you
21 have in the California ISO is a list of 20+ selection
22 criteria for which the project will be evaluated and the
23 project developer. Before any project is bid, the
24 California ISO identifies key selection criteria that rides
25 or should be given weight above all the others.

1 That's known. It's transparent. The market can
2 respond to that and craft its proposal accordingly. With
3 that then is the feedback and as Anthony has mentioned the
4 robust selection report that says where did I stand versus
5 my competitors in the world. You might not be happy where
6 you wrapped up but you're going to know. Did I score well
7 in engineering or financial resources? Was I off on land
8 acquisition? Was my engineering construction costs high?
9 Did I have too many carve-outs in my cross-cap? All that is
10 in the report.

11 So at the end of the day, that's what's driving
12 the process and making it work well and you're getting
13 repeated bidders coming back to competitions in that market
14 because it's clear, transparent, consistently applied and
15 you're getting feedback.

16 COMMISSIONER HONORABLE: And by the way, I want
17 to thank GridLiance for your submission because you ticked
18 off quite a few, both in your comment and today about some
19 of the things that you think are best practices but please
20 proceed.

21 MR. WILLIAMS: Thank you. Maybe what I'll,
22 here's maybe what I don't think are necessarily best
23 practices because we've got some limited experience. I
24 think we would agree that California because of the way
25 they've structured it probably provides the transparency up

1 front which gives you the ability as a participant to know
2 where your focus should be or how you're going to focus your
3 bid, which is a good practice.

4 I think some of the concerns we have maybe not
5 best practices is the lack of transparency or lack of
6 knowing how you did. I mean, if you're -- going back to
7 construction side, if you're a construction contractor
8 bidding on a project and you don't win, you like to know why
9 you didn't win or what were you failing in. I think in some
10 cases, at least in our experience at this point, it's not
11 been very clear of why. It was ambiguous so taking the
12 ambiguity out I think would be something to work forward to,
13 give it a little more clarity.

14 Even for the folks that don't win, at least you
15 know where you're falling down. I would agree with Macaulay
16 down at New Jersey, we're still in the infancy in some
17 cases. I think you've got the two left and right coast RTOs
18 that are moving the process along and have a lot more
19 experience with the middle of the country still in its
20 infancy and you've got others that are still embryonic
21 really. We've got to get more projects out. I think that's
22 really the one issue that would bring out is that we've got
23 a lot of planning going on but there's not a lot of
24 competitive projects coming out of that planning process.
25 That's a concern.

1 here. Ed Tatum, American Municipal Power. I got there
2 about seven months ago to help them out with transmission
3 and the comments today I'm offering are my own and may not
4 reflect the official positions of AMP or its members, but
5 there you go. AMP views this conference as part of the
6 Commission's continuing effort to enhance the quality of
7 open-access service, at the benefit of consumers. We are
8 enthusiastically supporting everything that you've done so
9 far. We've had a lot of progress. Much more needs to be
10 made and this is a great opportunity to continue to address
11 some of those issues.

12 We are a transmission-dependent utility. We have
13 approximately 1.9 gigawatts of a fuel-diverse generation
14 portfolio but at the same time we depend heavily on
15 open-access service over our facilities that are owned by
16 others. We have a 133 members, 9 states, 15 different
17 transmission zones and two RTO regions. Our resources meet
18 about sixty percent of our needs and we're heavily dependent
19 on the RTO markets so in a nutshell transmission is a huge
20 factor for AMP and a huge part of our cost structures.

21 Before we get into details of our discussion I
22 have four points I'd like to raise. First, recent history
23 has shown that rate incentives are not really necessary to
24 encourage transmission investment. EEI correctly points out
25 the transmission investment has been on the upswing for the

1 last several years for a number of reasons, having nothing
2 to do with incentives. In fact, we've seen in recent years
3 the number of companies who have pulled out of merchant
4 generation facilities where the returns were uncertain and
5 redeploy capital towards regulated business sectors,
6 especially transmission.

7 Second, no one should view cost containment
8 provisions as a panacea, partly because this trend of a
9 container has not really been tested yet. We need to know,
10 we know of many non-competitor projects whose final cost
11 widely exceed the RTOs original planning estimate and we
12 still feel that something the Commission ought to think
13 about examining perhaps in a separate docket. But for our
14 purposes today, the point is the developers who win a
15 project should be required to live with the cap if actual
16 cost turns out to be higher than expected.

17 Third, because the actual risk of cost exceeded
18 in construction cost cap is real, we should expect the
19 developers will do what they can to hedge the risk. In the
20 end though the cost of those hedges eventually will be
21 recovered from consumers and if a large number of developers
22 build cost-containment into their project proposals and
23 factor related hedging costs into their bids, all votes will
24 rise and the overall cost of transmission for consumers
25 necessarily will go up.

1 Simply put, cost-containment provisions aren't a
2 good deal for the consumer if the cost of the developers
3 hedges or even the impact on developers' borrowing cost wind
4 up being greater than the construction cost kept out. I'm
5 trying to read this -- am I out of time or can I have one
6 more point to make? May I?

7 (No response)

8 I'm going to go ahead and make it. Last
9 apparently means least so thank you for that. The
10 fundamental purpose of the Federal Power Act is to protect
11 consumers and this is not a platitude. It's what the
12 Federal Courts have said time and again in applying the Act.
13 That purpose would be seriously undermined if the Commission
14 were to adopt the presumption expressed or implied at the
15 cost of a transmission project selected through a
16 competitive process are just unreasonable.

17 In practice, such a presumption would effectively
18 shift the burden of proving the justice and reasonableness
19 of rates away from utilities and impose on consumers the
20 burden of showing these costs are unjust and unreasonable.
21 I was looking for glimpses of hopes and light. I think the
22 glimpses of the hope and light in order to address this is
23 by continuing to take the Order One Thousand process and
24 applying the Order 890 Planning Principles to make sure we
25 have as much transparency. The gentleman from California

1 was talking about everyone at the table knowing exactly what
2 everybody was doing.

3 I thought that was helpful. But until we get to
4 that point we think there is a lot more effort needed there.
5 We think the rebuttable presumption should not be pursued.
6 I look forward to your questions.

7 CHAIRMAN BAY: Alright. Thank you, Raja.

8 MR. SUNDARARAJAN: I do know that I have a unique
9 last name so please therefore call me Raja and I won't take
10 that very personally also.

11 (Laughter)

12 I do like to thank the Commission for providing
13 the opportunity and providing a particular perspective in
14 terms of this unique topic. As we all know AEP user
15 transmission is one of the nation's largest transmission
16 subsidiary of transmission in all of the United States. AEP
17 and its transmission holdings subsidiaries including
18 operating has eleven operating companies, six
19 transmission-only companies and the joint ventures and
20 influence the entity that is solely created for Order One
21 Thousand.

22 We actually think that the former rates that
23 currently are today have the mechanism to incorporate all of
24 the flexibilities and the cost containment bids the
25 Commission is thinking about. What Craig was talking about

1 is the keys to maintain what's working. In our opinion the
2 former rate concept that the Commission has provided and
3 embraced and provides a significant clarity to all the
4 investors and the equity investors and the rate-holders,
5 provides a significant amount of transparency in terms of
6 how the regulatory contract works. The cost-containment
7 element can be built into the formal rate contract.

8 Under the current policies the developers have
9 the flexibility to find the terms of the cost containment
10 bid and exceptions to the cost-containment bid. It can be
11 clearly stated in the existing former rate construct the
12 fact where there's AEP Subsidiary companies including
13 Transource has bidded former rate contracts which are up to
14 rates and basically provides an element where the cost of
15 service rate is being calculated and at a discount to
16 premium cost of service rate being set based on the cost of
17 cost-containment bid that we'll be filing for the
18 Commission. So we believe that construct lends well into
19 this space without a significant change to the former rate
20 construct.

21 The one other thing that I will talk about is any
22 time when there is a meaningful cost-containment mechanism
23 there is a risk factor between ratepayers and to these,
24 whenever there is a risk transfer and clearly one would
25 argue that the competitive transmission projects are

1 incrementally more risky than the non-traditional cost of
2 service based project because of what it takes to secure the
3 project. Making that the risk transfer can be litigated on
4 a two primary basis.

5 The first one being is the Commission providing
6 significant clarity in terms of what incentives the
7 developer can secure, whether it is incumbent or
8 non-incumbent for these projects so that they can crack
9 these bids in a more efficient manner. In absence of
10 obtaining clarity on what incentives that the project is
11 authorized, it becomes significantly difficult for the
12 developer to propose projects and to especially tailor the
13 cost-containment mechanism uniquely for that project.

14 The second method obviously is the project
15 developer takes the risk of coming back and later securing
16 incentives once the entity is designated and in our opinion
17 the former approach of the Commission providing clarity and
18 incentives predominantly non-ROE incentives would go a long
19 way in terms of providing us effectively in terms of
20 wrapping these bids and submitting these bids in a more
21 efficient manner with significant constraint on the
22 cost-containment mechanism.

23 The last one I will talk about is the concept of
24 fixed APRR. If the Commission were to consider allowing
25 fixed APRR we fundamentally think that departs significantly

1 from what Order One Thousand's space was. We thought the
2 Order One Thousand's space does not change the regulatory
3 mechanism of the Commission. We think still think that
4 these are regulated transmission assets and a fixed APRR
5 mechanism that both exhaust the capital cost-based bid
6 provides a significant departure from that Order One
7 Thousand space it initially was contemplating for.

8 With that I have, those are predominately my
9 comments. I'm open to any other questions that you may have
10 in the future.

11 MR. HUGHES: Chairman and Commissioners, I
12 appreciate the opportunity to participate on this panel.
13 I'm speaking on behalf of ELCON which I am President and
14 CEO. I am also speaking on behalf of eight regional and
15 state industrial consumer groups that joined ELCON in
16 proposing a petition for declaratory order filed by ITC
17 Group development last year. Transmission costs have become
18 the most uncertain and fastest growing component of electric
19 rates. U.S. Manufacturers are generally skeptical in all
20 cases the benefits succeeded the costs.

21 Nonetheless, rate-setting based on competitive
22 and efficient electricity market is extremely important to
23 the economic viability of the U.S. Manufacturing community.
24 As a representative of consumer interests, my objective is
25 to explain how cost containment constructs and various forms

1 of incentives when not properly implemented can distort
2 competition and increase cost to consumers.

3 The main point I want to make is that using
4 competitive practices such as a competitive sourcing and
5 auctions is an expected business behavior of any unregulated
6 or regulated entity, not the exception that needs to be
7 subsidized or promoted with incentives. Nor in the case of
8 relatable entities should there be a rebuttable presumption
9 that any competitively bid investment or expense be freed
10 from any ongoing regulatory scrutiny.

11 Cost-containment is the same and begs the
12 question, is the lack of cost-containment the expected norm
13 under the Federal Power Act? I think not. The Commission
14 is perhaps unwittingly complicit in creating an investment
15 environment in which nothing gets done without some form of
16 incentives. In reality, these incentives are subsidies that
17 only create the illusion of success. Success to promote
18 responses by independent transmission subsidies to promote
19 responses like independent transmission companies through
20 the competitive solicitation mandated under Order One
21 Thousand do not create competitive markets. Easy money does
22 not promote innovation.

23 At best, they negate the cost-savings if any that
24 might be achieved by auctions for soliciting transmission
25 projects. At worst, they simply impose added cost to what

1 has to be recovered from consumers. The primary purpose of
2 the Federal Power Act as Ed spoke of moments ago is to
3 protect consumers, not to protect transmission project
4 developers from risks associated with their voluntary
5 choices to submit binding bids.

6 Transmission project developers should not be
7 allowed to shift risks from consumers by severely limiting
8 rate payers, substantive and procedural rights and abilities
9 to protest future transmission rates in the false name of
10 cost containment. There's no way Section 219 can be read to
11 encourage this. In particular we strenuously oppose any
12 binding cost-containment construct that would have granted
13 the transmission project developer the extraordinary
14 incentive of Mobile Sierra protection, locking in rates for
15 forty years or so and precluding future claims that rates
16 are no longer just and reasonable would be detrimental to
17 consumers and an aggregation of the Commission's
18 responsibility under the Federal Power Act. Transmission
19 project developers can and do condition their bid on
20 conditions that would otherwise trigger rate increases.
21 There are many reasons to do so, some good, some bad that
22 require regulatory scrutiny on a case-by-case basis. Rate
23 payers should always have the benefit of lower bid price or
24 should conditions change in the future, cost of service plus
25 reasonable rate of return.

1 The appropriate FERC action should be to continue
2 case-by-case review of the need for any new incentives for
3 other special rate treatments and that includes a
4 determination that consumers receive benefits in their
5 bills. Thank you again for this opportunity and I look
6 forward again to the discussion that follows.

7 MR. HARVILL: Good afternoon. I'd also like to
8 thank the Chairman and Commissioners for allowing ITC to
9 present its positions on the questions that were posed to us
10 in advance at the Technical Conference today. My name is
11 Terry Harvill and I am here to represent ITC Holdings. As a
12 foundational issue, I'd like to note that ITC supports
13 competitive transmission development, however the current
14 Order One Thousand process is fundamentally flawed. At its
15 core there's a disconnect between the Federal Power Act's
16 cost of service regulation and the competitive construct
17 created by Order One Thousand.

18 To that end, ITC's petition for declaratory order
19 highlighted the issues where additional guidance is needed
20 to make the bidding encouraged by solicitation workable. We
21 are pleased that the Commission has seen fit to provide this
22 forum through this technical conference to address those
23 issues. My comments will be specific to the bids in cost
24 containment but I would like to preface my statement today
25 by clarifying there are many other issues impeding the

1 success of Order One Thousand today.

2 Improved bidding, while important, does not solve
3 the solicitation process problems including concerns with
4 project evaluation. To begin the Commission's policies must
5 address three important issues: number one, the integrity
6 of the process; number two, cost containment and how to make
7 it work effectively for all stakeholders and three,
8 regulatory certainty for customers and developers.

9 As explained in this petition, we understand and
10 respect the Commission's need to insert just and reasonable
11 rates. To that end, ITC has suggested only bids submitted
12 through a competitive process which the Commission can
13 review only on a case-by-case basis for each winning bid be
14 deemed just and reasonable. If the regional solicitation
15 processes are not competitive then the Commission must
16 continue traditional rate of return regulation.

17 ITC supports the establishment of criteria for
18 judging whether given the regional stakeholder process is
19 competitive to avoid applicative processes that are
20 time-consuming and costly. Those criteria could be used to
21 create a rebuttable presumption whereby our region's
22 solicitation process is deemed competitive and stakeholders
23 have the ability to challenge that presumption for a
24 particular solicitation.

25 A determination of the solicitation process'

1 competitiveness can help shorten the process and remove
2 uncertainty for developers constructing bids going into the
3 solicitation process. Inherent characteristics of a
4 solicitation process should ensure that any one bidder does
5 not have significant market power. To the extent that a
6 selected bid contains a cost-containment mechanism, those
7 cap costs should be considered just and reasonable for
8 rate-making purposes pursuant to the rebuttable presumption
9 of a competitive solicitation process, save for any
10 challenges to the competitiveness of the individual
11 solicitation.

12 I'd like to note here, it's important to note we
13 haven't heard the word "symmetry" yet today and I think it's
14 very important from both a customer perspective as well as a
15 transmission development perspective that the risks that we
16 talked about and the transfer of risks between customers,
17 developers and other stakeholders recognize there needs to
18 be symmetry on the part of all involved.

19 With respect to cost containment mechanisms, cost
20 is just one of the many selection criteria using all
21 FERC-approved Order One Thousand solicitation processes.
22 We've heard earlier today many established developers have
23 comparable experience, cost has become a primary
24 differentiator among what is typically a large field of
25 developers. This is particularly true in regions that

1 employ a competitive solicitation model rather than a
2 sponsorship model which allows for differentiation of the
3 project solution.

4 Bids that include a 40-year revenue requirement,
5 development to a competition based on forecast data that's
6 not binding absent of cost-containment provision. As a
7 developer with experience in many regions, ITC has observed
8 the challenges of implementing cost-containment mechanisms
9 are greater in regions that require a long term, full
10 revenue requirement debt. I note that customers are
11 typically more significantly impacted by a project's cost
12 than a developers rate of return.

13 Thus, it may be appropriate to reevaluate the
14 benefits versus the complexity of a process that seeks to
15 capture both elements in debt.

16 MR. TOBENKIN: Please try to conclude your
17 remarks, sir.

18 MR. HARVILL: Sure. On a final note, the
19 Commission has frequently articulated its goals of incenting
20 transmission investment and lowering cost. Transmission
21 investment can and does lower the cost of power to customers
22 by providing them access to lower cost power. However that
23 should not be extrapolated to mean that the lowest cost
24 transmission project in any competitive solicitation is
25 always the best solution. Further, a process that pushes

1 returns too low may in fact reduce the needed investment by
2 making project opportunities unattractive to developers.

3 Thank you.

4 CHAIRMAN BAY: Thank you, Terry. Craig?

5 MR. GLAZER: Thank you. I don't have any Steve
6 Covey quotes for this Panel but let me instead pose a
7 scenario where I think the rate case model may need some
8 reform given cost caps but let me give you a sort of a
9 scenario here.

10 Let's suppose a situation where the RTO chooses
11 developer A based on their cost cap. They reach agreement
12 and they have selected developer A. A consumer advocate
13 comes along and says "you know what, the RTO gave the store
14 away. That's too high for a cost cap, the exclusions are
15 too many. We don't think that's just and reasonable." The
16 consumer advocate comes here or the developer comes here and
17 the Commission says "you know we don't have any ownership of
18 what that RTO did. So we are going to look at this thing
19 fresh", as you should and let's say you agree with the
20 consumer advocate. The cost cap was too high, too many
21 exclusions, it was not worth the paper it's printed on and
22 you do one of two things. You either send it to an AOJ or
23 you reject it, okay.

24 So that happens, then the developer says "wait a
25 minute, wait a minute. The Commission is rejecting my cost

1 cap? I'm not going to go forward and build this project
2 otherwise. There's too much risk." So now you've got a
3 little bit of a standoff here where the Commission has said
4 "we don't accept this cost cap". The developer said "I
5 ain't building it without this cost cap, without this level
6 of risk and these exclusions and there's a standoff.

7 In the old days the transmission owner would have
8 to just build it and live with the results. I'm not
9 suggesting we go back to those days by any means. I think
10 the competition has been very helpful but I think all this
11 drives for me is we've all got to sort of think about, the
12 model has to be different. The timing of Commission review,
13 the timing of Commission action, when you review the cost
14 cap, how quickly your process to review the cost cap to get
15 everybody's concerns and how do you do that all when the
16 RTO's already made a decision and yet there's some due
17 process that's required here.

18 It was easier in the old days, it's tougher these
19 days but I think we have to sort of think about and perhaps
20 perform the rate-case process to have a more prompt
21 Commission review and forum associated with that cost cap
22 review. I'll close with that. Thank you.

23 MR. CUPPARO: Good afternoon, I'm John Cupparo.
24 I'm responsible for Berkshire Hathaway energies competitive
25 transmission business unit. Also our comments today are

1 rooted in our experience in participating in competitive
2 processes both in Canada and regions here in the U.S. In
3 issuing Order One Thousand the Commission took a fresh
4 approach to development of transmission projects and to
5 effectuate the reforms in Order One Thousand we believe the
6 Commission needs to take a next step and completing its work
7 by taking a fresh approach to ratemaking to further realize
8 the goals of Order One Thousand.

9 Today's panel discussion regarding the ratemaking
10 treatment of cost-containment provisions is therefore
11 particularly important because although cost-containment
12 provisions directly benefit customer by allowing developers
13 to assume all or some of the risk associated with potential
14 cost overruns. Those same provisions do not fit neatly
15 within the cost of service framework established by the
16 Commission. To address this issue, we recommend the
17 Commission establish rebuttable presumption that rates set
18 by an effective competitive process are just and reasonable.

19 This approach would produce a balanced outcome
20 that provides solicitation participants an incentive to
21 contain costs while preserving a stakeholder's ability to
22 challenge rate outcomes that they believe may be unjust and
23 unreasonable. Moreover the Commission could provide a
24 degree of certainty to developers without binding its hands
25 with the Mobile Sierra Doctrine or requiring that

1 stakeholders overcome the heightened mobile CRS standard of
2 review.

3 In creating this rebuttal presumption the
4 Commission would not cede its ratemaking authority to
5 another entity but would instead shift its focus toward
6 promoting effective competitive processes and away from
7 adjudicating debates over individual outcomes. BHE U.S.
8 Transmission has proposed in our preconference comments
9 specific criteria for evaluating whether a selection process
10 is competitive focusing on whether the process is open,
11 clear and objective. These criteria are consistent with the
12 concepts enumerated in Order 74 with an additional emphasis
13 on transparency.

14 Additionally, this proposal would not obligate
15 planning organizations to assign any particular level of
16 value to cost or cost containment. Our proposal makes it
17 possible for developers to offer an array of options in this
18 regard, the selection of which would always be subject to
19 the preferences of the particular region and its
20 stakeholders. However, by adopting proposed evaluation
21 criteria, the Commission would lend support and guidance to
22 regional planning organizations that are already taking
23 steps to improve competitive solicitations along the same
24 trajectory.

25 We appreciate the opportunity for this discussion

1 and look forward to your questions, thank you.

2 MR. ADDEPALLI: Good afternoon, Chairman and
3 Commissioners. My name is Raj Addepalli. I'm the managing
4 Director of rates and service at the New York State Public
5 Service Commission. First, thank you for hosting this
6 technical conference and thank you for allowing me to be on
7 this Panel. Cost-containment for transmission is a very
8 timely topic for us in New York. We have two public policy
9 solicitations in play currently with potential total
10 investment ranging over a billion dollars. The New York ISO
11 is about to start its second cycle soliciting additional
12 ideas for public policy projects.

13 Currently the New York Commission is considering
14 a proposal to meet 50 percent of customer consumption from
15 renewables by 2030 and to accomplish this goal it's likely
16 there will be need for more transmission to help move
17 renewable from sources onshore and offshore. So based on
18 the two that we have in front of us, there are some lessons
19 learned that I wanted to recite and see if they can be
20 helpful.

21 In the first case, we have invited developers
22 before even the FERC Order One Thousand was finalized to
23 submit proposals to move a thousand megawatts of power from
24 upstate to downstate. In addition to the incumbent there
25 are other developers who came forward. We appreciate that

1 but all the proposals or most of the proposals require
2 extending the existing rights-of-way and that led to an
3 enormous amount of consumer concern and community concerns
4 and we had to go back and ask developers to take another
5 look at their proposals to see if they could come up with
6 designs that would limit them to the existing rights-of-way
7 to minimize community opposition and concerns.

8 The developers did respond positively and came
9 back with designs that pretty much stayed within the
10 rights-of-way. So the first lesson to learn is in terms of
11 siting and scoping just to get a better feel for it before
12 we jump in and spend a lot of time.

13 Second, the stakeholders have demanded that we do
14 a solid benefit-cost analysis for these investments, that
15 the benefits exceed costs. Thanks to the New York ISO, an
16 analysis was done to the benefit roughly in the ballpark of
17 1.2 billion dollars in future benefits as a result of the
18 investment. That's where it leads to the conclusion you
19 shouldn't be spending more than that, otherwise the project
20 may be uneconomic. So that sort of leads you to should
21 there be some kind of cost cap or containment provisions to
22 bring discipline to the costs that go into the project.

23 And the third, New York is perhaps unique. We do
24 look at not just transmission but other choices, generation
25 and demand responds to alternatives to be considered in the

1 selection process. There have been advocates who ask that
2 we look at them seriously to promote those instead of
3 transmission. That again provides a benefit cost analysis
4 and cost discipline for the numbers that we are using.
5 Given these I think we believe cost containment is an
6 important variable that should be considered in this
7 selection of projects. And in fact we have suggested that
8 the developers put in bids in one of the existing policy
9 projects with an 80/20 percent sharing but that any cost
10 overruns beyond the estimate should be shared 20 percent.
11 It's a symmetric mechanism to discipline costs.

12 We believe the RTO ISO should accord such
13 cost-containment proposals, the appropriate weight in
14 selecting the project and the tariffs as we discussed in the
15 last panel should ensure that an enforcement mechanism is
16 included to make sure the developers bids are binding. An
17 issue we may discuss further is how does this play into
18 return on equity and capital structure when they put in the
19 bids. If they do not know what it is that they may be
20 averted by FERC, that should be a variable whether they get
21 the approval ahead of time from you on the capital structure
22 and the returns that would be allowed for the project and
23 then they would use that information to put in their bids or
24 --

25 MR. TOBENKIN: Please try and conclude your

1 remarks.

2 MR. ADDEPALLI: So with that, again I want to
3 emphasize that cost-containment should be an important
4 variable in the selection of transmission projects and I
5 look forward to the discussion.

6 CHAIRMAN BAY: Thank you, Raj. For this round of
7 questioning we'll start with Collette.

8 COMMISSIONER HONORABLE: Well, why thank you, Mr.
9 Chairman. So just before the break I was letting the two of
10 them have it saying "by the time you get to me you've asked
11 all of my questions". It's Christmas in June, thank you Mr.
12 Chairman.

13 CHAIRMAN BAY: Well, I also want to thank Tony
14 and Cheryl because they agreed to reverse the order.

15 COMMISSIONER HONORABLE: So we did this for the
16 Clean Power Plan as well, thank you. So I appreciate the
17 comments that you all have submitted as well as your
18 comments make here today. I wanted to start in jest by
19 saying "tell us what you really think". Some of you had
20 very firm opinions about our pathway forward and I want to
21 explore those.

22 Craig I'd like to start with taking your
23 hypothetical further because we really are at a crossroads.
24 I seek cost caps as one tool to aide in providing
25 transparency and certainty with regard to cost. One tool

1 and there are many. But, with your hypothetical you were
2 concerned that bringing this matter to FERC, if we decided
3 that the cost cap was inappropriate or not just and
4 reasonable then the developer may walk away, which could be
5 the case.

6 What is our pathway forward then and I want to
7 invite the other panelists to weigh in on your thoughts
8 about what this future world looks like as we determine the
9 right role of the regions along with stakeholder involvement
10 and the regulatory role because we don't want developers,
11 particularly ones that are well-qualified and experienced to
12 walk away but at the same time we're in the process of
13 developing competitive processes to ensure that we have
14 others who can step in if needed.

15 So I want to ask you first to respond and I would
16 love to hear from the other panelists as well.

17 MR. GLAZER: Thank you for that great question.
18 It's been a long time since I've actually done a rate case.
19 Fortunately I don't have to do those anymore but it's a very
20 long process at the Commission, as you know it's a very
21 fact-intensive process. Often cases get sent to AOJs,
22 settlement conferences, etc. All a fine process, but here
23 given the fact that we've got this competitive proposal.

24 I guess my request is some more early action from
25 the Commission in this because one problem in this scenario

1 that I didn't get to mention while all this is going on and
2 we're debating and is the developer going to walk or not,
3 we're trying to get a project built. Especially if it's a
4 liability project we might have wasted a lot of time and
5 worse yet at the end we may end up just giving it to the TO
6 and then the consumer still ends up paying the cost to the
7 developer who walked away. Kind of an ironic result, so my
8 plea in terms of solutions which is the heart of your
9 question, build in some processes outside of the traditional
10 send it to an AOJ, suspend it for five months to get early
11 action on the cost cap and it's reasonableness.

12 COMMISSIONER HONORABLE: Thank you and I'd like
13 to thank the representative from LS Power on the last panel
14 who referenced our quick action in one docket but we
15 certainly haven't mastered that in all areas. I'll take
16 that constructively so thank you for the recommendation.
17 Edward.

18 MR. TATUM: Well, Craig as I sat and listened to
19 your hypothetical I said "well, what do you mean they might
20 not want to build it?" because as I'm looking at these, the
21 ones I'm thinking about are actually to address known
22 reliability constraints and in our old model I guess I was
23 coming up with and remembering we had this idea of the
24 transmission are under obligation to built and I was
25 thinking that "gee, I was kind of hoping that would go along

1 with it especially if a competitive project was indeed
2 designed to solve reliability concerns. But in the path
3 forward though, and I did like what you said on this panel.

4 The glimmers of hope and opportunity I think are
5 in making sure that we've got a sufficiently robust Order
6 One Thousand overall planning process. Holistically, we're
7 making sure that we see everything. Every opportunity to
8 address a problem, have a good understanding of the nature
9 of the problems, have a good understanding of the
10 alternatives brought to bear, have a lot of people at the
11 table so they can really go through that. I like the idea
12 of having some guidance.

13 I know that we've had the whole spectrum on the
14 last panel but we do need some guidance here. This is a new
15 process. We've never done stuff like this before. We're
16 still trying to figure out how to plan in a deregulated
17 world so I would take those.

18 COMMISSIONER HONORABLE: I'm going to try Mr.
19 Sundararajan.

20 MR. SUNDARARAJAN: Thank you, Commissioner. The
21 way we actually see this is as I think Ed was mentioning, as
22 an incumbent or a non-incumbent, we firmly believe there's
23 an obligation to build to the extent I think to Craig's
24 hypothetical question of when you propose a cost cap and the
25 Commission deems that the cost cap is not just and

1 reasonable our fundamental premise would be that the cost
2 cap would be eliminated and you operate in the cost of
3 service environment. So as of this project was
4 awarded when there are two filters to it. One is the first
5 determined that the cost cap was efficient because that's
6 the reason why they were rewarded the project as compared to
7 others. Secondly they actually were awarded the project and
8 then you come back to the Commission and say the Commission
9 actually thinks that the cost cap was based on all of the
10 evidence provided by the stakeholders that the current cost
11 cap was excessive for lack of a better word. Then you would
12 say the cost cap is no longer reasonable we will just
13 operate on a cost of service base environment which is no
14 different from any other project that they are building.

15 In our opinion that'll be the typical way they
16 would think about these projects as opposed to a treatment
17 of different kinds of rates for a comparative project that
18 is different from a cost of service project.

19 MR. HUGHES: I think my first word of advice is
20 don't exaggerate what you can get with competition and
21 you're not creating a competitive market. My definition of
22 competitive market for electricity would be one in which we
23 don't need the Federal Power Act and your agency anymore.
24 When you folks implement competitive practices under the
25 Federal Power Act it often results in more regulation,

1 certainly an awful lot of work for Joe Bowring and David
2 Patton.

3 To me, it's counterintuitive and so kind of tone
4 down what you think you're going to get out of competition
5 you know because the developers are going to try to drive a
6 truck through that and extract an awful lot of money as a
7 premium for getting something that you can say is
8 competitive. So I would just urge you to be careful on
9 that. Our belief is still go to a rate case and let's trade
10 horses on all the variety of issues that are involved in
11 this and that includes any form of incentive, any form of
12 any special rate treatment, any form of price cap.
13 We're not necessarily excluding them but there's got to be a
14 very strong test that they're absolutely necessary to
15 accomplish the objective and not just a fear that the
16 developer is going to call your bluff and say "we're going
17 to walk".

18 COMMISSIONER HONORABLE: I'm shocked and I'm
19 going to move onto the second question. So I'm going to
20 invoke Craig again because on the previous panel -- is
21 someone's microphone still on? In the previous panel, Craig
22 Glazer's issue of his concern being RTO of taking on a
23 regulatory role and the fact that they don't want to do
24 that. I appreciate that Craig, heard it loud and clear.

25 Well, then here in this panel I heard from a

1 couple of you, the gentleman from ITC and from Berkshire
2 Hathaway that you would implore the Commission to allow the
3 creation of a rebuttable presumption that proposals selected
4 through the competitive process are just and reasonable and
5 also entitled to the Heighten Mobile Sierra standard if
6 challenged. So I have a very simple question. Why? Why
7 should we favor that perspective and then I'd ask the other
8 panelists to weigh in. Thank you, gentlemen.

9 MR. HARVILL: Yes, harkening back to my prepared
10 comments I mentioned the word symmetry and as I look at the
11 Order One Thousand process as it's developed across the
12 country, the last panel was notable in the sense that there
13 were a lot of diverging opinions. I think that was
14 reflective of the fact that you have many different ways of
15 approaching Order One Thousand if this Commission is
16 approved.

17 As a developer one of the things that we find
18 challenging is that there is an asymmetry that exists today
19 when it comes to cost-containment and ultimately what we
20 would bid in a competitive process for a particularly
21 project and what I mean by that is that if we're allowed to
22 bid on a project and propose a cost cap and we're ultimately
23 held to that cost cap for the life of the project but yet
24 parties are allowed to avail themselves of the 206 complaint
25 case to come in 5, 10, 15 years down the road and say "those

1 costs are no longer just and reasonable".

2 The original presumption under which we actually
3 bid that project, constructed that project and have
4 essentially operated and maintained that project for those
5 previous five, ten or fifteen years essentially crumbles at
6 its foundation. There needs to be some kind of recognition
7 that if we are bidding a project for a 40-year, essentially
8 the course of a 40-year total revenue requirement as many of
9 the RTOs have proposed and have put in place then there
10 needs to be some certainty over that period of time that
11 parties can't come in then and challenge that over a
12 subsequent time period.

13 I can guarantee you also that as we go through
14 this process that if a party like ITC were to propose a
15 project, propose a cost cap and a specific return or
16 specific capital structure, I don't believe we could avail
17 ourselves with the 205 process and to come in and raise that
18 rate either. So again, going back to that symmetry all
19 we're asking for it that if we bid something beginning the
20 process essentially that could be held to be the standard to
21 be the life of that project if that's the process the
22 Commission has put in place or the RTO's have put in place
23 that the Commission has improved.

24 I'd also note if you look even beyond the borders
25 of the United States, everywhere they have competitive

1 processes established for transmission it's a process
2 whereby you bid essentially a full revenue requirement bid
3 for a project for the life of that project. There is no
4 presumption that after the project's in operation that you
5 actually go back and can essentially rebut that and come
6 back and say "no, the return is too high" at that point in
7 time.

8 COMMISSIONER HONORABLE: John.

9 MR. CUPPERO: I would like to clarify my comments
10 because I did say that establish rebuttable presumption but
11 because there is evaluation criteria or guidance around
12 evaluation criteria. A challenge to that wouldn't
13 necessarily have to beat the Mobile Sierra Standard but
14 would have to, the burden of proof would be against that
15 competitive process and the criteria that was used in the
16 spirit of all bidders.

17 In terms of why we believe that, I think, a very
18 simple example, these are procurement processes like
19 procurement that we've done for years and I think an example
20 has been provided on this panel. Typically if you enter
21 into a procurement process and you enter into a fixed bid
22 contract, that contract carries the entire weight of that
23 relationship between the bidder and the entity and the
24 entity in this case would be the RTO.

25 So we believe that should be preserved unless

1 there was something significantly flawed in terms of the
2 process or the way that contract was termed.
3 Double-jeopardy I guess would be another way to state that
4 for both the developers in the ISO.

5 COMMISSIONER HONORABLE: What I hear you both
6 saying is you would be, otherwise the developers being held
7 to a more rigid process going forward while others are not.
8 They can come in and file 206 and other things. So I had
9 done in my past life some work and bidding litigation and
10 there's plenty of that too unfortunately. But your points
11 are both well-taken and I'd like to hear from the other
12 members of the panel. Raj?

13 MR. ADDEPALLI: As a fellow regulator I feel the
14 more regulatory certainty you can provide to the process and
15 to the developers the lower cost of capital will be and the
16 lower the cost of the project will be. So anything we can
17 do collectively to reduce the risk of deregulatory
18 uncertainty that would be very helpful.

19 COMMISSIONER HONORABLE: Thank you. Do you also
20 believe as a regulator that ensuring that there is an open
21 and transparent process for the challenge of such bids is
22 also in the public interest and serves.

23 MR. ADDEPALLI: Absolutely, there should be room
24 for that. That said, the processes and the transparency in
25 the process is important to give everybody comfort, the

1 rules of the road, what they are and that they are being
2 followed.

3 COMMISSIONER HONORABLE: For everyone.

4 MR. ADDEPALLI: Yes.

5 COMMISSIONER HONORABLE: Thank you. Raja.

6 MR. SUNDARARAJAN: We from AEP view this a little
7 differently. We actually see that at least two processes
8 that ITC is referring to MISO and SBP process that it is
9 fundamentally forecast 40-year revenue requirements. It is
10 by no means is a fixed revenue bid that is being implemented
11 in other parts outside of the United States. Those are
12 merely an attempt to forecast what an entities revenue
13 requirement will be over the span of 40 years. We view that
14 fundamentally differently than between and fixed and a bid.

15 The second thing I would like to caution is well
16 let's talk about an entity that actually submits, an
17 incumbent entity that has negotiated a raise, including ROEs
18 and everything else that the negotiator as part of the
19 settlement package for all other foundation projects. How
20 do you actually change that contract for a specific project
21 and you actually -- we talk about symmetry from a developer
22 not from an incumbent point of view. I think by the same
23 logic you should have made sure this incumbent is no less
24 disadvantaged or is not disadvantaged in the same process
25 because of a higher threshold that is being set up by the

1 developer.

2 We view that fundamentally that would be the
3 primary reason why. The fact that we have an incumbent
4 entity that actually has negotiated rates and reached an
5 agreement of ROE and cap structure through a settlement
6 process of regular stakeholders, now suddenly able to
7 deviate that and for a comparative project apply a different
8 contract that is different for a full project as opposed to
9 a -- project, we feel that to be a different contract.

10 That's why we actually view this as two points,
11 one is the MISO SBP are merely a forecast that do not fix
12 any requirements by any imagination. The second thing is
13 the fact that clarity should apply to both sides. A
14 non-incumbent should be able to apply the same rates that
15 the developer actually has in this case.

16 COMMISSIONER HONORABLE: Thank you. I appreciate
17 you raising that point. Edward?

18 MR. TATUM: I might take a different approach to
19 the first two commenters on this. I think that from
20 standpoint of the theory behind it is if you've got real
21 competition and if you've got all the transparency then
22 perhaps you could do something like this. I think the state
23 of the play right now is we don't necessarily have all of
24 those things, nor do we have a lot of the details worked out
25 as to how costs would be formed, how costs might have to be

1 changed back and forth.

2 A public power guy throughout my entire career,
3 if you were going to have your actual cost to construct
4 something and you were going to then be able to recover
5 either your actual or your hypothetical debt as well as the
6 return on equity, those are still some nice components there
7 that provide I was hoping overall rate return that would
8 incent people to build regardless of whether it's a
9 competitive project or not. So coming up with a resumption
10 of benefit to consumers I think that's a hard one to take at
11 this point of our play.

12 COMMISSIONER HONORABLE: Now I wondered when that
13 tin card would go up. Let me guess what you're going to
14 say.

15 (Laughter)

16 I have a 15-year-old and I should --

17 MR. CUPPARO: I wanted to give him his chance.

18 (Laughter)

19 COMMISSIONER HONORABLE: I have a 15-year-old.
20 You're telling me I should not pay her for good grades?
21 That's what you're saying?

22 MR. CUPPARO: I would just let it go one step
23 beyond what Ed said and say you know, given the lack of
24 transparency you can, given how a lot of what's going on in
25 some of the RTOs is nothing more than a food fight when it

1 comes to trying to decide these projects. We think right
2 now, we fear that any cost cap or cost-containment proposal
3 is nothing but a Trojan horse from the perspective of the
4 consumers. You know, who knows what's buried in the
5 exemptions and other provisions that are there.

6 Regarding symmetry, you know cost of service if
7 done right is marvelously symmetrical if the costs
8 legitimately and prudently go up in the future the owner of
9 the asset should be allowed to recover those with a fair
10 rate of return. So our faith is in the beauty of the fact
11 that we live in a capitalist society and innovation is
12 ongoing and increases over time. Therefore our
13 expectation is for costs to go down over time and so we want
14 the benefit of those. Developers know that and they don't
15 want, they want to lock in the higher costs that are endemic
16 right now, forever. So that's basically our concern.

17 COMMISSIONER HONORABLE: Thank you and Mr.
18 Chairman thank you for the opportunity to inquire.

19 CHAIRMAN BAY: Thank you Collette. Tony?

20 COMMISSIONER CLARK: Thanks. Just a few
21 questions. First for John and Ed because I want to make
22 sure that I'm understanding your position with regard to
23 cost-containment measures generically. Is your position
24 "well we just don't think cost containment is a good idea?
25 It's just a rabbit hole we don't want to go down for all

1 sorts of reasons." Or is it, which would mean "we don't
2 even think transmission developers should be putting in cost
3 containment type bids through the Order One Thousand
4 planning process." Or is it "well that's all fine and well
5 if you want to commit to certain cost containment measures
6 as long as it doesn't as part of a package inhibit our
7 future 206 filing rights to have a regular full cost of
8 service case?"

9 MR. TATUM: John I'll start and if I may, thank
10 you for that. No I think that cost containment is a good
11 idea. I think there's opportunities for it but I wonder
12 about how it's going to work. You know, what's the devil,
13 where's the details? How is that going to all work there?

14 I'll just give you an example, in PJM they have
15 the sponsorship model, which is great. I mean and the first
16 panel talked about that a lot. A lot of great ideas. How
17 best, we've got a problem here, how best to solve it? but
18 then when we're taking a look at it and we pick a project
19 from that I'm comparing apples to oranges to maybe a
20 watermelon or a kumquat somewhere. It's really hard to say
21 what is the best of those projects.

22 Now if you go into the bid models, I guess they
23 call them sometimes solicitation models. We've got a
24 project. Say we need 115 KB line from A to B. You all get
25 in there and build it. And then all of a sudden if you had

1 lots of people bidding on it and if they're really
2 sharpening their pencils and getting down to it and if we as
3 the stakeholders and you all as a Commission have a good
4 understanding of in general, what's the current cost per
5 mile of transmission line? What's the current cost to build
6 a rocky foundation back and forth? We can make a good
7 decision that yes, that's a good cost containment. But
8 absent those types of things I think it might be difficult.

9 The other thing and I appreciate what you said is
10 about the perpetuity of it. we think that something lasting
11 over 20 years would be set for life is something that
12 shouldn't be there. You should have the ability to go after
13 a 206 and seek to get it back in line.

14 COMMISSIONER CLARK: Okay, thanks. John.

15 MR. CUPPARO: I guess what puzzles me is why cost
16 containment has been so elevated as being so extraordinary
17 in this industry. Why isn't it just the normal way of doing
18 business and why don't regulators treat it as such and have
19 regular expectation; this is what they should be doing. Not
20 something that's extraordinary that's got to be lavished
21 with what former Commissioner that used to sit up here, used
22 to call "FERC candy".

23 COMMISSIONER CLARK: But is it a question of
24 regulators or and I suspect the reason it's become such a
25 big issue is that the projects have gotten picked in the

1 planning regions at least in part on the basis of the fact
2 that they had some sort of cost containment measures. So is
3 your position simply that cost containment doesn't work so
4 why go there? Or -- I mean in that case I think it would be
5 FERC rather proactively stepping out and saying "Regions,
6 don't even look at cost containment. Not even if they
7 picked a project developer off the top.

8 MR. CUPPARO: I think the burden on you has to be
9 that, show us the benefits okay and in light of that --
10 again, why isn't the normal expectation contained cost be
11 part of the normal way that regulators expect utilities to
12 behave. I'm just aghast that somehow they're not expected
13 to contain their cost. Now I can appreciate the need for
14 very extraordinary, actual really extraordinary conditions
15 but identify those. It shouldn't be just run-of-the-mill
16 transmission projects.

17 COMMISSIONER CLARK: So.

18 MR. CUPPARO: I mean LCON was in the position
19 when Order One Thousand was adjudicated. We opposed
20 eliminating right of first refusal. We thought the
21 incumbents would probably in the long run do a better job.
22 I think most of my members would probably still feel that
23 way. I know some of them are vindicated but very much so by
24 looking at their bills every month and how much transmission
25 costs have been escalating over the past several years and

1 seeing absolutely no benefit for it.

2 COMMISSIONER CLARK: Yes, it seems like there are
3 two issues being discussed and debated on the Panel. One is
4 the theoretical issue of cost containment themselves. I
5 think it's probably hard to make a case when a developer
6 says "Hey I'm going to limit myself to this" because they
7 don't do that. Like somebody named Craig from the first
8 Panel said "if you were a former regulator and someone's
9 going to offer you it's hard to say no."

10 So then that theoretical assumption becomes a
11 question. Okay, if you're going to have cost containment
12 how do you structure it in such a way that it makes sense?
13 Can it be structured in such a way that it makes sense? Can
14 it be transparent so there's apples to apples comparison?
15 It's all the things we talked about there.

16 There's a second issue that I think is being
17 discussed here which is really more of a, it's an old
18 regulatory theory debate, which is the theory of price cap
19 regulation I think FERC parlance we call it, what fixed
20 revenue requirement-type regulation which is the separate
21 sort of subset of the debate. I have a question under that
22 subset for anyone on the Panel who wants to take it up,
23 setting aside the policy issue of price cap regulation which
24 I think we all sort of know the tradeoffs and costs and
25 benefits. It's been used somewhat internationally. It's

1 been used in the telecom industry, it's I mean something
2 those are what regulators are familiar with.

3 I'm interested in seeing if anyone has any
4 comment with regard to not the policy of cost cap or price
5 cap but is it permissible under the Federal Power Act
6 because those questions have been raised. So even if the
7 Commission bought off on the idea and said "hey, I think
8 this would make sense." Are there statutory hurdles that
9 prevent us from getting there in terms of a just and
10 reasonable rate under the FPA itself or are there things
11 that where there are FERCs own rules and precedent that
12 prevents us from getting there? Ed? I think you may have
13 teed this up when you --

14 MR. TATUM: I didn't mean to.

15 (Laughter)

16 As the electrical engineer on the Panel, I will
17 just briefly say that we spend a lot of time in dealing with
18 markets and back and forth and a presumption that
19 competition in markets will provide just and reasonable
20 rates so I think what you're teeing up there is another
21 variation of that discussion for transmission and it's
22 interesting because transmission is indeed a regulated asset
23 and so with all due respect, that's as far as I go with
24 that.

25 I would like though if I may just to be very

1 clear with our position on cost and price caps and back and
2 forth. We're not saying don't do it. We're not saying you
3 shouldn't look at it. We're not saying we shouldn't try to
4 figure it out. What we're saying is that there's a lot of
5 additional work we need to do and understand. There is a
6 lot of reality that we're going to have to deal with. If we
7 really, you have an order 784 I believe which has some
8 principles? Well, let's make sure that we can satisfy those
9 principles and that would be a prerequisite.

10 As John was saying and I touched off a little bit
11 is I think we should be taking a look at the cost not just
12 for these competitive projects but the ones that aren't
13 because as a transmission planner, even when we plan them,
14 we don't know. They are fairly broad cost estimates. You
15 can see costs coming in either higher or lower dependent on
16 the situation.

17 COMMISSIONER CLARK: Craig.

18 MR. GLAZER: Yes, just thinking about this. I
19 think it's a great question. When you think back to the old
20 days, when did cost caps get resolved, they got resolved in
21 settlement conferences probably down the hall here as part
22 of a rate case. It was negotiated. It was part of the deal
23 "Okay, I would do a cost cap."

24 Now what's happened is we've sort of moved that
25 up and we've made it part of the selection process. that's

1 not a bad thing to do but as part of that we're also
2 eliminating other projects that might have come because we
3 chose Project A because we the RTO liked it's cost cap. The
4 problem is what about all those people who were in that room
5 before that still want to get their bite at the apple that
6 are kind of not there anymore but they want to be there so I
7 think we've got to come up with some newer processes.

8 I don't think you would go back to the old days
9 but I think we're merging something of "wait, get to the
10 rate case, do it down the hall in the settlement conference"
11 versus "if we're going to push it up in the selection
12 process, give everybody their say through some kind of
13 process". On the other hand, don't let the selection
14 process turn into a rate case on the other hand. That's the
15 rub here.

16 So maybe it's like we suggested, maybe just in
17 close calls where the selection is actually coming down
18 through the cost cap. Which isn't that many quite frankly.
19 There are lots of other reasons to exclude projects, make
20 choices before we even get to the cost cap but in those
21 where it's a close call, maybe those ought to come with some
22 kind of mini process here so all the people that were down
23 the hall can get their say before it's a fait accompli.

24 COMMISSIONER CLARK: Raja?

25 MR. SUNDARARAJAN: Commissioner, to your point.

1 We actually view the price caps element to be, I believe
2 that the Commission can clarify to the extent
3 cost-containment mechanisms are considered in the selection
4 process be limited to capital costs as opposed to cost of
5 capital. I think that will go a long way. Because in our
6 opinion right now there's mixing and matching of issues.
7 One of the capital cost which is actual cost of the project
8 and the cost of capital being the cap structure, the ROE,
9 the cost of debt, those get into the fixed APRR and along
10 the O and M costs.

11 COMMISSIONER CLARK: Yes.

12 MR. SUNDARARAJAN: I think that fundamentally
13 poses a different set of issues which is different from the
14 capital cost of the project. Capital costs of the project
15 can be allocated through vendor negotiations or contracted
16 with suppliers albeit it has its own issues surrounding it
17 but that issue is much, much smaller than comparing two
18 entities ROEs. One with the settled rate and one entity
19 wants to live with it at ROE for the next 40 years. Another
20 entity with a floating ROE, somebody's got to forecast what
21 the capital conditions will be and the cost of equity will
22 be over 40 years. Good luck. I mean what the Brexit is for
23 lack of a better word.

24 (Laughter)

25 But my point being is I think to the extent the

1 Commission can clarify that the RTOs when they make a
2 selection be limited to capital costs as supposed to cost of
3 capital. In my opinion the MISO SPP forecast of APPR
4 becomes a much simpler equation because then the arc in the
5 ROE doesn't come into the mix, the actual cap structure
6 doesn't come into the mix. A lot of the issues that are
7 being negotiated through incumbents versus non-incumbents
8 issues, doesn't come into the mix because the ROEs are
9 present. The ROEs are a nonfactor for selection and the cap
10 structure is a non-factor for selection. So I will actually
11 you know, that's the one thing that we would like to propose
12 is to the extent the Commission can clarify that and they
13 will.

14 COMMISSIONER CLARK: Thank you. That's helpful.
15 John?

16 MR. CUPPARO: On the longevity issue, I wonder
17 how much you can bind future Commissions? I mean just what
18 you're trying to do right now, I'm surmising that you know
19 kind of changed a regulatory paradigm today because of all
20 the changes in the economy and the technology compared to
21 what took place maybe ten years from now. Ten years from
22 now people sitting over here may want to undo what you're
23 trying to do today. So you need that regulatory flexibility
24 and I'm pretty sure the Federal Power Act was a masterful
25 document given when it was written and how it was written it

1 has that flexibility in it and if it's not it should be in
2 there.

3 COMMISSIONER CLARK: Raj?

4 MR. ADDEPELLI: Initially starting off with just
5 limiting the cost containment to the installed cost to the
6 up-front cost is fine but we've got to be careful about
7 developers seeking significantly enhanced returns to
8 compensate that risk on the other side that consumers may be
9 net worse off. So it gets a little bit more complicated but
10 that could be a first step before we are going to maybe
11 getting a fixed revenue requirement for a period of time.

12 COMMISSIONER CLARK: Terry.

13 MR. HARVILL: I think, just responding quickly to
14 that. I think that what that does is it puts it in the
15 proper forum for the Commission to make that determination
16 so that if a project that a developer has proposed is indeed
17 riskier for whatever reason, it's then up to the Commission
18 to make that determination and say yes there is enhanced
19 risks so there should be an enhanced return associated with
20 that. It also addresses John's concerns about incentives
21 and whether actually you need an incentive for that type of
22 a project because I do think there are going to be
23 situations where there are projects that are attractive
24 enough to a developer or a group of developers such that you
25 know, they're going to be bidding as aggressively as they

1 can.

2 If developer number one doesn't want the project
3 because of a Commission determination there is probably
4 going to be 2 or 3 more standing by to take its place.

5 COMMISSIONER CLARK: Thanks for all the very
6 thoughtful responses. The second part of discussion which
7 we got into really did intrigue me when ITC had the PDO that
8 was before the Commission. I thought ITC really raised some
9 interesting points with regard to the asymmetry that you
10 talked about, Terry. That probably just wasn't the right
11 venue to vet all of these things out. Having this kind of
12 tech conference I think does help a lot in trying to
13 understand and come to grips with what a change in
14 Commission policy would be and how it could be effectuated
15 so thanks to everybody.

16 CHAIRMAN BAY: Thank you, Tony. Cheryl.

17 COMMISSIONER LEFLEUR: Thank you, Norman. I know
18 I'm supposed to ask questions and I will but I want to start
19 with an answer, at least to try to answer a question that
20 John Hughes asked. I think you're absolutely right that
21 under a cost-of-service regime regulators are supposed to
22 look and try to make sure that cost control was applied and
23 that costs that go through are prudent and that things are
24 used and useful and etc, etc, etc. That's what cost of
25 service regulation is all about. The premise of Order One

1 Thousand which the majority of Commissioners agreed with at
2 that time was that if we inched this competition there might
3 be savings for customers and better projects come out to try
4 to use those competitive forces than cost or service. That
5 was the premise, which we have freedom of thought in this
6 room and freedom of thought in our dockets. Not everyone
7 has to agree with that, but it's striking to me in the last
8 panel we were in love with cost caps.

9 (Laughter)

10 We had two regions that have done most of the
11 competitive bidding extolling how good it's been for
12 customers and several developers and now that we're talking
13 about paying for them --

14 (Laughter)

15 The ardor has dimmed very considerably on this
16 panel.

17 (Laughter)

18 With that, my first question, I want to come back
19 to the timing question that I think Craig teed up so you
20 have in the old bidding trends, doing a transmission project
21 they either have a formula rate or they would come in for
22 incentives or ROE or some clarification but they would know
23 they were doing the project and then we would just evaluate
24 the project vis- -vis the company.

25 Now you have a process where developers be they

1 incumbents or non-incumbents are trying to bid in to say
2 "this is what I need to build this project" and if the rate
3 case or whatever it is that the Commission follows you have
4 a timing mismatch between people being able and I'm
5 interested if you think there are things, any of you think
6 there are things that we can do to address that be they more
7 generic clarification on some of the non-ROE incentives,
8 abandonment and quip; I think that was teed up in some of
9 the comments whether it's some kind of quickie process to
10 weigh in on things or holding something in advance because
11 obviously you can't have somebody bidding or it seems
12 illogical to have somebody bidding in and saying "give me
13 this thing, I can do it for this price" and then coming to
14 the Commission and saying "I just took so much risk. Give
15 me more money". I mean that's obviously a circle, so
16 comments?

17 MR. GLAZER: Two I'll raise. One is I think
18 there's no perfect answer here, but I think two ways to sort
19 of manage the problem. There's one point that I think Raja
20 from AEP raised which is at least in the selection process
21 if we limited it to capital costs, construction costs, that
22 would at least bound the problem instead of the RTO taking
23 testimony on what the future ROE is going to be 40 years
24 from now and making prognostications.

25 So I think that combined then with, and again,

1 this is not every case. Some, what I call it, a declaratory
2 judgment action, some way we can come to you for a
3 resolution just on the cost cap, say it's two competing
4 proposals and exclusions which are half the battle is just
5 what's excluded from the cost cap, never mind what's in the
6 cost cap. I think those two might help to sort of bound the
7 problem. Then later there will be a rate case. People can
8 fight about ROE and incentives and all that.
9 They're still parts of the project but at least we've
10 isolated the competitive selection process to something
11 that's a little more manageable.

12 COMMISSIONER LEFLEUR: But I thought in that case
13 you were coming forward not to get some rate clarity from
14 the Commission but just getting a Commission imperator on
15 the selection you know to avoid later dispute. So is in
16 that hypothetical you just said was there ever any actual
17 rate issue we'd have to --

18 MR. GLAZER: It would be in review of the cost
19 cap and the exclusions to the cost cap and whether those are
20 reasonable. So it's not the ultimate rate.

21 COMMISSIONER LEFLEUR: Okay.

22 MR. GLAZER: You will need a lot of due process
23 for the ultimate rate but at least eyeballing it and again
24 the exclusions are as much a big deal with this as the
25 actual number because people can low-ball the number and

1 have lots of exclusions.

2 COMMISSIONER LEFLEUR: And if we were to say
3 because of this timing issue that we don't want any fixed
4 rate you know all-in proposals anymore. Those are the ones
5 where PBR in the UK and some states that Tony referred to if
6 you do it for less you keep the money, if you do it for more
7 you lose the money. Do you think we're leaving value on the
8 table for customers if we say "don't put any of those
9 proposals. We don't want to hear those. Strictly limit
10 yourselves to capital costs."

11 MR. GLAZER: Commissioner, great point. Let me
12 clarify. I think there still is an avenue for those. Those
13 would come in the rate case itself, the settlement
14 conference down the hall is the rate case.

15 COMMISSIONER LEFLEUR: You would have already
16 chosen the project.

17 MR. GLAZER: I would have chosen the project
18 based on the capital costs but in the question of what's the
19 right rate if the developer wants to offer a fixed rate
20 revenue requirement to just end the litigation that's great.
21 That could happen so I'm sort of separating out that part of
22 the negotiations from the actual selection because I've got
23 to get some projects.

24 COMMISSIONER LEFLEUR: Economically you would
25 think they might bid lower if they had some upside potential

1 as well as downside but I mean maybe that just doesn't fit
2 in the timing.

3 MR. GLAZER: What I'm into is relatively
4 uncomplicated what is already a complicated and
5 time-sensitive part of the process.

6 COMMISSIONER LEFLEUR: Lots of cards are up.
7 Raj?

8 MR. ADDEPALLI: It seems to me for a developer to
9 put in a bid and take risks on the installed costs, not
10 knowing what it is that the Commission is going to give them
11 in incentive returns seems a little bit not having accurate
12 information for putting in the rate bid. So this is a
13 tricky issue perhaps but the developers should get some
14 guidance ahead of his bid into the RTO ISO projects as to
15 what cap structure and what kind of returns he should expect
16 for this kind of a project.

17 To the extent of project parameters are well laid
18 out is to what is the cost containment? Is it 100, 0, 80,
19 20, 50/50? What are the exclusions and all of them are
20 known perhaps the Commission would be in a better position
21 to judge what is a risk and make a decision on the allowed
22 returns and caps structure.

23 COMMISSIONER LEFLEUR: We've certainly had
24 non-incumbents coming in and say "give me some going in
25 accounting so I can bid" and we seem to be dealing with

1 those, but not specific project funds. Terry, I don't know
2 who's next. Raja. Whoever had it, I didn't look at the
3 order.

4 MR. SUNDARANAJAN: From our point of view, and I
5 think we are the ones who kind of ask for some up-front
6 clarity on incentives for competitive projects, primarily
7 the non-ROE incentives because we understand the issue of
8 ROE incentives because those are: A. project specific; B.
9 that you know at the end of the day, we understand. These
10 are cost of service based projects and to that extent we are
11 putting cost-containment mechanisms we can tailor the cost
12 containment mechanisms more finely if the up-front clarity
13 of incentives, especially non-ROE incentives are obtained
14 from.

15 There are two reasons associated. The one is you
16 know, given the fact that the non-ROE incentives not only
17 provides benefits to developers, it also provides benefits
18 to rate-bearers and there is you know Quick and Abandonment
19 have provided that certainty to both the rate-bearers and
20 developers which might disagree with me.

21 But the second aspect is the fact that the
22 non-ROE incentives is can be more generic. You can come up
23 with the criteria for a list of projects that will be more
24 applicable for a non-ROE incentive so that the paperwork
25 ruling on a project that the project makes might be

1 cumbersome and especially for a sponsorship-based model? It
2 becomes even more cumbersome in those cases. The idea
3 itself is totally different. I don't want to reveal the
4 idea to the Commission because then what good would the idea
5 be?

6 That other issue is with the sponsorship based
7 model that makes it even more complicated. When I'm
8 proposing a cost-cap in cost-containment mechanism along
9 with the idea itself. So that's why we kind of, when we
10 thought about it and sat down and said what is the
11 incremental step that the Commission could take and we felt
12 that the non-ROE incentives at least coming up with some
13 criteria for undefined and non-ROE incentives up front, the
14 competitive process would go a long way, in terms of this.

15

16 MR. HARVILL: In my original prepared comments I
17 noted one of the important factors for the Commission to
18 consider is the integrity of the process. From an ITC
19 perspective you know, we weren't an advocate for the
20 refusals so we recognize that's what the Commission's policy
21 is today. We can operate under a sponsorship model, we can
22 operate under a competitive bidding model. There's a
23 variety of ways that we can compete. I think the real issue
24 here is we're trying to put our square peg into a round
25 hole. We're trying to apply competitive forces to a

1 regulative process.

2 In doing so, you know most competitive processes
3 as you said this is the lowest bid, the lowest bid wins.
4 But what we're proposing to do here is this is the lowest
5 bid and if you don't like the lowest bid well in three years
6 you can come back and complain about it. You know, I looked
7 to the generation side of the electric sector. We have a
8 long history of approving PPAs through our competitive
9 procurement process. There doesn't seem to be a history
10 though of second guessing our decisions or the Commission
11 decisions in that. We approve PPAs for 5, 10, 15, 20 years
12 and essentially those are held to a standard.

13 So as we sit here today I struggle with not
14 taking away the flexibility of the RTO because I think what
15 PJM has put in places is functionally workable. I think
16 what California has done is workable too. The jury is still
17 out on SPP and MISO because they are still in the early
18 stage of this process. but I don't think we can wait
19 because we do have competitive projects that are being
20 advanced and if ultimately we are waiting for a point in
21 time in the future to make a determination as to what's
22 worked and what hasn't worked I think what you're going to
23 see is the robustness of the opportunity here to fall away
24 very quickly.

25 COMMISSIONER LEFLEUR: Ed?

1 MR. TATUM: Thank you, Commissioner. I just
2 started off saying building on what Craig started us off
3 with, the capital costs and I like Terry what you said. We
4 are trying to see if we can do a competitive environment
5 with a regulated asset. I go back to it. You've got your
6 actual cost, you're covering your debt and you've got a
7 return on equity that's set by the Commission. That's
8 pretty good business and actually people are seeing a lot of
9 that as we speak. As you listen in on the earnings reports
10 and focusing where our strategy for growth is to invest on
11 transmission and putting dollars behind that.

12 So it really comes up to do we really need
13 incentives at all? Which is as what I raised in my opening
14 comments. But going back to I think the matter of price
15 caps and those I think certainly there's a place for that
16 but as far as upfront information I think the more is better
17 and we could say okay. Maybe we do have a sponsorship model
18 and I like when the gentleman from California was talking
19 about it but he comes to the table and all of a sudden
20 there's one project and then folks start going to focus in
21 on that.

22 When you have an ability to compare apples and
23 apples, then all of a sudden you are getting some
24 competition there. You are still getting questions, do you
25 have enough and back and forth. But then you take that

1 additional information with information we're already
2 capturing. As I talked about before, the estimated just
3 general cost. What does it cost to construct something?
4 Trying to track these things on a continuous basis to make
5 sure that the last time somebody built a 230 KB line it came
6 in I don't know, I'll make up a number, 1.2 million dollars
7 a mile for a certain conductor size. Those types of
8 metrics.

9 I think those are the opportunities where we can
10 really move forward and take a look and see whether or not
11 we can really move forward and the benefit of price caps for
12 transmission.

13 COMMISSIONER LEFLEUR: Yes, John.

14 MR. CUPPARO: I just wanted to reinforce the idea
15 that transparency is an important part of some of the
16 comments that are made in any decision that might come
17 before the Commission and we would encourage similar to the
18 comments that were made on the last panel and I think
19 Commission Arnold has said I don't want to be heavy-handed
20 and so putting more guidance up front in terms of how are
21 the regions evaluating these bids and what's being valued?
22 Whether that be a capital cost cap or a revenue requirement
23 but that's clear. Not necessarily dictating one way or the
24 other as well as what is considered a traditional set of
25 exclusions so it's pretty clear what would come under

1 scrutiny if that were to be the case.

2 There are typical things like force majeure and
3 change in law versus broader exclusions that might be used.

4 COMMISSIONER LEFLEUR: I mean, I think there's an
5 underlying assumption in a lot of the comments that we're
6 going to act like we're choosing projects by competition and
7 then still treat them like old-fashioned cost of service
8 projects but I thought the generation analogy was apt.
9 Generation under the Federal Power Act used to come in and
10 get rates changed. If something went wrong with your power
11 plant you just came in and told FERC and got more money.
12 Now we seem to have no trouble holding generators to
13 long-term rates and long-term contracts and the market
14 decides what they get.

15 Is there a level of competitive integrity?
16 Whether it's the 784 standards or something else that we
17 would be able to look at transmission owners that way
18 because they reinterpreted the Federal Power Act for
19 generation and said yes, you have fixed cost. I mean, will
20 we ever be there?

21 MR. CUPPARO: I think I would agree with Terry's
22 comments and how you interpret that, Commissioner LeFleur
23 that there is a history and it's on that precedent that
24 we've done complex bidding at a lot of different areas of
25 our businesses and I think that model applies. I think

1 there's a maturity in terms of the process and so guidance
2 in terms of the maturity of the process will be helpful, not
3 that we won't get there.

4 COMMISSIONER LEFLEUR: We'll just down and then
5 I'll shut up. Terry?

6 MR. HARVILL: I think there is, again it goes
7 back to the rebuttable presumption that was raised earlier.
8 You know, if the Commission deems that a competitive process
9 is indeed competitive by evaluating a number of factors, how
10 many people actually competed for the project and I think
11 most importantly is the fact that the RTO's for the most
12 part are experts in transmission planning. That being said,
13 I think every project has a cost estimate that the RTO has
14 done. Sometimes they release that publically. Sometimes
15 they don't. But they're going to know whether or not a 60
16 million dollar project that's coming in 80 million dollars
17 with it only being two developers is indeed competitive
18 because they're doing their own homework.

19 Or in the other cases, if a 60 million dollar
20 project comes in at 30 million dollars. So I think there
21 are ways that you can evaluate that but I think ultimately
22 it's up to the Commission whether it's a 7-day -- or
23 something else, I think it's there.

24 COMMISSIONER LEFLEUR: John?

25 MR. HUGHES: Generation is a lot more tangible

1 than transmission and so if my members know what they're
2 getting from generation they don't know what they're getting
3 from transmission and especially transmission that's sort of
4 connected with all the big, heroic changes that the industry
5 is supposed to be making in the next few years for reasons
6 for which society is very much divided on. So I think
7 that's part of the problem. Add to it cost allocation.

8 I know that's not really on the table here but my
9 members are more concerned about cost allocation than how
10 the projects are selected and the cost allocation they
11 believe is a disaster with transmission. It hadn't really
12 been so with generation.

13 COMMISSIONER LEFLEUR: Thank you. Raja?

14

15 MR. SUNDARANAJAN: We actually view the PP
16 analogy to be a little bit different for the transmission
17 space given the fact that we actually think that when Order
18 One Thousand was created it was not trying to discriminate
19 incumbent and non-incumbent. The PP analogy mostly you have
20 the long-term PPA rates are under the market base authority
21 that the Commission is granted but I don't know how that
22 will translate with an incumbent which is actually bidding
23 for a competitive project that adds both the cost service
24 rate and the market based rate. There may be other
25 clarifications that the Commission needs to provide if at

1 all. We view that fundamentally differently and that's way
2 that at AEP we actually believe the fixed revenue
3 requirement space gets into a lot of issues that I don't
4 know if the Order One Thousand was contemplated on.

5 COMMISSIONER LEFLEUR: That's a good point. Ed.
6 We will give you the last word.

7 MR. TATUM: Thank you Commissioner. That's
8 scary.

9 (Laughter)

10 I appreciate the question and you know as I
11 listen to it being formulated I just kind of went back to
12 where we first got going when we started putting LNP in and
13 having competitive markets. The premise there is that we
14 would have generation that was indeed competitive and we
15 said "oh, how are we going to do that? And then we said
16 "okay, well we're either going to spin you off into an
17 independent company" and back and forth. We didn't make
18 folks divest. But what we did say is we're going to have
19 open access transmission and we've got to go on with all the
20 orders, 88 and on up to today.

21 Transmission has always been that regulated asset
22 that makes markets happen. We have competitive markets that
23 supply demand curve and you have whatever, I can't remember
24 the five principles but you want lots of buyers with lots of
25 sellers. How do you do that? Well you have transmission.

1 You want low or no barriers to entry. Well, we have to have
2 transmission to make all that happen. Terry Boston used to
3 say "if you like wind, you like transmission. If you like
4 solar, you like " he liked transmission.

5 It made all the things happen and so I appreciate
6 what you are saying about whether or not transmission can be
7 in the competitive space that resources are. I would say
8 "no". However that doesn't mean that the premise of Order
9 One Thousand by getting a little bit more folks into the
10 transmission game is not a bad idea but it's again public
11 power guy, you got your actual cost. If you're getting an
12 overall rate of return of 8 percent a year or whatever
13 that's a pretty good investment nowadays and that kind of
14 goes with covering your debt and covering whatever return on
15 equity is.

16 Getting more competition there is helpful.
17 Public power guy, I've got to say letting public power get
18 in and build some of these lines I think would be very, very
19 helpful for competition. Thank you.

20 COMMISSIONER LEFLEUR: Thank you very much.
21 Norman?

22 CHAIRMAN BAY: Thank you, Cheryl. So I'd like to
23 do a little bit of a drill-down into the rebuttable
24 presumption and Raja had suggested that one way of thinking
25 about the rebuttable presumption is that perhaps it would

1 only apply to capital costs as opposed to the cost of
2 capital. By cost of capital you mentioned that would
3 include the ROE. Is that what, John, is that what you and
4 Terry, is that what you're advocating for or do you want ROE
5 to be included within that rebuttable presumption?

6 MR. CUPPARO: We're not, I guess I'm not
7 advocating the exact same position. I think my comments are
8 more general than that. Or we could be part of it but what
9 should be clear is that's actually being evaluated as part
10 of the process so that you know how that's going to be
11 treated on the back end and you're taking a position against
12 that. If the region perceives that there is tremendous
13 value in that then it's clear that's how we're, the bids
14 being evaluated versus strictly capital costs so our
15 position is not directly aligned with what Raja laid out.

16 CHAIRMAN BAY: Okay. Terry?

17 MR. HARVILL: Yes, I think similarly. Again it
18 goes to the formation of the Order One Thousand process by
19 the RTOs and they've all chosen a different path. I think
20 what Raja has proposed would work in certain circumstances
21 but again I think to John's point you know certain regions
22 have a perceived value associated with including ROE and
23 other components of the bid. You know, ultimately it's up
24 to you to make that determination as to whether or not you
25 feel that that's an important part of the overall bidding

1 process.

2 CHAIRMAN BAY: The other question I have is, just
3 so that I'm clear on this, when you talk about a rebuttable
4 presumption, how strong would that presumption be? In other
5 words, what kind of showing would be needed to overcome that
6 presumption?

7 MR. CUPPARO: So we did lay out a series of
8 criteria in our comments and realizing that this is one step
9 and probably multiple, in the first step maybe a policy
10 statement or guidance that said "here's what the Commission
11 would be looking for against the rebuttal. Presumption
12 would be the burden of proof that somehow the process did
13 not meet that criteria that it was flawed in terms of
14 qualified number of bidders that the criteria was
15 consistently clear across the entire bidding community and
16 that the mechanisms to evaluate the bidders were clear on
17 the front end so during the RFP process there is actually
18 clarity in terms of what's going to be valued and how it's
19 going to be scored. And so --

20 CHAIRMAN BAY: The examination would be to the
21 process only then? It sounds like that's what you're
22 saying.

23 MR. CUPPARO: Yes.

24 CHAIRMAN BAY: And would it be harder to do that
25 in an RTO that uses a sponsorship model where you're looking

1 at many different kinds of projects all meant to address a
2 certain kind of need? Is the competition as robust when
3 there are a variety of factors that are being examined by
4 the RTO, which uses its best judgment to select the project
5 that best addresses the particular need?

6 MR. HARVILL: I think that, at least in my
7 perspective, I think that shifts a bit of the burden on the
8 RTO because from an ITC perspective I think that rebuttable
9 presumption falls on the RTO to essentially have them make
10 the best decision as opposed to it being on the developer
11 itself because they're going to submit the idea but
12 ultimately they are going to choose based upon.

13 CHAIRMAN BAY: Okay and I think I know where
14 Craig is going to be going on this.

15 (Laughter)

16 No go ahead Craig.

17 MR. GLAZER: Yes, you know it's a double-edged
18 sword. I mean on one hand yes it would be great to have all
19 this discretion and deference. On the other hand I say to
20 myself well, wait a minute. Wait a minute. Now, suddenly
21 my decision has all these ratemaking implications.

22 CHAIRMAN BAY: At the litigation in part?

23 MR. CLARK: Yes, I mean we're at 2,000 and set up
24 RTOs told me to do planning, didn't tell me to do
25 rate-setting so that's where it's an added burden on the

1 back that I'm a little bit worried about.

2 CHAIRMAN BAY: John?

3 MR. HUGHES: Rather quickly. I think I share
4 John's view on this and I think a rebuttable presumption is
5 maybe a long-term wish. I think it's only credible when all
6 the stakeholders believe the whole process is very credible
7 and competent and they trust it going forward but you're not
8 there. I mean you're really not there right now. So I
9 think my being takeaway from today so far has been this
10 concern about putting all these ratemaking issues out there,
11 outside of the hearing room and putting in a part of bids in
12 their review process by the RTOs for these projects. I know
13 with my members that's not going to fly.

14 CHAIRMAN BAY: You know if the 784 criteria were
15 met, would we be there?

16 MR. HUGHES: I'm sorry?

17 CHAIRMAN BAY: If the 784 criteria were met,
18 would we be there? That is if the process was transparent,
19 that there was real competition, that there was an
20 evaluation oversight and a definition?

21 MR. HUGHES: Those are nice words but I'd like to
22 see it in practice first.

23 CHAIRMAN BAY: Raja.

24 MR. SUNDARANAJAN: Yes, I think Chairman, I think
25 you identified the issue becomes significant more

1 complicated in a sponsorship model. In a sponsorship model,
2 the evaluation becomes not only the idea plus also the
3 cost-containment elements it's kind of difficult to know how
4 much role the cost containment actually played in the
5 selection process. But that issue is obviously in our
6 opinion at least the fact that all aspects of rate-paying
7 should be done after the selection. That's why we
8 understand all cost caps and are recurrent but what are the
9 framework?

10 But even in a bid-based model, how do you
11 attribute to an entity that has a right-of-way and has a
12 significant edge over other entities? And what the
13 selection process was primarily because of the fact that the
14 entity had the right-of-way and that was the reason why the
15 entity was selected for the project and true when a cost cap
16 associated with it which has maybe a little teeth to it, but
17 how do you make that an abutable presumption because
18 they're -- you know, even the bid-based model you have
19 issues and instances where cost is predominantly maybe it's
20 not the right reason why the project was selected and be
21 what the entity was like.

22 We actually have multiple issues for getting to
23 the rebuttable presumption argument and that's why we
24 proposed what we proposed.

25 CHAIRMAN BAY: Ed. You're smiling Ed.

1 MR. TATUM: Well, I am and I'm going to ask you
2 for my answer here, please assume that I've gotten over the
3 idea that the Federal Power Act says it's okay. But that
4 being said, what we would really be going for here is to
5 determine if there is really a direct, price-based
6 competition among parties to build the same transmission
7 project. Then the other part of that, which would actually
8 force prices towards marginal costs. So that would be the
9 economic three running behind that.

10 Now, how are we going to do that? And as Raja
11 said that the sponsorship model makes it kind of different
12 because we've got apples to pears and back and forth
13 comparisons. Now, if we're actually comparing a bunch of
14 different 115 KB or 345 KB lines we might be closer but
15 we're still not certain because there are additional things
16 that an incumbent may have over the non-incumbent.

17 In answer to your question to John, 784
18 principles, no those are good principles. Those are good
19 guiding principles. Perhaps there's a way to work with them
20 in conjunction with some principles you all put out under
21 order 890 that might feel some benefit there. So I'll leave
22 you with that.

23 CHAIRMAN BAY: Thanks Ed. John?

24 MR. CUPPARO: Our assumption is that under a
25 sponsorship model that again the weighting of the cost, I

1 think which is kind of in the central theme is appropriately
2 accommodated for and that would be clear up front so you
3 know that it's not just the only component that a project is
4 being revisited and evaluated on. It could change project
5 to project or type of project so making sure that that's
6 clear up front may be important in both models. Also
7 recognizing that we do see this as a maturity thing that
8 you're taking steps, that we don't go from where we are
9 today to you know completion and then the next step with
10 guidance and clarity around some of those principles would
11 be important.

12 CHAIRMAN BAY: So I have one other question about
13 the rebuttable presumption. How long should it last?
14 Should it be over the entire useful life of the asset which
15 could be 40 or 50 years or could it be a shorter period of
16 time? Five years, ten years; something that provides
17 greater regulatory servitude but at some point ends. You
18 know, going to your point Terry about PPAs I mean you
19 mentioned PPAs having a term to five years or ten years,
20 maybe fifteen years. There probably aren't many PPAs of a
21 40-year term and so the counter argument is going to be from
22 consumer groups is going to be you're locking in consumers
23 to a really big bet and is that really necessary?

24 Maybe we need the contract you know, maybe that
25 should be enough? But now you want to sweeten it but it

1 doesn't have to be for the useful life of the asset if it's
2 a 40 or 50-year period.

3 MR. HARVILL: I think I would start with the fact
4 that when bidding a project from constructing a project,
5 financing that project over the course of its useful life of
6 40 years so I'm not going to go out and get financing for a
7 transmission project for 10 years or for 15 years. It's
8 going to be for the life of that project. So that's the
9 foundational issue. I guess my question back to you would
10 be what is going to materially change over the course of
11 that 30 or 40 year period that's going to justify going in
12 and changing the capital structure of the ROE or the other
13 components that have been subject to a cost-containment or
14 some type of price cap associated with that.

15 So if I'm going in and I bid and I'm the lowest
16 cost developer that actually wins the project, ultimately
17 what could happen in the future that would cause the
18 Commission or the consumer to have concerns that essentially
19 we're over-earning or we're not doing what we're supposed to
20 be doing on that project. So that's what I struggle with is
21 that you know we're opening this up because we don't know
22 what the future may hold but at the same time I can't
23 predict today what that would actually be. So I actually go
24 back then to how I actually get that project built in the
25 first instance which is financing over the course of its

1 life.

2 CHAIRMAN BAY: But isn't, this is in response to
3 you that what you could do is that instead of offering a
4 proposal with a cost cap you offer one without a cost cap,
5 which is going to go through all the process that John
6 Hughes over there, you know, wants that project to go
7 through, right.

8 MR. HARVILL: Right, you could and I would
9 hearken back to the fact that it seems we're on a trajectory
10 at least in the Order One Thousand competitive process that
11 there seems to be some benefit associated with having a cost
12 cap in place. So without that you're going to be
13 disadvantaged in the process.

14 CHAIRMAN BAY: Craig.

15 MR. GLAZER: Just very quick. I'm not a fan of
16 the rebuttable presumption but if you just limit it to
17 construction cost, you'd solve that problem that you've just
18 raised. Because that's obviously a static fixed time so
19 that would solve that problem, at least make it simpler.

20 CHAIRMAN BAY: John.

21 MR. CUPPARO: Just a comment on the cost cap, in
22 SPP as an example in their recent bid, a cost cap didn't
23 actually guarantee you getting the project realizing that
24 they've got a bit of the sponsorship into their process but
25 you could actually see in terms of their report how much a

1 cost cap may be valued versus an uncapped bid so I think
2 those are also important transparency items that would help
3 with this issue.

4 CHAIRMAN BAY: Clearly that has been a theme that
5 we've heard today that transparency would be helpful for
6 transmission developers. Ed.

7 MR. TATUM: We have a lot of projects already
8 under competition, competitive development, absent of
9 rebuttable presumption. Transmission is a good business.
10 We don't think we need it at all. The other point I wanted
11 to raise is I think we seem to think and we might believe
12 that cost caps where competitive transmission has benefitted
13 consumers, at this point I don't think we have any empirical
14 evidence to that. We have a hope and we understand that it
15 might be the case but that's not a certainty.

16 CHAIRMAN BAY: Thank you. Colleagues, any other
17 questions for follow up?

18 COMMISSIONER CLARK: Let me just ask a really
19 quick question for follow up for anybody who wants to jump
20 in on this. I thought Raja hit something right on the head
21 that I've been thinking about for a while which is this
22 issue of sponsorship versus competitive bid in relationship
23 to cost containment measures like fixed revenue
24 requirements. Is it, I think it's pretty self evident that
25 it's tougher in the sponsorship model to try to get your

1 head around how it works but I'm curious if folks have an
2 opinion of whether, is it simply more difficult in a
3 sponsorship model as compared to a competitive bid model or
4 is it just so difficult that it's almost precluded. We
5 don't even want to spend a lot of time thinking about it?
6 Is it so tough that it's too tough to even get your arms
7 around?

8 MR. SUNDARANAJAN: Commissioner, we actually
9 think that it's fundamentally difficult on a
10 sponsorship-based model than in a bid-based model because in
11 a bid-based model first of all I think the concept that we
12 are more familiar with is the MISO and SPP region which is
13 predominantly Midwest and you know the project and you have
14 a good six months to put in a bid.

15 In six months you could do siting studies,
16 preferential route studies, potentially look at some Geodex
17 studies to see what rock formations are there. To see what
18 can be actually built and then you basically have a lot
19 better scope on the project in the six months by the time
20 you actually put in a bid that is meaningful with a
21 cost-containment that is real. In a sponsorship model, you
22 have four months to come with not only the idea, now you're
23 asking the developer to come up with A) a potential idea
24 that has we have no idea whether it's going to succeed at
25 the end of the day; B) put in more dollars in terms of

1 scoping the project, doing route studies, Geodex studies
2 that becomes significantly more difficulty for a developer.

3 In our opinion that is one of the main reasons
4 why a sponsorship based model, even though it's great in
5 terms of generating ideas but doesn't lend itself to other
6 rebuttable presumption concepts.

7 COMMISSIONER CLARK: Anybody else?

8 MR. TATUM: Raja talked about the developer's
9 side of it from the customer or the regulator's side of it
10 define and how do we evaluate these various different
11 solutions? You know you can get the Geotech studies and
12 back and forth it's just a limited timeframe you still can't
13 get it all done. But then to really assure that we have all
14 these projects, enough projects that are driving that
15 marginal cost down but they are completely different. I
16 think that makes it even more complicated.

17 COMMISSIONER CLARK: Yes, thanks. I mean, in
18 folks who come through my office I hear all the time the
19 same thing that I've heard here today which is "we didn't
20 get the model to work." And you hear good things about
21 either one if they're structured properly. It doesn't
22 necessarily mean that everything that we could come up with
23 in terms of potential regulatory solutions fits equally with
24 each model and I think we're sort of finding that out.

25 HONORABLE: Thank you, Mr. Chairman. I have a

1 very brief comment, just to thank the panelists. You've
2 been very thoughtful. I think we've observed that you've
3 also stretched a bit to be creative.

4 (Laughter)

5 Raja, you in particular, willing to branch out
6 from your colleagues with thinking about ways that really
7 embrace a broader stakeholder base. I greatly appreciate
8 that because through this effort we can find solutions.
9 Maybe they're not perfect but their better and they will aid
10 us in ultimately getting the transmission built that we need
11 so I just wanted to thank you. This was a robust and
12 wonderful panel.

13 CHAIRMAN BAY: I'd like to thank all of our
14 panelists today for our second panel. I really appreciated
15 your remarks. Very thoughtful, very helpful to us. We had
16 actually planned to bring you back tomorrow morning from 9
17 to 10 o'clock in the morning. I don't think that will be
18 necessary now. Instead we will start with panel 3 at 9
19 o'clock in the morning the Staff will reach out to the
20 members of Panel 3 to make sure that they are here but thank
21 you very much.

22 (Whereupon at the meeting concluded at 5:03 p.m.)

23

24

25

1 CERTIFICATE OF OFFICIAL REPORTER

2

3 This is to certify that the attached proceeding

4 before the FEDERAL ENERGY REGULATORY COMMISSION in the

5 Matter of:

6 Name of Proceeding:

7 Competitive Transmission Development

8 Technical Conference

9

10

11

12

13

14

15 Docket No.: AD16-18-000

16 Place: Washington DC

17 Date: 6/27/2016

18 were held as herein appears, and that this is the original

19 transcript thereof for the file of the Federal Energy

20 Regulatory Commission, and is a full correct transcripton of

21 the proceedings.

22

23

24 Larry Flowers

25 Official Reporter