

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE
FEDERAL ENERGY REGULATORY COMMISSION

- - - - - x
CALIFORNIA INDEPENDENT SYSTEM : Docket No.
OPERATOR CORPORATION : ER16-1649-000
- - - - - x

STAFF TECHNICAL CONFERENCE

Friday, September 16, 2016
Commission Meeting Room
Federal Energy Regulatory Commission
888 First Street, NE
Washington, DC 20426

The Commission met in open session at 10:01 p.m., when were
present:

- COMMISSIONER NORMAN C. BAY
- COMMISSIONER CHERYL LA FLEUR
- COMMISSIONER COLETTE HONORABLE

1 FERC STAFF:

2 VIRGINIA CASTRO, OFFICE OF ENERGY MARKET REGULATION

3 DAVID REICH, OFFICE OF ENERGY MARKET REGULATION

4 SAAED FARROKHPAY, OFFICE OF ENERGY MARKET REGULATION

5 DENNIS REARDON, OFFICE OF ENERGY MARKET REGULATION

6 KATHERYN HOKE, OFFICE OF GENERAL COUNSEL

7 PATRICIA SCHAUB, OFFICE OF ENFORCEMENT

8 CHRIS ELLSWORTH, OFFICE OF ENFORCEMENT

9 BAHAA SEIREG, OFFICE OF ENERGY POLICY AND INNOVATION

10 TOM DAUTEL, OFFICE OF ENERGY POLICY AND INNOVATION

11 ALAN PHUNG, OFFICE OF ELECTRIC RELIABILITY

12

13 CALIFORNIA INDEPENDENT SYSTEMS OPERATOR CORPORATION:

14 MARK ROTHLEDER

15 KEITH COLLINS

16 ANNA MC KENNA

17 DEDE SUBAKTI

18 SIDNEY MANNHEIM

19 CATHLEEN COLBERT

20

21 CALIFORNIA ENERGY COMMISSION:

22 KEVIN BARKER

23

24

25

1 P R O C E E D I N G S

2 MS. CASTRO: Good morning.

3 I would like to welcome everyone to today's
4 technical conference to discuss the California Independent
5 System Operator's market rules that were implemented to
6 address the limited availability of the Aliso Canyon
7 Natural Gas Storage Facility.

8 My name is Virginia Castro. I'm from the Office
9 of Energy Market Regulation. I will be moderating today's
10 conference, along with my colleagues here seated at this
11 table.

12 I do want to thank all of the participants for
13 being here with us today for what I am certain will be an
14 informative discussion.

15 For those of you that have tuned in via Webcast,
16 please take the opportunity to download the PowerPoint
17 presentations that are located in the link underneath the
18 Webcast, as well as on the FERC.gov's calendar of event.

19 Your attendance today highlights the importance
20 of this topic, and we greatly appreciate everyone for
21 taking the time and making the effort to be here with us.

22 I also would like to thank Commissioner LaFleur,
23 who is here with us this morning, seated to my left.

24 The purpose of this technical conference is to
25 provide Commission Staff and interested parties the

1 opportunity to discuss lessons learned regarding the
2 efficacy of, and the need to retain, any of the tariff
3 provisions accepted by the Commission in the order issued
4 on June 1st, as well as to discuss any potential
5 longer-term solutions that are needed to address any
6 ongoing limitations at the Aliso Canyon facility.

7 We will begin the morning session with welcoming
8 remarks, which will then be followed by a presentation by
9 CAISO and from the Department of Market Monitoring. From
10 there, we will move into the question-and-answer portion of
11 today's agenda.

12 The morning will mainly focus on the lessons
13 learned regarding the tariff provisions accepted in the
14 order issued on June 1st and any need to retain them.

15 The afternoon session will shift the discussion
16 to address any potential longer-term solutions that may be
17 necessary going forward.

18 We may direct questions to specific participants
19 in order to discover more detailed information to help
20 Commission Staff better understand the relevant issues.
21 Time permitting, we will open the floor for questions and
22 comments to the topics discussed in today's agenda at the
23 microphone located in the center aisle.

24 Although members of the public are invited to
25 participate in the conference by asking questions after the

1 floor is opened, actions that purposely interfere or
2 attempt to interfere with the commencement or conducting of
3 the conference or inhibit the audience's ability to observe
4 or listen, including attempts by audience members to
5 address the Commission while the conference is in progress,
6 are not permitted. Any persons engaging in such behavior
7 will be asked to leave the building. Anyone who refuses to
8 leave voluntarily will be escorted from the building.

9 Please note that this conference is not for the
10 purpose of discussing any specific cases. Thus,
11 participants should refrain from discussing the specifics
12 of any cases pending before the Commission to avoid any ex
13 parte concerns.

14 Also, this conference is on the record, which
15 will be both Webcast and transcribed.

16 We would like to note that this is a Staff-led
17 conference and that we, as Staff, do not speak for the
18 Commission. Anything said by Staff today does not
19 necessarily represent the positions held by the Commission.

20 We do have a lot of ground to cover today in a
21 relatively short amount of time. So with that in mind, we
22 ask that you please do your best to keep your responses
23 brief and concise. If the discussion begins to stray
24 beyond the scope of the question posed, we may interject or
25 ask permission to please curtail your comments to bring the

1 discussion back on topic.

2 I have a few housekeeping matters before we get
3 started today. First, please do not bring any food or
4 drink into the Commission meeting room other than bottled
5 water. Please turn off your cell phones and any other
6 noisemaking devices that you may have on your person.
7 There are restrooms and water fountains located on either
8 side of the building behind the elevator banks, for those
9 of you who have not been here before.

10 And lastly, we will be here for a long time. So
11 please do take the opportunity to get up as you need to.

12 For participants here at the table with me table
13 today, if you would like to be recognized to speak in
14 response to questions or comments said by another speaker,
15 please place your tent card up on its side like so, and I
16 will make note of that.

17 When you are speaking into -- when it is your
18 turn to speak, please do speak into the microphone, and
19 make sure that it is on. And when you are not speaking,
20 please do take the opportunity to turn it off to reduce any
21 background noise. Lastly, while this may be difficult to
22 do, for myself and for others here today, please do your
23 best to limit the use of acronyms and abbreviations.

24 With that, I would like to turn to Commissioner
25 LaFleur for some welcoming remarks. Thank you.

1 COMMISSIONER LA FLEUR: Thank you very much,
2 Virginia. I know my colleagues and I will be in and out
3 over of the course of the day, but I am happy to do the
4 welcome.

5 I want to start by thanking the Staff team for
6 pulling together the conference. I think it's an ambitious
7 agenda and also an inclusive format, and I'm hoping it will
8 be a very productive day. I also want to thank all of the
9 participants who traveled, not surprisingly in many cases,
10 from the West Coast on Friday to come out here, and we very
11 much appreciate your being a part of this.

12 It's, obviously, a very important topic. It
13 doesn't seem possible that a whole summer has elapsed since
14 we sat at Commission meeting with people from different
15 parts of the California government and CAISO and talked
16 about the summer ahead. We've, obviously, been watching
17 closely what was a very -- in my mind, the summer worked
18 well, but I know it took a lot of coordination and
19 monitoring to make that happen.

20 What I'm most interested in getting out of today
21 is where we go from here, both in the short term and long
22 term, and from a narrow perspective, what, if any, action
23 will be required of FERC, our Commission, to get there,
24 either in terms of market operations and rules,
25 gas/electric coordination, reliability, or anything else,

1 whether anyone has any specific suggestions or whether we
2 will have to distill that from what we here. But
3 obviously, in order to understand where we're going, we
4 need to understand the larger context and where we've been,
5 and I know that's where we're going to start.

6 I will be here as much as I can. I know my
7 colleagues will be in and out, too. Thank you very much.

8 MS. CASTRO: Thank you, Commissioner LaFleur.

9 Now we can get started with the agenda with
10 today's presentations that we have prepared.

11 (Audience disruption.)

12 MS. CASTRO: Thank you.

13 We will proceed with today's agenda for the two
14 presentations we have prepared today from Mr. Rothleder
15 from CAISO.

16 Thank you for coming, as well as Mr. Collins,
17 from the Department of Market Monitoring at CAISO.

18 But just before we begin the presentations
19 today, if we could just take a quick opportunity for the
20 CAISO and the California Energy Commission Staff to
21 introduce themselves, beginning with Mr. Kevin Barker.
22 Thank you.

23 MR. BARKER: Thank you, Ms. Castro. My name is
24 Kevin Barker, chief of staff for Chairman Bob Weisenmiller
25 at the California Energy Commission. Thank you for having

1 me.

2 MS. COLBERT: Yes. Thank you. This is Cathleen
3 Colbert. I'm a senior market design and regulatory policy
4 developer in the market and infrastructure policy group at
5 the Cal ISO.

6 MS. MANNHEIM: Good morning. My name is Sidney
7 Mannheim. I'm an assistant general counsel at the
8 California ISO.

9 MR. COLLINS: Good morning. I'm Keith Collins,
10 manager of Market Monitoring reporting at the Department of
11 Market Monitoring in Cal ISO.

12 MR. ROTHLEDER: Good morning. I am Mark
13 Rothleder. I'm the vice president of market quality,
14 renewable integration at the California ISO. Thank you.

15 MS. MC KENNA: Good morning. I'm Anna McKenna.
16 I'm also assistant general counsel at the California ISO
17 and regulatory.

18 MR. SUBAKTI: Good morning. I'm Dede Subakti,
19 director of operations and engineering services with
20 California ISO.

21 MS. CASTRO: Thank you all, and we welcome you
22 for coming here and joining us today.

23 We will begin with the presentation from
24 Mr. Mark Rothleder.

25 And if we can, please, queue up the PowerPoint

1 presentations.

2 MR. ROTHLEDER: Thank you. I want to thank the
3 Commission for convening this meeting. It's an important
4 topic to California and the West. And what I'm going to do
5 this morning is provide you a brief overview of the results
6 of the winter assessment, the upcoming winter, and then I'm
7 going to just briefly go over how the summer played out and
8 some of the things that worked well, and we'll highlight
9 those things.

10 So in terms of the winter assessment, I want to
11 point out a couple of things in comparison to the winter
12 and the summer. With regards to the gas system, SoCalGas
13 system, the maximum gas demand is actually during the
14 winter condition. Their what's called one-in-10-year gas
15 demand is about 5.2 billion cubic feet. What's different
16 about the winter versus the summer is that, while electric
17 generation accounts for approximately 60 percent of the gas
18 demand in the summer, it actually only accounts for about
19 20 percent of the gas demand in the winter.

20 So to be more specific, the electric generation
21 demand in the summer is about 2 billion cubic feet; in the
22 winter, it's about 1 billion cubic feet.

23 So the -- what we did in the winter assessment
24 was we assessed what the ability of the gas system to
25 support effectively one-in-10 gas demand was. Was it able

1 to provide deliverability of 5.2 billion cubic feet.

2 From that analysis, we then went on to analyze
3 if the gas system was not able to deliver 5.2 billion cubic
4 feet, what would be the implications for the electric
5 system in terms of potential electric reliability issues
6 downstream.

7 So through the analysis, including hydraulic
8 analysis that was performed by Southern Cal Gas -- by the
9 way, this report is similar to the summer report. It was a
10 joint report by the California Energy Commission,
11 California Public Utilities Commission, LADWP, ISO, and in
12 consultation on the hydraulic analysis from Southern Cal
13 Gas.

14 Effectively, what the analysis indicated was
15 that, first off, the one-in-10 design day level of gas
16 demand could not be supported. So 5.2 billion cubic feet
17 could not be supported without Aliso Canyon availability.
18 What the analysis then went on to determine was that,
19 assuming 100 percent utilization of the rest of the
20 infrastructure, the pipeline infrastructure as well as the
21 remaining gas storage facilities, about 4.7 billion cubic
22 feet could be delivered through the Southern Cal Gas
23 System. That assumes 100 percent utilization. Okay? That
24 100 percent utilization is unrealistic in the terms of
25 actual utilization of the system.

1 So we went through some additional analysis,
2 said what if some of the remaining facilities'
3 infrastructure was unavailable, such as .2 billion cubic
4 feet flowing reduction because of, for example, a line 3000
5 work, which is anticipated to potentially occur during the
6 winter. That will bring you down to about 4.5 billion
7 cubic feet. What if were not -- what if you didn't have
8 100 percent utilization and something more realistic, in
9 the 85 percent utilization range. That would bring you to
10 about 4.2 billion cubic feet.

11 So it's clear that there's a -- it does not meet
12 the design criteria without Aliso Canyon. That said, what
13 we then looked at is whether, if we ended up having to
14 curtail or if there was a gas curtailment during the --
15 during a high gas demand day, which is going to be a very
16 cold day in the winter, what would be the implications for
17 the electric system.

18 So from that perspective, the -- as I indicated
19 earlier, the electric system demand is not as high as it is
20 in the summer. And what we looked at is what is the
21 minimum amount of generation that's needed to maintain
22 reliability in the local areas and in Southern California,
23 across the Southern California area more broadly.

24 What we determined is that while our gas --
25 electric/gas generation demand can be as high as about 1

1 billion cubic feet, the minimum for reliability purposes is
2 somewhere in the neighborhood of about .1 or 100 million
3 cubic feet of demand.

4 And that's -- that gets into the point where you
5 have some minimum generation on for local reliability
6 criteria. Some of that may be for -- in case you need to
7 ramp up generation in the area.

8 What that does illustrate is that you have then
9 about 900 million cubic feet of ability, if you were --
10 let's say if you were economically dispatched to 1 billion
11 cubic feet, you would have about 900 million cubic feet of
12 room to absorb before you got into electric reliability
13 risk.

14 So what we determined was that, based on the
15 information or based on the gas analysis is it looks like,
16 in most cases, so long as there is sufficient supply coming
17 into the pipeline system for delivery, it looks like in
18 most cases we would be able to absorb, if there were gas
19 curtailments such that we would not be in jeopardy of
20 having to interrupt electric load to support or accommodate
21 that gas curtailment.

22 However, if the supply does not get into the
23 system or if the utilization in the system falls below a
24 certain level -- and we estimated that that's about 4.1
25 billion cubic feet -- if there was a cold day and the

1 electric/gas demand was high enough, we may get to the
2 point where almost all the gas to the electric generation
3 could be curtailed. At that point, we would be in jeopardy
4 of potentially having to interrupt electric load, or
5 alternatively, that's at a point where we would ask for use
6 of withdrawal of some gas from the remaining gas in the
7 Aliso field to mitigate or prevent electric reliability
8 issues.

9 In terms of what we learned from this is that
10 while the risk may be lower to the electric generation and
11 electric reliability in the winter, there is still a risk
12 to gas curtailments. And we've got to still be prepared
13 for gas curtailments to those electric generators.

14 And unlike the summer, we may have to absorb
15 large amount of gas curtailment, and in the winter, the
16 question is will we be able to resupply from other electric
17 supply elsewhere outside of the Southern Cal Gas System or
18 further to the west. And what we find is that we generally
19 believe that there will be supply available.

20 However, the availability of that supply
21 diminishes as you get closer to real-time. And that's why
22 we believe that one of the additional new mitigation
23 measures -- maybe "enhancement" is probably a better
24 term -- is utilizing the constraint capability that we
25 asked for for the summer and enhancing that so that we

1 could use that in the day-ahead time frame, in other words
2 limit the potential amount of gas that we would use on the
3 electric generation in the day-ahead time frame so that it
4 reduces the risk of being able to have to absorb a large
5 gas curtailment in real-time and not being able to find
6 supply to absorb that.

7 And so if we limit our gas burn closer --
8 potentially going into a cold day closer to that 100
9 million cubic feet per day for electric generation, it may
10 not be the most economic solution, it may be more costly,
11 but it would allow us to mitigate the risk of large gas
12 curtailments that we may or may not be able to absorb in
13 real-time.

14 And so that's what we highlight here with --
15 (Audience interruption.)

16 MR. ROTHLEDER: Indeed, our analysis is not
17 based on the assumption that Aliso Canyon was necessarily
18 available. In fact, our analysis was on the assumption
19 that -- what if it continued to be limited for the winter
20 condition. And so these mitigation measures are largely
21 mitigation measures to ensure that we can remain reliable
22 and reliably serve the electric demand, even if the Aliso
23 Canyon were only limitedly available.

24 That said, the Aliso facility is part -- is an
25 integral part of the energy infrastructure in Southern

1 California. And while longer term we may be looking for
2 solutions that would reduce our reliance on such a gas
3 storage facility, with the loss of the storage facility or
4 the limited availability of the storage facility that
5 wasn't a planned condition for this summer and winter, we
6 have to be prudent in terms of the mitigation measures that
7 we are undertaking, and we have to still rely on the field
8 for emergency conditions in case the conditions, outages,
9 or higher load conditions materialize and we are -- we need
10 to remain prepared to potentially lean on that gas storage
11 facility to maintain reliability.

12 With that, I will turn my discussion into how
13 did the summer play out. So I will emphasize that we did
14 anticipate that there was a risk for the summer, though,
15 potentially 14 days of conditions where, if there was a
16 large mismatch -- the risk condition was that if there was
17 a large mismatch of expected gas burn and the actual gas
18 burn, if that was -- if the actual gas burn is greater than
19 150 million cubic feet greater than what was anticipated,
20 that would put us in a risk condition.

21 And then if you overlay that with other outages
22 that could have happened, planned and unplanned outages,
23 those conditions created the pattern, if you want to say,
24 of risk that would have potentially led to those high gas
25 curtailments that could have led to electric load

1 interruption.

2 Fortunately, due to the coordination and some of
3 the mitigation measures that took place this summer, those
4 conditions did not materialize. First off, tighter gas
5 balancing rules implemented by Southern Cal Gas helped
6 ensure that there was sufficient supply put into the gas
7 system to meet demand. The coordination, and I will say
8 unprecedented coordination, between the ISO, Southern Cal
9 Gas, and the LADWP, helped ensure that we were coordinated
10 around outages, the amount of gas needed, and the system
11 conditions at the time. And we provided information to the
12 market through some of the measures provided by FERC to
13 inform the market about these conditions.

14 And all these things came together to actually
15 ensure that we were able to operate through the summer so
16 far without getting into an electric reliability issue.
17 And I would say there was also a dose of good luck, and the
18 good luck was really the fact that while we had some hot
19 days, we had some fires that affected some of the lines
20 going into the system, the good luck was that on those days
21 we had sufficient gas coming in, and we had anticipated
22 those conditions, and we were able to ride through those
23 without getting into those risk conditions.

24 And I think that's illustrated well in this next
25 graph. And what this graph illustrates is that the blue

1 line is effectively the difference between our expected
2 day-ahead gas burn and our real-time gas burn in 2015. So
3 if you look at the spikes, there's probably about 10 or 11
4 spikes there where it's greater than 150 million cubic feet
5 difference. And if that would have played out this year
6 the same way, we would have been in that risk condition.
7 Fortunately, what you can see from the orange line is that
8 some of the measures and the coordination and the advanced
9 planning going into the day, we ended up having very few
10 days where we were even approached 150 million cubic feet
11 difference between the day-ahead and actual real-time burn
12 condition.

13 Now, you can say here that as a result of that
14 it's no longer centered around zero. So we actually may
15 have gone the other way where we anticipated a gas burn in
16 the day-ahead and we actually didn't burn that much in
17 real-time. But I think that's a better condition and less
18 impactful on reliability than the alternative if we would
19 have had a higher than -- higher burn in real-time.

20 So this is, I think, a very good illustration of
21 the fact that all the measures put together allowed us to
22 operate the system to be in a more reliable condition.

23 I mentioned the fires. Well, August 16th was a
24 day where we did have a fire that took out some lines going
25 into Southern California area, L.A. Basin more

1 specifically, and that happened at about 3:00 in the
2 afternoon. And you can see by the circle that, once that
3 happened, we ended up having to actually ramp up generation
4 in the LA area. So at that point you can see how
5 generation, the blue line, actually increased above the
6 day-ahead level. But fortunately, we had some
7 underutilization of the gas up to that point. And so over
8 the day, we actually still had enough gas in the system so
9 that we were able to absorb that increase and handle the
10 fire on the line condition.

11 This graph here just illustrates that the -- we
12 did have increased amount of low operating flow order, and
13 those low operating flow orders are a new tool that
14 Southern California Gas had in place for this summer, and
15 it was utilized. And those low flow orders and events
16 provide the signal, the price signal and the information to
17 the suppliers that it's -- you should get enough supply in
18 the system, because they're concerned about under --
19 reduced amount of gas being available for burn. So we see
20 from the green lines that those did occur, and those were a
21 part of the solution.

22 So in conclusion, the summer actually worked
23 well, actually better than anticipated, and I think all
24 things said, the mitigation measures, the action plans that
25 we had in place and the unprecedented amount of

1 coordination came together to actually ensure that we did
2 operate during the summer. The summer still is not over.
3 We still have a few days, a few weeks left. September is
4 not unusual to have some high load conditions.

5 Although I will say, our forward-looking
6 forecast indicates we don't see any high-temperature
7 conditions, extreme temperature conditions, at least in the
8 next couple weeks. So we are hopeful that the summer, the
9 balance of the summer will be as uneventful as the earlier
10 summer was.

11 That said, the winter assessment does indicate
12 there is still remaining risk without Aliso Canyon, and
13 there certainly is risk of gas curtailments affecting the
14 electric generation. However, these risks, we don't expect
15 these risks to manifest themselves as electric load
16 curtailments unless the supply conditions coming into the
17 system where utilization of the gas system is less than
18 anticipated. That can happen. There are conditions that
19 are outside Southern California Gas's control, such as gas
20 freeze-off like we have had in the past years where supply
21 is just plain unavailable or it's redirected elsewhere
22 because of temperature conditions across the system.

23 And if that were to occur, we still are aware
24 that there is a risk that if the gas supply is insufficient
25 to support the electric generation, the minimum generation,

1 we may still have to rely on Aliso Canyon limited
2 withdrawals to mitigate reliability.

3 From the perspective of the mitigation measures,
4 many of the mitigation measures will still remain in place
5 for the winter. We will be talking about today some of the
6 mitigation measures specific for the ISO and some of the
7 ones that we think can be retired, some of them that could
8 be refined, and some of the ones that would remain, that we
9 would expect to remain for the winter.

10 In the longer term, the ISO remains ready from a
11 planning perspective to investigate how Aliso Canyon plays
12 into the longer-term planning of the transmission system
13 and infrastructure, and in that planning process, we will
14 assess whether there's options available to us to reduce
15 our reliance on this storage facility going forward.

16 With that, I will be prepared to answer any
17 questions. But in the meantime, I think I will hand off
18 the presentation to Keith Collins from our Department of
19 Market Monitoring.

20 MS. CASTRO: Thank you, Mark. I really
21 appreciate your presentation today.

22 Keith, right before you begin your presentation,
23 I would like to welcome Commissioner Honorable for joining
24 us today.

25 Hello, Commissioner Honorable, and also

1 recognize that she has a few remarks to make.

2 COMMISSIONER HONORABLE: Thank you, Virginia.

3 Good morning, everyone. I want to express deep
4 appreciation to each of you and the facilities that you
5 represent for what Mark's described as the unprecedented
6 level of coordination, which was a must. I appreciate the
7 chairman of the California Energy Commission, Chairman
8 Weisenmiller, the California ISO, the CPUC, SoCal Edison,
9 PG&E, LADWP, and a few other acronyms I won't share here.

10 There are a number of stakeholders that have
11 really, we can tell from the presentation but also from
12 your work to this point, demonstrated your commitment in
13 during your best to ensure reliability. And while I
14 recognize that locally there are a number of concerns other
15 than reliability, which are of importance as well, here our
16 focus is on reliability and what we can do to ensure that
17 the lights stay on, that the reports that you are providing
18 are as promising as they are.

19 So far, the great impacts of the restricted use
20 of Aliso Canyon storage have not been as severe as
21 originally anticipated. I think we heard some months ago
22 that there could have been as many as 15 days of
23 restrictions or brown outs. And I understand that as of
24 August 22nd no gas had to be withdrawn.

25 And while we made it through the short term,

1 Mark, I agree with you, that some of that was, indeed,
2 luck. And I think we are gathered here to ensure that we
3 are thinking ahead about how we respond, if we aren't as
4 lucky. And I attribute this in great measure to the hard
5 work of so many of you who have worked so hard to mitigate
6 the impact on consumers, and all along the food chain, from
7 residential consumers to commercial and industrial
8 consumers and others.

9 And while we have so much of the summer behind
10 us, yes, there are still some days ahead to be watchful of,
11 and also concerns that -- you referenced the fire that took
12 place and other things that may not be anticipated that we
13 need to prepare and plan for.

14 I look forward in the future to seeing --
15 learning from what we've done well here and, more
16 importantly, what we at FERC can be helpful to you as you
17 work and plan to address this unprecedented situation.

18 We also need to make sure that we are planning
19 not only for this particular situation, but, from my
20 viewpoint, how this can be a blueprint for how we respond
21 in similar situations.

22 So I appreciate the time, and I look forward to
23 hearing additional remarks, as I'm able to stay. I will
24 have staff in the room. Again, thank you for your work,
25 and I look forward to our continued work.

1 And I last want to thank, but not least, FERC
2 Staff, because you've been riding herd over this for some
3 time, and we will for months ahead. So thank you all.

4 MS. CASTRO: Thank you, Commissioner Honorable.

5 Now we will go into Keith Collins' presentation.
6 He's from the Department of Market Monitoring.

7 MR. COLLINS: Thank you, and good morning. I
8 look forward to the opportunity to speak with you today
9 about the outage of the Aliso Canyon natural gas storage
10 facility and its impacts on the natural gas and electric
11 markets. I will be happy to take your questions at the
12 completion of my presentation and later on during the
13 course of this technical conference.

14 In summary, while the outage of the Aliso Canyon
15 facility has had some impact on natural gas prices and
16 electric market participant behavior, the overall impact on
17 the gas and electric markets was relatively limited
18 compared to expectations going into the summer. In fact,
19 overall prices were down this summer in both the natural
20 gas and electric markets. My presentation will highlight
21 trends in both natural gas and electric markets, bidding
22 behavior in ISO markets, the effects of bidding behavior on
23 bid cost recovery payments, and finish our assessment of
24 the importance on ISO's interim measures in providing
25 enhanced tools and flexibility to manage the challenges

1 associated with the outage of the Aliso Canyon facility.

2 Spot market natural gas prices are often the
3 greatest single factor driving the ISO's electricity market
4 prices. Particularly in the summer months, natural gas
5 resources are typically the marginal price-setting
6 resources. As shown in this chart, average next-day
7 natural gas prices this summer at the SoCal Citygate were
8 down about 7 percent overall compared to last year. In
9 comparison, the Henry Hub, which is the national natural
10 gas reference hub, was down by less than 3 percent for the
11 same period. Thus, the decline at the SoCal Citygate was
12 larger than the decline at the Henry Hub.

13 Meanwhile, prices at surrounding hubs, such as
14 the SoCal border and for Kern River, tended to follow a
15 similar pattern as the SoCal Citygate, and both fell by
16 about 4 percent compared to last summer. Prices at the
17 PG&E Citygate fell by about 7 percent over the same period
18 and were frequently the highest in the region.

19 However, as highlighted in this chart, the
20 day-to-day changes in natural gas prices at the SoCal
21 Citygate increased noticeably this summer. The solid red
22 line shows the next-day prices at the SoCal Citygate in
23 2016, while the dashed blue line shows the SoCal Citygate
24 prices for 2015.

25 It is likely that the outage of the Aliso Canyon

1 storage facility contributed to this volatility in two
2 ways. First, it reduced the flexibility of supply
3 available to meet intraday variations. Second, the loss of
4 injection capability removed additional demand for gas.

5 One of the Aliso Canyon measures approved for
6 the summer allowed the ISO to update the natural gas price
7 used in the day-ahead market with a weighted average of
8 prices based on trades on the Intercontinental Exchange,
9 also known as ICE, just prior to the day-ahead market run.
10 This would have effectively eliminated the one-day lag in
11 the natural gas prices used -- no, in the ISO day-ahead
12 market. While the ISO was prepared to implement this from
13 a technical perspective on July 6, this change has not yet
14 been implemented since the ISO could not confirm with
15 ICE --

16 (Audience interruption.)

17 MS. CASTRO: Please proceed.

18 MR. COLLINS: Thank you.

19 While the ISO was prepared to implement this
20 from a technical standpoint on July 6th, this change has
21 not yet been implemented since the ISO could not confirm
22 with ICE that this price would conform with the FERC's
23 policy statement on indexes, as required by the
24 Commission's June 1 order on Aliso Canyon. The top chart
25 on this slide shows a histogram of the differences in

1 trades in the next-day market for the SoCal Citygate
2 compared to the lagged next-day index used in the day-ahead
3 market from June through August. The bottom chart shows a
4 histogram of differences in trade prices in the next-day
5 market compared to an updated price at 8:30 using ICE
6 trades.

7 Both charts highlight the portion of prices
8 above 110 percent, which is the adder for default energy
9 bids used in mitigation and 125 percent, which is the cap
10 on commitment costs in the day-ahead market.

11 As shown in these charts, if the ISO had been
12 able to implement this change, the update in next-day
13 prices at 8:30 would have significantly improved the
14 accuracy of natural gas prices used in the day-ahead
15 market, and none of the trade prices would exceed 110
16 percent of the price used to calculate bid prices.

17 Another measure that was approved by the
18 Commission's June 1 order was to increase flexibility of
19 incremental energy bids in the real-time market to reflect
20 differences in same-day versus next-day trading. This was
21 done through an adjustment to the natural gas price used in
22 the real-time market. This adjustment, known as a scaler,
23 was set to 125 percent and could have been changed if the
24 ISO observed systemic price differences or market harm.
25 This chart shows a histogram of differences in same-day

1 trades at the SoCal Citygate this summer relative to the
2 next-day gas price index used in the real-time market. The
3 chart includes lines indicating trades above 110 percent,
4 the typical adder for default energy bids, and trades above
5 125 percent, which represents the energy scaler adder
6 approved in the June 1 order.

7 In the end, only 0.5 percent of traded volume on
8 ICE exceeded the 125 percent scaler adder at the SoCal
9 Citygate and only 20 percent of the traded volume exceeded
10 the normal 110 percent adder.

11 Notably, the vast majority of trades above the
12 110 percent level occurred on days that were the first
13 trading day of the week, which was typically a Monday, as
14 shown in green in the chart. Trade prices on these days
15 are frequently different from gas trades on weekend -- as
16 gas trades on weekend packages for multiple days. This
17 package does not typically reflect the value of gas for
18 just Monday. DMM has found that this has historically
19 resulted in differences between the index used in the ISO
20 market and trading for Mondays. This overall trend existed
21 well before this summer and was not new and did not
22 increase significantly with Aliso Canyon or just at the
23 SoCal Citygate hub. Market Monitoring believes this issue
24 could be addressed in the longer term through market
25 changes to current procedures.

1 Turning to electric markets, this chart shows
2 that average day-ahead SP15 prices, shown by the solid red
3 line, were slightly lower this summer compared to prices
4 last summer, shown in the dashed blue line. As noted on
5 this chart, days with higher day-ahead prices were
6 correlated with both higher loads, as well as a
7 fire-related outage in addition to natural gas prices.

8 Overall, day-ahead electric prices at SP15 were
9 down 6 percent this summer, which is very consistent with
10 the 7 percent decline in natural gas prices at the SoCal
11 Citygate and PG&E Citygate hubs. Real-time prices at the
12 SP15 hub were down over 9 percent this summer compared to
13 last summer and were 10 percent lower than day-ahead prices
14 this summer.

15 These declines occurred through a combination of
16 other changes in the electric market during this period,
17 including the addition of NV Energy to the real-time energy
18 imbalance market, with almost 1,000 megawatts of transfer
19 capacity, a doubling of hydroelectric generation, and a
20 more than 33 percent increase in solar generation this
21 summer.

22 Thus, prices in both the day-ahead and real-time
23 electric markets were lower overall this summer compared to
24 last summer and tended to follow changes in gas prices and
25 system conditions.

1 This slide highlights some of the changes in
2 bidding behavior that occurred as a result of the increased
3 bidding flexibility allowed under the June 1 order. In the
4 California ISO markets, participants are limited in their
5 ability to bid in commitment costs up to a certain percent
6 of their estimated costs. For most resources, this
7 limitation is up to 125 percent of their estimated costs.
8 As a part of the approved Aliso Canyon mitigation measures,
9 the ISO increased estimated gas costs in the real-time
10 market for the SoCal Citygate with an adjustment factor,
11 known as a scaler, that was set to 175 percent of the
12 natural gas index price. This increased the range of
13 start-up and minimum load cost bids that market
14 participants could submit to the market.

15 The pie chart on this slide shows the bidding
16 behavior of minimum load bids for all gas capacity on the
17 SoCalGas systems. The pie chart on the left shows all
18 capacity by bid level, while the smaller pie charts on the
19 right break down the subcategories further by market
20 participant share.

21 The large pie chart on the left shows that most
22 natural-gas-fired generation on the SoCalGas systems did
23 not use the additional headroom for commitment costs. For
24 instance, in August, about 70 percent of the capacity on
25 the SoCalGas systems did not use the additional headroom

1 for minimum load costs. This is shown in the blue portion
2 of the chart. As shown in red, about 10 percent of the
3 capacity during August bid minimum load costs at or near
4 the cap. As shown in green, the remaining 20 percent of
5 the capacity submitted bids that took advantage of the
6 additional flexibility, but did not do so near the cap.

7 Of the resources that did incorporate the
8 additional headroom in their bids, most was controlled by
9 one participant. For instance, of the bids at or near the
10 cap, 99 percent was controlled by one participant. The
11 same market participant accounted for 85 percent of the
12 bids that incorporated the additional headroom in their
13 bids, but was not at the cap. Bids for start-up costs
14 followed a similar pattern as shown here for minimum load
15 costs.

16 The chart on this slide shows the same
17 information presented on the previous slide by scheduling
18 coordinator for each day in the month of August. This
19 chart shows that different participants used the additional
20 bidding flexibility for commitment costs to a widely
21 varying degree and that some participants utilized this
22 flexibility differently from day to day, depending on
23 market conditions.

24 Market Monitoring has analyzed the impact of
25 this increased bidding flexibility on bid cost recovery

1 payments. We estimate that bid cost recovery payments
2 increased by about \$2 million this summer as a result of
3 the increased bidding flexibility. This represented 12
4 percent of the real-time bid cost recovery payments in July
5 and August. Most of these extra payments were from units
6 committed by exceptional dispatch on a few high-load days
7 when the ISO committed additional capacity for load
8 forecast uncertainty.

9 In summary, the impacts of the Aliso Canyon
10 storage facility appear relatively low overall so far, even
11 though there were increased day-to-day variability in the
12 natural gas markets. Overall prices in both the ISO's
13 day-ahead and real-time markets were down this summer
14 compared to last summer, reflecting a decline in natural
15 gas prices.

16 Bidding by market participants indicates that
17 the additional flexibility afforded by the gas price adders
18 have been utilized in varying degrees by different
19 participants. The ISO's Aliso Canyon filing indicates the
20 gas adders could be adjusted based on empirical information
21 and market outcomes.

22 Going forward, Market Monitoring believes the
23 scalars should continue to be included as a temporary
24 measure to increase bidding flexibility. While there was
25 much initial discussion about whether the adders were high

1 enough, we believe these findings illustrate that, if
2 anything, the scaler adders could potentially be lowered in
3 the future based on observed conditions and market results.

4 Finally, as the ISO looks forward to the coming
5 winter and next summer period, we believe that there are
6 several protection measures that will need to be carried
7 forward.

8 For instance, to the extent that the gas
9 constraint provisions are extended, we believe it is
10 important to retain the ISO's ability to suspend virtual
11 bidding and to deem constraints uncompetitive and,
12 therefore, subject to energy bid mitigation to account for
13 gas constraints imposed by the ISO. Moreover, we also
14 believe the ISO should consider applying mitigation to
15 exceptional dispatches that are used to manage localized
16 gas constraints.

17 I thank you for your time and look forward to
18 your questions and our discussion later today.

19 MS. CASTRO: Thank you, Keith and Mark, for both
20 of your presentations.

21 I would like to ask whether any of the
22 Commissioners have any questions in follow-up to the
23 presentations?

24 COMMISSIONER LA FLEUR: No, I have no questions.

25 CHAIRMAN BAY: I don't either.

1 MS. CASTRO: Thank you.

2 Anyone from Staff?

3 All right. We will proceed into agenda -- Saeed
4 has a question.

5 MR. FARROKHPAY: Thank you for the presentation.
6 Keith, the information that you show on page 8, the use of
7 the scaler in the bidding, does that have any correlation
8 to what Mark had on his page 8 of his presentation on the
9 OFOs? Essentially, I'm asking, are the market participants
10 using the scaler when there are OFOs or independent of
11 those?

12 MR. COLLINS: So I think your question is, as
13 the conditions change, whether there was OFOs or market
14 conditions, did participants use the scaler differently
15 during those periods. And I think what we found, if
16 anything, there was a bit of an inverse relationship
17 overall in that, in some cases, certain participants would
18 tend to have higher bids on days where conditions were a
19 little more -- more stable. And then on days where
20 expected high demand was in place, we tended to see a
21 decrease in how some participants were doing that. And
22 so -- and I think as the chart on page 8 that you were
23 referencing shows, I think depending on the participant,
24 there is a different flavor in terms of how the participant
25 participated during those periods.

1 MS. CASTRO: Thank you. I recognize that Pat
2 Schaub from Office of Enforcement has a question as well.

3 MS. SCHAUB: Following up on Saeed's question,
4 to take his question and make it a little broader -- he
5 specifically referenced the OFOs.

6 For participants that were bidding high, were
7 they reflecting any other gas market trend, such as the
8 Monday phenomena you noted or a period of higher volatility
9 or anything else that might relate?

10 MR. COLLINS: This is a good question, and I
11 think there's a distinction between the commitment costs
12 and the energy bids. And I think that in the energy bid
13 element, typically on days where there were some high loads
14 or higher gas price trades, we did tend to see energy bids
15 reflect those. But in the commitment costs, it tended to
16 be, as I noted, more of an inverse relationship. And from
17 a gas price perspective, the gas prices would sometimes
18 anticipate the conditions or anticipate an OFO condition,
19 and so prices would tend to move during those periods. And
20 so next-day gas prices tended to move up as well. And so
21 that would have been incorporated in the day-ahead market.
22 And the same-day market tended not to be as variable,
23 except for those Mondays.

24 And so the OFOs were included in the
25 expectations, even in the next-day trading before the

1 real-time markets.

2 MS. SCHAUB: Thank you.

3 MS. CASTRO: Okay. Thank you.

4 With that, we will proceed to today's agenda,
5 item number 1.

6 MR. REICH: Good morning. I think the first
7 item, how successful CAISO has been in managing the
8 electric system in the absence of Aliso Canyon, is if the
9 metrics are keeping the lights on and prices remaining
10 constant, things have worked out very well. But taking
11 into account that it's been a pretty decent summer
12 temperaturewise, how effective do you think, or ranking
13 them, was your ability to coordinate with the gas pipelines
14 in managing conditions this summer?

15 And in thinking of that, could you walk us
16 through a typical day and week of coordination with what
17 you do with them, the gas pipelines.

18 MR. ROTHLEDER: I will take the start of that
19 answer. So going into -- before Aliso Canyon, we had
20 already undertaken more coordination with the gas
21 companies. We had already started sharing information
22 about expected gas burn coming out of the day-ahead market.
23 We were starting to do more regular calls in terms of
24 comparing outages and such.

25 I think with Aliso Canyon, what stepped up was

1 the frequency and the level of information and the
2 responsiveness to that information that occurred as a
3 result of Aliso Canyon.

4 So in that regard, we have now moved to not just
5 a day-ahead comparison and discussion about expected gas
6 burns, but we're doing that two days in advance. And we
7 actually are sharing the two-day-ahead, not gas burn, but
8 expected schedules with the market. So going into the
9 day-ahead market, there's more information about, one,
10 forecasted conditions, expected gas burn with coordination
11 between the gas companies and the ISO, and also now
12 expected schedules that may manifest themselves in the
13 ultimate day-ahead market.

14 And I think those things kind of came together
15 to help ensure that there was a better day-ahead schedule
16 based on now better forecast conditions.

17 In terms of outage planning, there was a
18 increased amount of information and discussion about
19 outages, planned outages that were occurring on the gas
20 system, outages that were occurring on the electric system.
21 And that increased coordination allowed us to coordinate in
22 a way that if we needed to push an outage off or the gas
23 company could defer an outage because it coincided with a
24 outage on the electric system, it afforded the ability to
25 do that.

1 And I think just the awareness of the situation,
2 we were much more cognizant about which outages we would
3 take and defer. And when we took those outages, did we --
4 was it at a time when there was conditions that we actually
5 called for restricted maintenance at the same time.

6 Under peak-day conditions, we stepped all this
7 coordination up one more level, and on peak-day conditions,
8 we held peak-day calls. We would have peak-day
9 discussions, both in day-ahead and real-time with the gas
10 company. And those, again, allowed us to in real-time
11 determine if there were issues arising that needed to be
12 addressed. And on some of the days, we found that there
13 were -- our awareness of things like a gas curtailment
14 watch, did heighten our alert of potential issues. And on
15 some days, we took action on those gas curtailment watches
16 to actually mitigate potential risks continuing on the next
17 day.

18 And some of those were not related to Aliso
19 Canyon. We had some situations where there were gas
20 curtailment watches into the San Diego area because of
21 conditions. In those particular cases, while we didn't use
22 the tools about some of the nomogram constraints because we
23 felt it wasn't Aliso related at the time, we did use some
24 of our existing tools including exceptional dispatch. And
25 those tools allowed us to reduce the gas burn, allowed the

1 gas company to return pressures to normal levels at the end
2 of the day so that they were then prepared for the next
3 day, which we believe our intent was to reduce the risk of
4 actual gas curtailments occurring the next day.

5 So we took proactive action on some of this
6 information to be preventive of more broader implications
7 of gas curtailments going forward.

8 So that's the kind of level of coordination.
9 And I should say, when I talk about coordination between
10 Southern Cal Gas and the ISO, I really should be saying --
11 it's really a three-way discussion between Southern Cal
12 Gas, LADWP, and the ISO, because the LADWP is also a
13 balancing area relying on gas from the Southern Cal Gas
14 delivery system.

15 And I think you will hear today, too, about we
16 tried to increase our information flow to the market
17 participants, the scheduling coordinators. I think you
18 will hear today that there were some improvements in the
19 level of coordination and the information flow, but I think
20 you're also going to hear that there's room for further
21 improvement in terms of information that they were getting
22 from the gas company at the same time they were getting
23 from the ISO.

24 And I would agree there are continuing rooms for
25 improvement as we continue our efforts to be more

1 transparent and be responsive and coordinate with each
2 other.

3 MR. REICH: Just to follow up with a couple of
4 points. One of your slides on page 7 where you had the
5 transmission line outage and you showed how you were able
6 to meet that real-time and had the comparison of the
7 two-day-ahead and one day-ahead gas burns, one of the
8 features that we approved was your ability to provide
9 information two days in advance of the market run of
10 scheduling coordinators' anticipated schedule.

11 Now, this slide is one day, but it looks like
12 the two-day-ahead and the one-day-ahead gas burns match up
13 fairly close. Is that a trend that you've seen throughout
14 the summer? So I guess I'm looking at how effective has
15 that -- your two-day-ahead forecast been to match up with
16 the one-day-ahead?

17 MR. ROTHLEDER: We were concerned, and there was
18 some feedback concern about whether the two-day-ahead would
19 be adequate to inform the market. I think what we found
20 was overlaid with improved forecasts, just generally
21 improved forecasts during the summer, we found that the D
22 plus 2, two-day-ahead, sorry, information did trend fairly
23 well with the actual day-ahead. If we had forecast errors,
24 the forecast errors did increase as you looked two days
25 out.

1 I think this year, being cognizant of the
2 conditions, I think we found our forecast improvements did
3 occur. Part of that was because the temperature forecast
4 actually materialized as expected as well. So it's not
5 just our forecast. It's the underlying temperature
6 forecasts that we're also dependent on.

7 MR. REICH: I guess out of the measures that we
8 have approved, if any one in particular stood out as a big
9 success?

10 MR. ROTHLEDER: That's a good question, and it's
11 a little bit hard to answer because I know some of the
12 measures you approved ultimately were not utilized for the
13 summer, but we still believe that they're very important.
14 Even though we didn't use some of the nomogram constraints,
15 we stand ready and, in fact, nomogram constraints are in
16 our system, and we believe that had we needed those, those
17 would have been an important measure, even though they
18 didn't end up being used.

19 I think this D -- the two-day-ahead information
20 flow was helpful. We received feedback from market
21 participants that it was helpful. And I think the role of
22 the ability to bid up to the scalar quantities, I think it
23 did contribute to what I showed earlier as being one of the
24 factors that allowed the real-time gas burns to actually
25 come in less or close to the day-ahead than in the past

1 years. It's one factor. It's not the only factor. There
2 are other factors, I think, that contribute to that,
3 including improved forecasting. Some of the two-day-ahead
4 information probably got overlaid with the OFOs, got
5 day-ahead schedules lined up better.

6 But I think as Keith Collins indicated, the
7 energy imbalance market is a new tool into Southern
8 California through Nevada Energy, and I think that
9 contributed to the ability to it having, at least in
10 real-time, additional supply capability that helped to
11 reduce the need to increase supply in the Southern
12 California area in real-time.

13 So I think the -- it's hard to point to any one
14 of them, but I think the suite of solutions that were
15 provided to us provided us a good measure to maintain
16 reliability. Even though some of them may not have been
17 used, I think we learned from setting them up, and I think
18 they will be potentially useful going into the winter when
19 conditions are different. Maybe we're going to have to be
20 more responsive to gas curtailment, even though we're not
21 affected on the reliability side as much.

22 I don't know if anybody wants to add anything to
23 this.

24 MS. CASTRO: Thank you.

25 I have two follow-up questions from Staff, first

1 from Saeed and then with Kate.

2 MR. FARROKHPAY: With regard to the chart on
3 page 7, it looks like there's pretty good tracking of
4 two-day-ahead and day-ahead overall for Southern California
5 generation fleet. Do you have a sense of how well this
6 works for individual scheduling coordinators? The
7 information that you give them, do you think they find it
8 helpful in gas procurement?

9 MR. ROTHLEDER: I've heard anecdotally that they
10 did find it helpful. Maybe during comment period, some of
11 them can respond to that more directly.

12 MS. HOKE: My question is closely related to
13 Saeed's follow-up question. You mentioned room for
14 improvement specifically with information sharing with
15 market participants. And I was wondering if that related
16 primarily to accuracy of forecasts or whether there were
17 other areas of perceived shortcomings?

18 MR. ROTHLEDER: It's more related to consistency
19 of information that is coming from the gas company and the
20 ISO. And so when we got into particular days where we took
21 a proactive action to reduce generation, to be responsive
22 to some of the gas curtailment watches, I think there was
23 some confusion whether that was a gas curtailment
24 condition, was it the ISO taking proactive action, why did
25 we not use some of our tools, and then the gas company

1 indicating that well, we're not in a gas curtailment
2 situation, what's going on.

3 So some of those messages that they're hearing,
4 I think they had some confusion about what was really going
5 on, and I think their request would be well, they would be
6 actually a part of the active discussions when those are
7 occurring.

8 I think we can certainly try to explore those
9 ideas, but I think we feel at this point it's important
10 that the gas company and the operators are coordinated, and
11 we're trying to provide clear instructions to the resources
12 with as much information that we can about why we're doing
13 those -- taking those measures.

14 Again, there's room for improvement on that.

15 MR. REICH: Going back to your slide 6, Mark,
16 where you talked about the coordination and the advanced
17 planning, this is more or less just a general curiosity
18 thing than anything else. In the instances where you had a
19 large difference between the day-ahead -- you've forecasted
20 much more day-ahead burn than real-time actually turned
21 out. How did CAISO manage that?

22 MR. ROTHLEDER: I think, again, four factors.
23 One is the underlying forecasted conditions. The
24 temperature conditions were easier to forecast. There was
25 less air this year than in past years. I think we also

1 took active measures to ensure that we had -- we went to
2 a -- when we had these hot temperature days, that we went
3 to a higher confidence level forecast, and so that we
4 reduced that risk of potentially having a large real-time
5 gas burn higher than the day-ahead.

6 I think the two-day-ahead information about that
7 forecast, and I think we were -- we had active calls with
8 all market participants about the conditions leading up to
9 that first June 19-20 heat wave. We were on the phone. We
10 were out five days in advance indicating that we have this
11 heat wave coming through, we're very concerned, and we
12 prepared for using our flex alerts, which we did use. We
13 used our demand response, which allowed us to temper off
14 the load in real-time. All those things and advance
15 information and active tools that we used at that point
16 helped contribute to the real-time ultimately not being as
17 high of a gas burn than had been expected.

18 I will say that just because we were successful
19 in that, I can tell you that, in past history, there are
20 days where you miss forecasts, and it's not unusual to, in
21 the summer, if you have a 2- to 3-degree missed forecast,
22 you have a significantly higher load, especially in
23 Southern California during those conditions. That kind of
24 illustrates where like in 2015 you had some missed
25 forecasts on those days and you had significantly higher

1 gas burns than what you had anticipated day-ahead.

2 And so while what was a success this summer, I
3 don't want to get complacent that we're always going to be
4 that lucky and successful in forecasting. Forecasting is
5 an art, and there are misses. And we follow temperatures
6 closely, and the weather services are not always accurate,
7 and it's not unusual to have a 2- to 3-degree miss. Once
8 you miss it in real-time, there's no going back. You're
9 stuck in that position.

10 MR. REICH: Other than the measures that we've
11 accepted, how much demand -- how much has demand response
12 been a help? Like for instance, on a peak day, what your
13 megawatt level curtailment might be and how often it's been
14 called upon.

15 MR. ROTHLEDER: There are a few days we
16 activated both flex alert and then also demand response
17 kicked in. When we did do those, there was about 1,000
18 megawatts of demand response, demand response and
19 responsiveness to the flex alerts on the ISO system. And I
20 think from DWP's perspective, they also had similar -- not
21 similar, but as a percentage of their load demand response.

22 Again, some of those demand response was new
23 demand response that was brought on specifically for this
24 summer.

25 And I think also the fact that we worked with

1 local officials, the mayor's office, there was a
2 significant more awareness of this condition and what the
3 public needed to do. And I think in response to that, when
4 we did the flex alert, there was much more opportunity for
5 public responsiveness to kick in, and I think that actually
6 helped contribute to this as well.

7 MS. CASTRO: We have a follow-up from Pat.

8 MS. SCHAUB: This gets to the constraints, the
9 gas constraint versus exceptional dispatch. I'm just
10 wondering if you ever use the constraint and, if not,
11 why -- what were your thought processes and your analytics
12 in terms of when and why to use it versus exceptional
13 dispatch?

14 MR. ROTHLEDER: I'm going to defer to Dede
15 Subakti to answer that.

16 MR. SUBAKTI: There were a couple instances.

17 The first instance that occurred was in June 19.
18 This was a situation where the SoCalGas System, company at
19 that time, did not issue a curtailment watch. And they
20 called and communicated to the real-time desk and asked for
21 help to avoid a potential curtailment in the electric
22 generator, specifically in two resources. And at that day,
23 an area of the day on June 19, it was fairly limited to
24 specific -- two resources. It was not a regional-wide
25 condition, and it was specifically due to a failure in the

1 Blythe compressor that support the Southern Cal Gas System.

2 At that day, we did use exceptional dispatch
3 instead of using the normal ground constraint because we
4 felt that the number of resources were much smaller, and it
5 was actually -- later on after the coordination with
6 SoCalGas, right around 8:00 p.m. that day, they did notice
7 that that was a gas curtailment. We would talk about
8 potential confusions with what is electric curtailment and
9 gas curtailment. But that day, it was really a gas
10 curtailment from SoCalGas, and they did post it on their on
11 ENVOY system.

12 The other two days were July 21st and July 22nd.
13 On July 21st, we did have -- work with SoCalGas, and
14 SoCalGas did issue a curtailment watch. In that case, the
15 ISO operator chose not to use the max gen constraint
16 because we were under the impression that if Aliso could
17 not have been -- could not have mitigated the issue, then
18 we didn't quite have the authority to use the constraint.
19 We were not sure about that, and there was little time to
20 explore that option. So the operators took the necessary
21 action to ensure reliable operation.

22 So really, there was uncertainty there. There's
23 also uncertainty whether -- you know, how long that's going
24 to happen. So we did exceptional dispatch during that day
25 in the anticipation to allow the gas system to recover its

1 pressure, hoping that we don't get into an actual
2 curtailment the following day, which is the July 22nd.

3 So when it came to July 22nd, we have the
4 discussion again at 8:30 in the morning, and we notify our
5 market participants that we are still in the -- SoCalGas
6 still has the issue of curtailment watch, and it was -- we
7 continued the exceptional dispatch. We canceled a unit
8 testing. There was a unit that was on testing in the area.
9 We canceled that. We had the discussion with the SoCalGas,
10 and they did indicate that the L.A. Basin gas pressures
11 were actually okay.

12 So at that day, we also did not use the
13 nomogram, and we, I think at least after coordination with
14 SoCalGas, we reduce all the exceptional dispatch by around
15 noon, release everything around noon in there.

16 I think just to answer your questions really,
17 we -- and the operator, we had little time to explore, to
18 figure out whether or not we actually had the authority and
19 applicability of using nomogram that was approved through
20 the Aliso Canyon proceeding for an item that was not quite
21 related to Aliso Canyon.

22 MS. CASTRO: Thank you.

23 I would like to recognize Dave.

24 MR. REICH: I'm going to put CAISO's lawyers on
25 the spot to follow up with that as to, I guess, what your

1 thinking was as to why you couldn't use the nomogram.

2 MS. MC KENNA: So this is Anna McKenna. I will
3 address that question. The thinking at the time was really
4 conducted mostly by the operators. Lawyers were really not
5 involved at that point in real-time as they were exploring
6 options of how to deal with minimizing potential
7 curtailments the next day and trying to manage the gas
8 burn. When the operator was acting at that time, he was
9 acting under his own impressions and what he knew at that
10 time. It was early in our process as well.

11 After the fact, we did have discussions about
12 when we could actually implement the max gen constraint.
13 And we think in that scenario we probably could have, and
14 we do certainly feel we have, the authority to do so.
15 There doesn't have to be a direct relationship to Aliso.
16 We do feel that as long as it's directly related to the
17 SoCal system and the constraints in that area, the SDG&E
18 system, there would have been authority to enforce that
19 constraint.

20 And therefore, going forward, we have trained
21 and have talked through these issues and do believe that --
22 going forward we believe we have the authority to do so if
23 needed.

24 And again, as Dede pointed out, in this case it
25 was a short time period, little time to explore those

1 issues. After the actions were taken, we had some
2 conversations and highlighted that, perhaps, we should
3 rethink this going forward and make sure we have the tools
4 that we need to act swiftly.

5 MS. CASTRO: I would like to recognize Kate.

6 MS. HOKE: I'm jumping ahead in our agenda a
7 little bit, but I think the discussion is leading to this
8 point right now. Clearly, there was a bit of uncertainty
9 from an operational perspective about when the gas
10 constraint could be used. And I know you haven't used the
11 authority to either suspend virtual bidding or to reserve
12 the internal transfer capacity.

13 But I'm just wondering to what extent you may
14 have developed any sort of guidelines or implementation
15 details in the business practice manuals to provide some
16 clarity and predictability about when and how these tools
17 might be used?

18 MS. MC KENNA: I will take that question again.
19 This is Anna again. I think in terms of that particular
20 scenario, it certainly taught us all some lessons, and we
21 do want to enhance our business practice manuals, as well
22 as we enhanced our own procedures internally to make sure
23 we have the knowledge spread uniformly across our
24 operators. So that's been taken care of from an internal
25 perspective.

1 Prior to go live, we did actually enhance our
2 BPMs as best we could based on the knowledge we had at the
3 time as to how these procedures would take effect. We
4 added two addendums to our business practice manuals for
5 market instruments and market operations, through which we
6 described how we would conduct these measures. With the
7 lessons learned over the summer and some of the testing
8 we've done additionally since then, we do want to enhance
9 those further as we go forward into the winter. As we
10 mentioned, we intend to actually modify some of the
11 authority we ask for, particularly the authority on
12 conforming the transmission limits. We would like -- and
13 the paths. We would like to have some -- we would like to
14 retire that one specifically.

15 With regards to the virtual bidding, we
16 always -- we were tied -- virtual bidding, our suspension
17 of virtual bidding was tied to when we enforce a constraint
18 or conform the limits with the retirement of the conforming
19 of the limits, of course that goes away. But because we
20 intend to do max gen constraints still going forward -- we
21 haven't had the opportunity to really understand exactly
22 how that would work and what conditions would lead us into
23 a market issue that would require us to suspend virtual
24 bidding, but we will take the time and opportunity to put
25 more detail going forward as much as we can. As you all

1 know, we did this in a fairly expedited process. So we
2 haven't had too much time or opportunity to exercise some
3 of these tools.

4 MS. CASTRO: Thank you, Anna. I do want to
5 bring the conversation back to agenda item 2 to make sure
6 we've covered everything with that and recognize Dave.

7 MR. REICH: This one seems pretty
8 straightforward, what's left of the items that we've
9 approved. Has anything you have had the opportunity to
10 actually use worked out as planned, or were there any
11 unintended consequences that you might want to rethink
12 going forward?

13 MS. MC KENNA: This is Anna, and you're getting
14 an answer from a lawyer on this one, not a operator or
15 market operations person. In terms of the overall -- and
16 Mark stressed this earlier. We do believe that the
17 totality of the measures as well as the actions we took
18 with coordination really helped us deal with the issues
19 over the summer and prevent a lot of issues that could have
20 otherwise led us to where we were thinking of going with
21 the 14-day disruptions, but it could have happened. So we
22 think we're successful with that. It's really in terms of,
23 you know, why we're thinking, for example, of retiring the
24 constraint conformance that we asked for, it has to do a
25 lot with our ability to actually explore further in our

1 operational procedures with peak reliability. We have the
2 ability to manage that transmission limit better in
3 emergencies, and we will talk about that a little bit later
4 today.

5 But I think that from an overall perspective,
6 it's really difficult for us to say which one acted the
7 best and which one had the most effectiveness, but we do
8 believe that the totality of these were helpful. And
9 that's why going forward we plan on asking for authority
10 for most of these.

11 But that said, we also learned some lessons, and
12 we want to modify some of that. I think we will have an
13 opportunity to talk to that later.

14 MS. CASTRO: Thank you, Anna.

15 I think we're going to go on to item number 3.

16 MR. PHUNG: Given the limited availability of
17 Aliso Canyon and the anticipated or unanticipated
18 conditions that have been experienced this past summer,
19 what has been the greatest challenge in being able to
20 maintain reliability?

21 MR. ROTHLEDER: I think probably the greatest
22 challenge of maintaining the reliability, in my mind, is
23 the forecasting and anticipating the conditions that are
24 going to arise. So in some cases, what we expected to
25 occur and what we prepared for didn't materialize, but as

1 Dede indicated, there are some things that we didn't
2 anticipate that did occur that didn't fit the exact mold of
3 what we set these provisions to do, and that kind of threw
4 us off a little bit in terms of what tools we could use or
5 not use.

6 But I think from a reliability perspective, we
7 certainly used the tools that we thought we had in terms of
8 including exceptional dispatch.

9 I think the other thing is that we didn't know
10 how things were going to play out for the summer. This is
11 the first summer we've had this condition where we haven't
12 had Aliso Canyon. It's a different operating paradigm for
13 the ISO. It's a different operating paradigm for the gas
14 company. And it's a different paradigm for basically users
15 of the gas system. So how they purchase gas and how they
16 use the other storage fields and their strategies had to
17 adapt. And we weren't quite sure, frankly, how those
18 adaptation were going to manifest themselves in terms of
19 behavior and whether the things like the OFO were going to
20 be effective, how effective they were going to be.

21 So there just frankly was a lot of uncertainty
22 about how all the, not just the provisions in our tariff
23 changed, but just the overall suite of changes were going
24 to play out. And we kind of learned as we went through the
25 summer how they did play out, and we got more and more

1 confident in some of those tools, including the OFOs and
2 such.

3 I think going into the winter we have now a much
4 better appreciation for how these will work. Some of these
5 provisions, such as the OFO, will have been asked to be
6 extended.

7 But I also want to say that the winter is
8 different, and I tried to describe that earlier in my
9 opening comments, that the winter being the peak conditions
10 for the gas company and susceptibility to supply
11 limitations because -- outside the Southern Cal Gas System,
12 we need to be prepared for those, even though in the summer
13 those are different conditions. We don't have the high
14 take-out conditions.

15 So it's just now adapting to those new
16 conditions, those situations that are different in the
17 winter and being prepared for those as they change. So
18 those things. It's just there's a lot of concern about
19 this is a new condition and being prepared for a variety of
20 conditions that we didn't know how they would play out.

21 MS. MC KENNA: This is Anna. I wanted to add a
22 couple of comments to that response, and I will ask Dede to
23 address -- to give you an example, one of our biggest
24 challenges this summer, which is not unusual over the
25 summer. Heat waves and fires in California are always a

1 challenge.

2 But I also wanted to take this opportunity,
3 because this is a good time to address this issue, one of
4 the benefits of what we did in the spring and in our
5 expedited but robust stakeholder process with our
6 stakeholders is that we -- and we raised a lot of awareness
7 and ability and discussions with our market participants
8 from the generation side, from the load side.

9 We actually had an opportunity to really educate
10 ourselves as to what they were expecting and what we were
11 expecting, and we think that the awareness aspect of all of
12 this and the communications and coordination did actually,
13 you know, contribute to the success of even not having to
14 use the tools in many instances, preventing the
15 curtailments that we could have otherwise seen on the
16 system, in combination with the OFOs by the gas companies
17 which led to more tightly managed systems on the gas
18 systems. Those all together allowed us to prevent some of
19 the challenges over the summer you would see otherwise.

20 We did have an interesting time from the fire
21 perspective. And we want to share with you how we dealt
22 with it and some of the coordination with the gas
23 companies.

24 MR. SUBAKTI: This is Dede. There were normal
25 challenges, I would say, in summer in California, the first

1 one being the heat wave. I really appreciate the work that
2 my colleague and team is doing with their ability to
3 forecast heat wave. It's very -- it's an art, but Mark's
4 team did it very well.

5 During those heat wave situations, because of
6 the coordination that we have, not just within ISO but also
7 with SoCalGas, the neighboring BA, I think earlier Mark
8 talked about the peak-day call. We see that -- by the way,
9 we normally do two types of peak-day call, one with the
10 market participant and one with the reliability only. That
11 actually allows a lot of coordination. And in those peak
12 days where we have the heat wave, I literally saw
13 unprecedented coordinations among scheduling coordinators,
14 gas company, the gas suppliers that the gas comes out
15 strong in the system. The day-ahead market schedule come
16 out strong in the system.

17 Those are really, really good and presented a
18 lot of coordinations, just being able to prepare for the
19 heat wave. The transmission owners responded to restricted
20 maintenance operations mode. Everybody's played a very
21 good role in those heat waves.

22 Anna talked about the fire. We had one of the
23 largest fire in the L.A. Basin with the Blue Cut fire. I
24 believe that was August 16. We actually lost three 500-kV
25 line into -- that serve L.A. Basin. There were not --

1 there's not that many 500-kV line that serve L.A. Basin,
2 and we lost all three of them.

3 It was challenging, but what's kind of
4 interesting about that is there was, again, a heightened,
5 unprecedented coordinations between our operators and the
6 SoCalGas operators here. It was very good. We called
7 them. We talked to them and explained the situation, that
8 we had fire, we needed pretty much all the generation that
9 we have, that we had that day, all the generations would
10 commit, all the resources committed, you know, because that
11 was a forced outage.

12 So there was no flex alert in front of it,
13 because we didn't know that we were going to have all these
14 lines out. But the participating demand response even in
15 the market -- you know, we have the PDR, participating
16 demand response in the market, were also committed and
17 dispatched in the market, and it allows us to go through
18 that day. We did burn more gas, and we did coordinate that
19 with SoCalGas, and I believe SoCalGas actually were able to
20 pull gas that was needed from the remaining Playa del Rey
21 and Honor Rancho storage fields that day. That was my
22 understanding.

23 So very unique situation with the Blue Cut fire.
24 It was very challenging, but I did see a very good
25 coordination that allows us to pull through the day.

1 MS. CASTRO: Thank you, Mark, Anna, and Dede for
2 your comments. I'd also like to recognize that Alan Phung
3 is from the Office of Energy Markets -- Office of Electric
4 Reliability.

5 I think we would like to move on to the next
6 agenda item.

7 MR. ELLSWORTH: This question is actually for
8 Keith, and it has to do with gas and power prices and
9 markets in general. In your great presentation, you did
10 show there actually -- prices are relatively low and gas
11 prices fell, and I think power prices were low in the
12 previous year. The volatility was up.

13 Could you just describe what you think the main
14 causes of those low prices were? Was it just due to low
15 gas prices in the U.S. in general? Was it due to greater
16 electric gas coordination going on in Southern California?
17 And also, were there any particular periods of stress in
18 the gas and power markets that caused volatility in gas
19 power prices, particularly in the intraday markets?

20 MR. COLLINS: Thank you, Chris. I think what
21 struck us as being very interesting is looking at the Henry
22 Hub relative to what we saw in the West. And the Henry Hub
23 was down only a couple percent. When you look even in July
24 and August, it was almost identical this summer compared to
25 last summer. And when you look at the spread, the basis

1 spread between the Southern California region and the Henry
2 Hub, we saw a collapsing of that over the course of the
3 summer and, in particular, at the SoCal Citygate was
4 substantially lower than what we had seen last year and
5 then also lower than what expectations were -- where we
6 were at the beginning of the summer. So by the end of the
7 summer, it was much tighter.

8 And so it is very difficult, I think, to
9 identify specifically what may have caused that, but we do
10 know that the Aliso Canyon situation has changed the
11 landscape, so to speak, in the gas markets in Southern
12 California. And so we saw periods where the SoCal Citygate
13 and the next-day market was below the Henry Hub, and this,
14 when you look at previous periods, was a bit unusual. And
15 then we saw periods of variability where it would come up
16 higher and even higher than the PG&E Citygate.

17 So Aliso Canyon is likely -- it appears likely
18 to have had that relationship with it. I'm not sure if --
19 the particular reasons why it would cause it to be that
20 lower, that much lower. But it was, and it did affect --
21 the surrounding points were also similar. For instance,
22 Kern River and the SoCal border, points that surround it in
23 the West, tended to follow a similar pattern, but it was
24 most pronounced at the SoCal Citygate.

25 And then the next part of your question was

1 about stress on markets. And we did see in terms of the
2 higher prices in the next-day markets, there were OFOs
3 during some of those periods, typically with the 5 percent
4 tolerance, either stage I or stage II, stage I was a 25
5 cent per MMBtu. Stage II was about a dollar per MMBtu.

6 But what was interesting was the market in a way
7 tended to anticipate some of these changes. And so there
8 were some days that there were no OFOs, but prices may have
9 been a little on the higher side or closer to what they
10 were on days when there were OFOs. And so it definitely
11 changed the paradigm of what we had seen in previous years.

12 But what was interesting as well is that
13 typically those periods were also correlated with periods
14 of electric -- you know, either high loads on the electric
15 system, the fire. And so there was greater affect on
16 the -- what we were seeing in the electric markets and how
17 that would play out in terms of when the OFOs or when
18 expectations would occur.

19 And so a good example of this was also during
20 the period we were talking earlier, is mid-August, and we
21 did see prices, both in the next-day markets tend to be a
22 bit higher, and in the same day markets on August 16th was
23 the day where a lot of those prices tended to be higher
24 than the next-day average. And so the markets were
25 reflecting the conditions that were occurring on the

1 system.

2 MS. CASTRO: Thank you, Keith.

3 And Chris?

4 MR. ELLSWORTH: On the intraday market, was
5 there a lot of activity on the intraday gas market?

6 MR. COLLINS: So there were days where -- and
7 again, particularly days, on a Monday or on days where
8 there was more electric demand, that we did see very good
9 trading activity. And I would say that there were some
10 days where maybe in terms of traded volume, you know, maybe
11 a third or more of the volume that was in the next day.
12 And that's -- in tracking next-day and same-day activity,
13 there's some days where there's maybe a trade or two, but
14 there were some days where there was frequent trades and
15 decent volumes relative to the next day.

16 MS. CASTRO: Thank you.

17 I believe we have a follow-up question from
18 Dave.

19 MR. REICH: Keith, just eyeballing the charts
20 that you presented with gas prices being a bit lower in
21 2016 than 2015, but electric prices being more or less the
22 same, that to me would imply that there would be either a
23 higher heat rate for those higher energy prices, or -- did
24 you either notice that, or did you see additional mark-up
25 in the energy prices, bids to set that?

1 MR. COLLINS: So you are correct, there were --
2 there are periods where -- particularly if you look at peak
3 prices, the implied heat rates were a little bit higher in
4 the day-ahead. When we -- it's difficult to pinpoint
5 exactly how that relationship played out. When we look at
6 the incremental energy bids that market participants were
7 placing in the market, what was interesting was there
8 didn't appear to be a systematic shift in the bidding
9 activity. And we broke things out by bid range and looked
10 at the curve. And as you look at the day-ahead, I think
11 participants were bidding in a range that seemed reflective
12 of something that was normal or typical, as we had seen
13 prior to the Aliso Canyon period.

14 I do want to make that there was a pretty big
15 distinction between what we saw in the day-ahead market and
16 what we saw in the real-time market. And what we saw --
17 and this is reflected in some of the prices that I
18 described earlier where the real-time price was 10 percent
19 lower than the day-ahead price, and that's bigger than the
20 difference last year. Last year, it was only 7 percent
21 lower.

22 And I think it speaks to some of the comments
23 that Mark and others were making earlier in that
24 participants were up to their day-ahead bid. When you go
25 into real-time, they have the ability to rebid their

1 real-time bids. And what we found is that they may -- they
2 tended to bid, perhaps, even lower up until that point.
3 And so -- as a preference to try to burn or use their --
4 keep to their day-ahead schedule.

5 Whereas, once you got to the point at which they
6 hit their day-ahead and above incrementally in real-time,
7 we tended to have a different type of bids, which were,
8 perhaps, more of a premium, but that premium didn't really
9 change compared to, let's say, an earlier time period, like
10 May or June before some of the measures were in place.

11 And so in those periods, what we tended to see
12 was typically when the gas prices would elevate or be
13 higher or there was some same-day trading that was higher,
14 it was during those periods where we saw an uptick in how
15 participants were bidding. It wasn't an overly large, but
16 it definitely followed the trend in what we were seeing in
17 the gas markets and based on the conditions that were
18 occurring on the system. So some of that may have been
19 playing a factor in some of the prices that we were seeing,
20 but I think overall, I think the point that we saw was
21 there just didn't appear to be an overall systematic trend.

22 MS. CASTRO: Thank you, Keith.

23 I believe we have a follow-up from Pat.

24 MS. SCHAUB: I do want to take this into the
25 next question as well because it's sort of all the same.

1 MS. CASTRO: Yes, please, do.

2 MS. SCHAUB: The next question -- I think you've
3 covered a lot of it already. One thing you did mention is
4 there were some differences between market participants.

5 Is there anything you can say about why the
6 different strategies might occur between the market
7 participants?

8 MR. COLLINS: So there are different types of
9 participants, and we looked at them in terms of are they a
10 net buying participant or are they a net supplying
11 participant. And there can be some differences between
12 those two types of participants.

13 MS. SCHAUB: Can you explain why?

14 MR. COLLINS: That's -- so really, what we're
15 saying here is that are you primarily a load-serving entity
16 that has a responsibility to serve load with generation and
17 how they supply that generation into the market versus
18 entities that are primarily suppliers and how they bid into
19 the market. And there are differences in, perhaps, the
20 risks they face, and so their bids reflect that.

21 MR. REARDON: On the gas cost adders, there was
22 justification given for it at the time that it would be
23 able to separate the resources in Southern California from
24 the resources on the rest of the CAISO system because it
25 would make them less likely to be dispatched for system

1 needs. Was the GAAS cost adder at all effective in doing
2 that in separating the resources in Southern California
3 from those in Northern California?

4 MR. COLLINS: The answer is it was and it
5 wasn't. The participants that availed themselves of the
6 additional flexibility, in fact, did end up positioning
7 themselves at the higher end of the curve, which would mean
8 that they would be used for more local reasons rather than
9 the system reasons.

10 But as I noted earlier, that 70 percent of the
11 capacity did not avail of that additional potential
12 headroom. So you end up in a situation where they were on
13 a different part of the supply curve and they stayed in
14 that part of the supply curve. And so those that did take
15 advantage ended up being higher, and those that didn't were
16 in the normal supply curve.

17 MR. REARDON: Do you think that was simply the
18 result of the lucky conditions this year, or do you think
19 even in a more constrained year this would -- there would
20 still be sort of low utilization of that flexibility?

21 MR. COLLINS: That could be difficult to say. I
22 think it depended on the strategies of the particular
23 participants that were engaged in the bidding. And I think
24 part of it had to do potentially with expectations of how
25 much gas they were prepared to burn or not burn, and I

1 believe that factored in. And so to the extent that the
2 variability of temperatures or weather factored into that,
3 that could potentially play a role.

4 MS. CASTRO: Thank you.

5 I think we can move on to question 6.

6 MR. REARDON: Question 6, this, I think, relates
7 to the provisions in the settlement that allowed for a
8 waiver of penalties in cases where either the ISO or
9 SoCalGas requested that a certain generator be dispatched
10 for reliability. I know that you mentioned before there
11 were a few cases where SoCalGas did request a few
12 generators be dispatched or turned on.

13 Did these generators get any relief, or did that
14 even come up? Did they run into penalties?

15 MR. ROTHLEDER: This is Mark Rothleder. I think
16 we have a representative from Southern Cal Gas who may be
17 in a better position to respond to this. But it's our
18 understanding that there were five times in which the
19 imbalance penalties were waived, and I think there's
20 reasons for those waiver, including the dispatch orders
21 were because of a ISO reliability-based instruction. But
22 if you want more detail, I think we should defer to them.

23 MR. REARDON: And was there -- so just to
24 clarify, those were all electric-reliability-based or not?

25 MR. ROTHLEDER: I'm not quite sure, of the five,

1 what was the basis for each individual waiver. Again, I
2 think Southern Cal Gas would be in a better position to
3 answer that.

4 MR. REARDON: Okay. Thank you.

5 MS. CASTRO: Thank you, Dennis and Mark. Now we
6 can move on to question number 7 with Chris Ellsworth.

7 MR. ELLSWORTH: In some respects, you may have
8 already answered this, or SoCalGas may be better able to
9 answer it.

10 But has it really affected gas prices on
11 SoCalGas's system, San Diego Gas & Electric's system, maybe
12 for other customers, the outage of Aliso Canyon? And also,
13 natural gas prices beyond SoCalGas and San Diego Gas &
14 Electric, any thoughts on that? And that's open to
15 anybody.

16 MR. COLLINS: So I will just take this a little
17 bit here in terms of our observations of the volatility,
18 our observations on the gas levels, on the systems, and the
19 prices for the hubs and the systems, both inside California
20 and outside California.

21 And I think, you know, part of what we were
22 describing is yes, it does appear that the increased
23 volatility has occurred in the market side and that the
24 surrounding points could reflect some of those conditions.
25 But I think when you look at the PG&E system, the frequency

1 of OFOs that Mark presented earlier shows that -- so I will
2 summarize. There were 37 percent of the summer days, June
3 through August, had a low OFO, and 18 percent had a high
4 OFO. And compared to Pacific Gas & Electric, they had
5 about 10 low and 10 high during the same period. And so
6 definitely a different set of frequency, but it's also
7 difficult to -- and perhaps some of those representatives
8 can talk to you, you know, what was the -- was one driving
9 the other. I know I can't speak to that, but they weren't
10 always during the same periods. Some days they were; some
11 days they weren't.

12 MR. ROTHLEDER: I think there's a second piece
13 to this question. It's really -- the question, I think,
14 maybe is also did the condition cause -- even though they
15 may not have manifested themselves in prices, did it change
16 the operating strategies to change the cost of dispatch at
17 all across structure. And I think the answer is probably
18 yes. I'm somewhat speaking here from what I understand
19 LADWP did, because they did change their practices in terms
20 of refraining from doing kind of economic dispatch,
21 economic decisions to reduce their gas burn burden, and
22 they also refrained from longer-term sales. This is some
23 of the measures that they took as a part of the action
24 plan.

25 I think you would have to ask some of our

1 scheduling coordinators where they took actions to arrange
2 energy in a different way that could have -- maybe didn't
3 manifest themselves in the prices themselves but did cost
4 energy differently.

5 And I think going forward, I think we do
6 anticipate that if we do need to enforce day-ahead-type
7 nomogram constraints, it could have an impact on what
8 otherwise would have been economic dispatch and commitment.
9 I don't have the quantification how much that would cost or
10 anything like that, but I think there are implications
11 because of the different operating -- the way we have to
12 operate without Aliso.

13 MS. SCHAUB: This is looking at your surrounding
14 areas, CAISO, both with the EIM and with the imports and
15 exports and implications for your neighboring areas. Have
16 you found any changes as a result of both Aliso and the
17 tools that you've been using in terms of their
18 participation in your markets or their availability to
19 participate in your markets?

20 MR. ROTHLEDER: I'm not sure we can see a -- any
21 dramatic change, per se. I think what we've seen is -- and
22 maybe it's more expected that on the hot days we did see
23 just a general reduction of imports, electric imports into
24 the system. So the energy stayed kind of at home and
25 wasn't available for export to California.

1 I don't think that's unexpected, but it
2 certainly is a heightened awareness of the fact that when
3 those imports -- or those energy stay home and are not
4 available for export, it puts more burden on the gas
5 resources and resources in the area. And our assumptions
6 about being able to rely on supply outside the system,
7 then, become more challenging.

8 MR. COLLINS: I will add, in terms of EIM, what
9 was interesting is even on some of the hot days that Mark
10 was describing, there were periods or hours where the EIM
11 transfers were moving out of the ISO and into the EIM
12 regions and other hours where they were coming in. So it's
13 definitely a balance based on the conditions and the price.

14 MS. CASTRO: Thank you, Mark and Keith.

15 We will continue on to agenda item number 8 --
16 9, I'm sorry, with OGC.

17 MS. HOKE: We've mostly covered all of this, but
18 one thing I'm curious about is, in the filing where you
19 guys proposed these interim measures, we heard a little bit
20 about how there could be interplay between virtual bidding
21 activity and the reservation of the internal transfer
22 capability. Whereas, I don't think we heard anything about
23 how that may interact with enforcement of the gas
24 constraints.

25 So I was wondering if there are any scenarios

1 that you could discuss that could kind of give us an idea
2 about how one may affect the other and how that might be --
3 come into play.

4 MR. COLLINS: So with respect to the gas
5 constraints, our concern is ultimately one of unintended
6 consequences. And I think that -- our sense is with the
7 implementation of the gas constraints, there's to be a
8 difference between the pricing node and the generation
9 node, and our sense is if things work out, then virtual
10 bidding shouldn't be affected.

11 But our concern is the potential for some
12 unintended consequences of the application of the
13 constraint, that either the implementation or the
14 application working in ways that we might not have
15 anticipated. And so I think from that perspective, we're
16 still -- we look at it as a important tool during those
17 periods as well.

18 MS. HOKE: And then as a follow-up, obviously,
19 the terms "for purposes of economic efficiency" is pretty
20 broad and vague. I wonder if you developed any sort of
21 parameters about what could constitute an economic
22 inefficiency.

23 MR. ROTHLEDER: I think that's a good question.
24 I think what we anticipated what might happen is that if we
25 started to see the gas constraints being used in real-time

1 but not in day-ahead, would there be virtual activity that
2 would act in anticipation of that happening on a frequent
3 basis. And if those virtual positions did occur, would
4 they undermine the unit commitment and the objective of
5 getting accurate gas burns on physical resources in the
6 day-ahead. Because we didn't have the events where we
7 actually enforced the constraint in real-time, I don't
8 think we ever saw that play out in materials, and that's
9 why we never ended up needing to activate that.

10 But I think, again, conditions may be different
11 in the winter that we may be still susceptible to that, and
12 I think we would like to maintain the ability to call upon
13 that for efficiency reasons if we find there is that
14 interplay that is undermining the objective of getting
15 accurate physical commitments in the day-ahead.

16 MR. COLLINS: Just to add to that a little bit,
17 I think part of it is when you introduce a constraint in
18 one market or another market, that can lead to sort of
19 opportunities that virtual bidding can -- it won't actually
20 help the market efficiency, but you can end up creating
21 some economic situations that are unintended.

22 MS. CASTRO: Thank you for your questions and
23 your responses.

24 We will be moving on to agenda item number 10
25 with Saeed.

1 MR. FARROKHPAY: Here's a difficult one for you.
2 I assume you haven't had to deem any transmission path
3 uncompetitive for the purposes of market mitigation because
4 you haven't invoked the gas nomogram.

5 But do you have a tool for the operators to
6 determine when to invoke that? If you have the gas
7 constraint actually in force, do they know which -- do they
8 have a table to go to to figure out which paths should be
9 deemed uncompetitive?

10 MR. SUBAKTI: Yes. Currently in our system,
11 there are -- we use the term gas constraints, and there are
12 actually about seven constraints in there, each one for
13 each different area, and it's one for the whole big Aliso
14 Canyon area. So what the operator does is they have a
15 process and procedures basically that allows us to look at
16 here's the prediction of the day-ahead gas burn, and then
17 here's where the real-time is going to be. And in
18 coordination, we talk about SoCalGas, and we can basically
19 select which one we would like, what we need to use for a
20 certain day. And that's a part of the normal process and
21 procedures, and they have the numbers.

22 They also have real-time monitors on -- the
23 transmission and generation dispatchers actually have
24 real-time monitors on the actual, so to speak, real-time
25 gas burn. So they can actually see what the implication of

1 what they just did, if they were to use that nomogram in
2 there.

3 I will probably turn over to Mark and Keith with
4 regard to the market monitor implications of that gas burn.

5 MR. COLLINS: So the challenge with the -- what
6 is known as the dynamic competitive path assessment, which
7 determines whether or not a constraint is competitive or
8 not, the automated process that works today doesn't take
9 into account any limitation that may occur as a result of
10 the gas constraints. And so it may overestimate at times
11 the amount of relief it might get, but in fact, you may be
12 constrained as a result of that.

13 And so the Market Monitoring was prepared to
14 review instances where the gas constraints were implemented
15 and how it was affecting other -- how it was interacting
16 and reflecting with other constraints on the system. And
17 then based on this analysis that we would review, we were
18 prepared to deem certain constraints that may appear under
19 the automated approach to be competitive, to deem that
20 uncompetitive, and that would be included in the set of
21 constraints that Dede was talking about in terms of what's
22 competitive or not competitive.

23 MS. CASTRO: Thank you.

24 We will continue on to question number 11 with
25 Bahaa from the Office of Energy Policy and Innovation.

1 MR. SEIREG: I was just wondering if any of the
2 market measures that have been adopted have resulted in
3 issues with settlements or virtual bidding.

4 MR. ROTHLEDER: I think mainly because we
5 haven't had to bind some of those nomogram constraints, we
6 have not had those situations that translated into
7 disputes. I think the question was around the special
8 provision around the syncing up the C node or the
9 resource-specific price to the point of delivery or the P
10 node price. That's a normal process that happens and syncs
11 up during normal conditions. What we found, because we
12 didn't have -- if we had to enforce the gas nomogram
13 constraint, we would have basically not done that sync up
14 so that the resources themselves were priced consistent
15 with the nomogram constraint. And because we didn't have
16 the nomogram constraint, that didn't occur, and therefore,
17 there was no related issues or disputes related to that.

18 I think the virtual bids, we've already talked
19 about that. We didn't have to turn off virtual bidding
20 either. So there was no related issues there.

21 MS. MC KENNA: If I can make a comment with
22 regard to that procedure as well. Even though we never
23 actually had to use it, we did actually implement it both
24 in our settlements system as well as our markets system to
25 be able to switch those prices and make sure the prices

1 were correctly -- and tested it, and so we know we can do
2 it if we needed to. I did verify that we were able and
3 capable to do that.

4 MS. CASTRO: Thank you.

5 We will proceed on to item number 12 with Dave.

6 MR. REICH: Well, I don't want to be charged
7 with animal cruelty in that we've already gone through this
8 one. But is it fair to say that the assumption going
9 forward, that because you won't be looking at the internal
10 transfer capacity reservation, that that will be at least
11 one element that will drop out of your request to continue
12 with the suspension of virtual bids?

13 MR. ROTHLEDER: There's two questions there, and
14 I have to break it up, if you don't mind. You're right
15 that with the taking -- or limiting the transfer capability
16 from north to south, that was a provision that we asked
17 for, and we think we won't need that provision going
18 forward for the reasons that Dede described earlier
19 about -- or I think Anna described earlier about the fact
20 that we actually have some measures that allow for higher
21 emergency ratings in coordination with the peak reliability
22 coordinator. So we think those provisions are no longer
23 necessary.

24 However, the need to maintain the ability to
25 turn off virtual bidding was less related to those transfer

1 constraints and potentially related to if we got to the
2 point where we enforced the gas nomogram constraints, we
3 believed that there could be unintended consequences of
4 economic inefficiencies that could be created with virtual
5 bidding, and we would still want to maintain that ability,
6 even though we didn't have to turn it off for the summer so
7 far.

8 MR. REICH: Just to follow up, Kate had posed a
9 question as to whether you had thought about parameters
10 around economic efficiency. Is that something that you
11 will continue to think about and, perhaps, put in tariff
12 language?

13 MS. MC KENNA: I will weather that question.
14 Part of the struggle is that we really -- it's something
15 you know it when you see it. I hate to use that
16 expression. But we are trying to avail ourselves of some
17 flexibility so that if we have to suspend it quickly, we
18 don't have to go through too many hoops and procedures and
19 preserve the integrity of the market when we are dealing
20 with these issues.

21 And some of the scenarios that Keith and Mark
22 referred to, I think those, you know -- we have seen -- we
23 know that there are some possibilities with regard to the
24 day-ahead market pricing, real-time market pricing, lack of
25 convergence. We don't see the convergence yet. We see the

1 inefficiencies resulting in the market. Those are the
2 kinds of things we will be looking at, and we are happy to
3 describe those as the types of scenarios and examples. We
4 don't feel confident that we can prescribe them strictly in
5 our tariff, because that would reduce the flexibility that
6 we need when we need to act quickly.

7 So that's the push and pull we're faced with
8 here. Perhaps if we had the opportunity to use it over the
9 summer we could have had a little bit more to share with
10 you. It's still in our minds something we would like to
11 leave more in the BPM land. We will try to increase our
12 thoughts on that going forward in the BPMs, but we don't
13 think we will have that in the tariff, at least we will not
14 propose it as such.

15 MS. CASTRO: Thank you.

16 I also wanted to ask Kate, because earlier in
17 the discussion we covered a little bit of question number
18 13, should we go into this one, or we can move on to 14?

19 Move on? Okay.

20 At this time we are going to move on to question
21 number 14 of today's agenda with Office of Enforcement.

22 MR. ELLSWORTH: I think we may have covered some
23 of this material also, but perhaps we can just kind of
24 summarize the issues in this question, and it really is
25 kind of the changes in operations that SoCalGas has had to

1 implement, particularly OFOs, the low and the high OFOs.

2 How has it impacted your operations? And also,
3 which of the measures from the June 1st order would you say
4 are the most useful in dealing with those?

5 MR. ROTHLEDER: So I do think that the low OFOs
6 and generally the OFOs are -- were very helpful in
7 incenting, sending the right signal to the purchasers of
8 the gas to get the gas in the system in advance and based
9 on the forecasted conditions. So I think that is, that was
10 and remains a very effective measure.

11 I think the fact that the frequency of the low
12 OFOs occurring is indication that the operational
13 constraints on the gas system were more significant without
14 Aliso Canyon, and I think there were also some days where
15 you actually had both low OFOs and high OFOs on the same
16 day, which kind of is a -- kind of stretches the mind, but
17 it basically means that you anticipated one thing and you
18 went into it, and you ended up having the opposite. And
19 that illustrates the narrower band of operability that
20 exists on the gas system as a result of not having Aliso
21 Canyon, because Aliso would be able to both absorb
22 high-pressure conditions, you would be able to inject and
23 absorb that, and when you had low-pressure conditions, you
24 would be able to withdraw. So I think it's an illustration
25 of the lack of that tool on the gas system.

1 From the operation of the electric system, I
2 think, again, the OFOs, again, I think did send the right
3 signal and did help ensure that there was sufficient gas
4 brought on to the system for real-time, and you overlay
5 that with the other measures, and I think it illustrates
6 why we didn't have these large mismatches, which is one of
7 the risk factors in the summer. So I think it is one of
8 the important tools, and it's one of the tools that I
9 believe Southern California Gas has just asked for
10 extension into the winter.

11 MS. CASTRO: We have some follow-up questions
12 from Staff, with Dave and with Kate.

13 MS. HOKE: I want to take a step back, back to
14 the business practice manuals. It occurs to me that the
15 way you've been sort of describing these efforts is as more
16 or less a work in progress as you learn from use of any of
17 these tools. So I was wondering sort of the status. Like
18 have you done everything you intended to do up to this
19 point, or are you continuing to refine this as you go
20 through?

21 MS. MC KENNA: I will take the question first
22 have we done everything we intended to do. We certainly
23 did everything we intended to do by the time we were
24 putting these measures in place this summer. Could we have
25 put more in there? I'm not going to deny we could always

1 have put more in there. But we did what we could based
2 upon what we knew at the time. And we had to get the
3 documents out as soon as possible so market participants
4 could see them, because what's the point of having them at
5 the end of the summer.

6 But going forward, I was suggesting that going
7 forward, as we go to our next round of tariff enhancements,
8 that -- or extensions and modifications related to this
9 effort, we will take the opportunity again to update the
10 BPMs, based on both the changes we're making -- there will
11 be some differences -- and perhaps any additional examples
12 we can provide or expectations, setting expectations, that
13 we can provide in that regard.

14 So that is definitely a work in progress with
15 regard to the stuff going forward.

16 MR. ROTHLEDER: Let me add to that. There was
17 at least one item that we didn't implement. I think we
18 ended up waving off. That was the day-ahead index, the
19 daily update to the index, and I think that's still
20 something that is -- that we would like to do so long as
21 we've got the agreement about the underlying ICE index that
22 we could be using. So Anna, if you want to add to that.

23 But you're right, there was a learning process,
24 and part of that learning process is that we put in place
25 in the models these constraints, such as the nomogram

1 constraints, and because we had to do this relatively
2 quickly, there was some manual processes if we had to,
3 let's say, shape a real-time gas constraint around the
4 real-time conditions. I think now that we've got a little
5 bit more time and we've tested this out off-line, there's
6 opportunity there to improve and automate, if possible, or
7 reduce the manual intervention in terms of the shaping of
8 the gas constraint.

9 And so I think we're in a much better position
10 now as we go into the winter, even though we didn't have to
11 use it, that we've now learned off-line through the
12 off-line testing what we need to do to enhance that.

13 MS. CASTRO: Thank you.

14 I believe Sidney has some comments.

15 MS. MANNHEIM: Thank you. This is Sidney
16 Mannheim from the Cal ISO. I just wanted to mention that
17 we've worked very hard on the operating procedure for
18 gas-electric coordination, perhaps more so than on the
19 BPMs. After each event involving coordination with the gas
20 companies, there have been lessons learned, and we've
21 continued to work on the operating procedure. In fact, it
22 took us a while to get it published because we kept
23 learning things and kept adding to it. So that has been an
24 important vehicle for documenting our electric and gas
25 coordination, and we will probably be working on it again

1 soon.

2 MS. CASTRO: Thank you.

3 I would like to call on Pat and then Dave for
4 some follow-up questions.

5 MS. SCHAUB: Thank you. Part of the question
6 and concern was resources' ability to work under tighter
7 balancing conditions. Anything you can share in terms of
8 what the resource experience was or your experience with
9 resources' ability to get gas under the low OFOs and the
10 tighter operating conditions without Aliso Canyon?

11 MR. ROTHLEDER: I guess from our perspective it
12 looked like things went well, and they were able to balance
13 to the tighter rules, although I do suspect that there were
14 times where they basically stretched the threshold of those
15 rules. There's folks in the audience that can be in a
16 better position to answer that question about their actual
17 experience, about how they tried to manage those, and the
18 difficulties and whether there's anything that they need or
19 any observations that they have about how those can be
20 improved.

21 But from our perspective, it seems like actually
22 things went fairly smoothly and maybe even more smoothly
23 than we had heard expressed about the challenges of
24 operating to tighter gas balancing rules.

25 MS. SCHAUB: That last part is what I was

1 curious about. Did you experience any problems with
2 resources because of the gas balancing rules?

3 MR. SUBAKTI: No, I'm not aware of it. As Mark
4 mentioned, it's been pretty smooth from an operations
5 perspective. The coordination has been very, very amazing.
6 I'm pleased to have many more new friends from SoCalGas. I
7 spent a lot of time with them understanding the gas system.
8 I think it's been very smooth.

9 MS. MC KENNA: This is Anna. I think this is a
10 good time to make this comment. Nancy Traywig, our
11 director of operations, could not be here today, but we do
12 talk to her a lot about her feelings, being so closely
13 involved and everything. One of the things she did mention
14 was that she was very pleased with how the generators had
15 performed during this time and that she did feel that the
16 smoothness of the coordination, the information flow, the
17 ability to deal with things quite quickly contributed to
18 the success over the summer.

19 So she said if I was coming, I would definitely
20 mention that she appreciated the efforts on the generators'
21 side in terms of dealing with these conditions during the
22 summer. And that, of course, came hand in hand with the
23 information flow that we had.

24 MS. CASTRO: Thank you for your comment.

25 I think we will proceed on to number 15.

1 MS. HOKE: On this one, we obviously have to be
2 a little careful since after-the-fact cost recovery is one
3 of the measures currently pending in a filing before us.
4 But looking backwards, has anyone actually filed for
5 after-the-fact cost recovery?

6 MS. MC KENNA: I will take that question because
7 it's very easy. No.

8 MR. FARROKHPAY: Number 16 basically says have
9 you used any other measures other than the ones that the
10 Commission approved in the June 1 order to deal with the
11 Aliso Canyon unavailability.

12 MS. MC KENNA: I will introduce the -- we did
13 mention earlier that we did take some measures. We
14 actually did address the material we had prepared for that
15 question. Dede went through the experimental dispatches
16 that we conducted over the summer. But we could certainly
17 answer more questions or review the steps again that we
18 took.

19 MR. SUBAKTI: Definitely, life is different for
20 me, for a lot of the operators in California ISO. I made a
21 lot of new friends in SoCalGas. The extensive
22 coordination, it's really awesome. It's really good.

23 We kind of went through the June 19 event.
24 That's the Blythe compressor challenge that we had. We
25 used exceptional dispatch during that time. We talked

1 about the July 21-22 curtailment watch. We also did use
2 exceptional dispatch. But I think I also mentioned two --
3 coordinations about the two peak days, the two type of
4 peak-day call that we have with the generators, and the
5 other one with the reliability coordinators. Those are
6 very useful during heat waves. I think we did have two
7 heat waves. So those coordinations with the peak-days
8 call. And I agree with Nancy's comment with the fact that
9 during those heat waves, everybody, every generators were
10 literally playing their role, coming out strong in
11 day-ahead, and making sure that the gas supply and
12 everything is available.

13 And last but not least, the August 16 day where
14 we had lost all the three 500-kV line. Those represent a
15 different challenge, because those are forced outages
16 during the fires. We did have a lot of coordination with
17 SoCalGas. They actually provided the gas that we needed to
18 run all resources in Southern California that day, and as
19 you saw in the chart where the gas consumption for that day
20 after 3:00 p.m. was quite a bit larger than the day-ahead
21 prediction, and the prices reflected accordingly. And I
22 believe it was mentioned earlier that SoCalGas were
23 coordinating really well and was able to pull the gas,
24 including, I believe, from the other two natural gas
25 storage.

1 So all in all, I do believe the preparation we
2 did going into the summer allowed us to understand each
3 others better and be able to coordinate each others better.
4 The drill, the simulation of tabletop that we did in
5 California Gas and California ISO and LADWP were very
6 effective.

7 MS. CASTRO: Thank you.

8 And that concludes our morning agenda questions.
9 We are ahead of schedule. So we do have some flexibility
10 for time. At this time we would like to open the floor to
11 questions and comments. Any interest in speakers, please
12 begin to line up behind the microphone located in the
13 center aisle. And I would like to ask, if SoCalGas is here
14 and interested in speaking, all of us would be interested
15 in hearing any remarks you may have. Each speaker will
16 have about two minutes for their remarks. However, we do
17 have some flexibility with time.

18 While we welcome your remarks, please do keep
19 them relevant to the topics discussed today in the agenda.
20 Please state your name and any affiliation, and then
21 proceed to your question or comment.

22 Last, if you have a business card, please do
23 leave a copy with our court reporter, who is here today
24 located to my right, Sara.

25 Thank you.

1 MR. ZORNIZER: Good morning. My name is Devin
2 Zornizer, director of real-time system operations at
3 SoCalGas.

4 The only thing I was going to address was a
5 clarification, I believe someone had a question in regards
6 to the penalty waivers due to OFOs. So the five instances
7 that we did have penalty waivers, they were based on the
8 first scenario, which were Mark had alluded to this earlier
9 where you have a low OFO called the day-ahead or even
10 morning of. And as a reaction, we anticipated the fact
11 that folks would want to schedule more gas on the system
12 due to the low OFO. So a part of that settlement was we
13 would -- if we -- if the overreaction to the low OFO caused
14 a high OFO, we would waive.

15 In all five scenarios -- all five calls were
16 based on that scenario. So there was no low-OFO penalty
17 waiver due to the operational issues we had.

18 That was it.

19 MR. THEAKER: Good morning. I'm Brian Theaker,
20 director of regulatory affairs for NRG Energy. NRG
21 owns/operates -- Andy, you're going to have to help me --
22 about 3,000 megawatts of gas-fired generation in the
23 affected area.

24 I would like to start with a question for the
25 ISO first. For the July 21st event, can you disclose how

1 many units were curtailed?

2 MR. SUBAKTI: I knew you were going to ask that,
3 and I actually was looking for it, and I knew that was the
4 number that I don't have in my notes.

5 MS. MC KENNA: I do, actually.

6 MR. SUBAKTI: You have it in your notes? Okay.
7 Thank you.

8 MS. MC KENNA: I won't disclose the identity of
9 the units. Obviously, that's confidential. But we did
10 limit three units to minimum load, and that's the July 21st
11 event. In that particular scenario, that's the scenario
12 where we had been advised by SoCal that we had a
13 curtailment watch the next day. And so we took the three
14 units to a minimum load in an attempt to essentially
15 minimize the gas burn so that we could reshift and position
16 the units so that the next day we would not be subject to
17 curtailments.

18 The reports given to me regarding the operations
19 at that time was there was a significant concern that if we
20 had to swiftly curtail the next day, which was a
21 possibility, that that could cause a significant
22 reliability issue on our system, and therefore, we took the
23 actions in the day-ahead, the day prior to minimize and
24 reduce those three units to their minimum load.

25 MR. THEAKER: Okay. Thank you. Let me first

1 offer my congratulations to the ISO team and to all of us
2 for surviving the summer. We were fortunate, but I want to
3 acknowledge Cathleen, who led the stakeholder process prior
4 to summer and did some great work in short time to get
5 these provisions in effect.

6 So we do have concerns about -- we went through
7 the process to get the measures that the Commission
8 approved. We would greatly hope that those measures would
9 be exercised in a transparent way rather than exceptional
10 dispatch. We have a better understanding of the situation
11 in July and appreciate that it was more of a localized
12 event. And so I think we understand the ISO's thinking
13 around that event. But I always would like for the ISO to
14 lay out clearly its authority to take certain actions and
15 lay out criteria for taking those actions in advance
16 instead of, you know, resorting to exceptional dispatch in
17 real-time. So we appreciate that.

18 Certainly one thing we learned from Aliso
19 Canyon, I think the ISO acknowledges some limitations in
20 its market bidding systems, and I think we will probably
21 have an opportunity to talk about those more this
22 afternoon.

23 But in general, we agree with the ISO that it
24 was a good summer. We got through with a minimum of
25 disruptions, and hopefully, the luck will hold for winter.

1 Thank you.

2 MS. CASTRO: Thank you, Brian.

3 MR. ROBB: I'm Jim Robb, I'm the chief executive
4 of WECC, the Western Electric Coordinating Council. We're
5 the regional entity responsible for reliability assurance
6 in the Western Interconnection.

7 I want to make a couple of quick observations.
8 First of all, I think I would congratulate the team in
9 Southern California, both DWP, the ISO, and SoCalGas, for
10 as Mark mentioned in his comments a really unprecedented
11 level of coordination. And I think the situational
12 awareness, the visibility that was brought to bear to work
13 through a series of difficult issues when they emerged was
14 unprecedented, and we would like to see that obviously
15 continue, but we try to congratulate them because those
16 three are strange bedfellows in a number of ways.

17 The other point I would make, and I want to
18 underscore something Mark said, we did have an
19 exceptionally good summer for dealing with this issue in
20 that we didn't really have the simultaneous heat wave
21 across the West, which frequently happens, and I think even
22 despite of that, there were a number of cases where we had
23 some fairly heroic actions on behalf of the ISO and DWP to
24 preserve serving load.

25 So my request of the Commission and the Staff is

1 to continue to give the ISO and DWP, to the extent that
2 they come under your jurisdiction, the flexibility and the
3 authority to use the range of tools that they will need to
4 continue to manage through this situation until the gas
5 situation is more fully restored.

6 And even though some of those tools may not have
7 been used in the course of the summer, that doesn't mean
8 that they won't be valuable in the future. So we would
9 like you to continue, to the extent that you can, to give
10 them that flexibility.

11 Thank you all very much.

12 MS. CASTRO: Thank you, Jim.

13 MS. BENTLEY: Hi. I am Carrie Bentley with the
14 Western Power Trading Forum. I've lost my voice a little
15 bit. So these comments will be very brief.

16 I wanted to echo Brian Theaker's comments with
17 NRG. We at WPTF are also concerned not only when these
18 mechanisms are going to be used but how transparent they
19 will be. The use of EDs in these particular situations
20 were perfectly understandable. We just hope going forward
21 that the operators will be given more tools to actually
22 feel that they have the authority to use, you know, what
23 FERC has already approved.

24 We would also like the Commission and Staff to
25 take a look at when you use things in real-time and when

1 they're after-the-fact measures, Keith Collins mentioned,
2 for example, deeming paths uncompetitive, that the
3 Department of Market Monitoring would look at that and then
4 deem a path after the fact that it was uncompetitive. It
5 was our understanding that paths would be deemed
6 competitive more in a real-time situation. So it still
7 remains really unclear how paths are going to be
8 uncompetitive going forward, whether this is going to be a
9 one-off determination, or whether it's going to be
10 automated. And none of this at this point in the BPMS is
11 very transparent. We would like to say we hope going
12 forward this is resolved.

13 Thank you.

14 MS. CASTRO: Thank you, Carey.

15 MR. SCHER: Hi. I'm Andrew Scher, also with
16 NRG, with Brian Theaker. One point, or I guess one quick
17 clarification that I wanted to make sure that I kind of
18 emphasized. I think in some of the key slides, when he
19 highlighted natural gas pricing even during OFO events, you
20 know, relatively stable as he pointed out, it's important
21 to remember, when an OFO is called and the market is,
22 obviously, pricing to that event, gas is normally priced
23 during an OFO at its opportunity cost. And so for an
24 entity who's pricing gas pulling out of storage in the
25 summer, the opportunity costs will be the winter.

1 So given the relatively flat nature of the gas
2 curve, the winter, January, isn't necessarily maybe 30, 40
3 cents above where we are in the path. It's not going to
4 represent, you know, an exorbitant price that you may
5 otherwise see in the winter.

6 In the winter months, during the East Coast,
7 you're used to seeing high gas prices, and that OFO event
8 and when the gas markets move, obviously, in the Northeast,
9 the prompt month natural gas price is very expensive. And
10 that's what you typically see those markets go to.

11 Given that you don't typically see low OFOs
12 called in any market during the summer -- and obviously
13 Aliso is a bit of a one-off for the market -- the
14 opportunity cost to pull gas out of storage would be
15 January, and the relatively flat nature of the gas curve
16 is, in my estimation, the main reason why you don't see
17 those huge spikes that you might otherwise.

18 Thank you.

19 MS. CASTRO: Thank you for your comments.

20 Are there any last-minute speakers or questions
21 or comments?

22 With that, this concludes our morning session,
23 and we will begin the afternoon session at 1:30 p.m.

24 Thank you for all of your comments and questions
25 for this morning.

1 (Whereupon, at 12:29 p.m., the staff technical
2 conference was recessed, to be reconvened at 1:30 p.m. this
3 same day.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 AFTERNOON SESSION (1:35 p.m.)

2 MS. CASTRO: Good afternoon, everyone. We are
3 going to begin the afternoon session. To kick off this
4 afternoon's session, we're going to be discussing -- the
5 focus will be to discuss the longer-term solutions that may
6 be necessary going forward to address any ongoing
7 limitations at the Aliso Canyon facility.

8 I am going to ask if Mr. Mark Rothleder would
9 please kick off the discussion to give some overview as to
10 the winter assessment.

11 MR. ROTHLEDER: So in the longer term, there's
12 kind of two time frames. One is what are we doing for this
13 winter, and we talked a little bit about that this morning,
14 and we will continue to talk about that this afternoon.
15 Certainly, the winter assessment informed our action plan.
16 Again, the winter assessment did indicate that there is the
17 one-in-10 design criteria for the gas system is not able to
18 be met without the Aliso gas facility.

19 However, as we talked about earlier, the -- that
20 does indicate that there may be gas curtailments to noncore
21 customers. Electric generation is effectively the first to
22 get curtailed in the noncore customer set. And what it
23 also indicated is that we have -- because the loads are
24 lower in the electric system, we have greater ability to
25 absorb and respond to those gas curtailments by shifting

1 supply out elsewhere from the Southern Cal Gas System. But
2 we would need to do that in advance in some cases going
3 into a cold day, and that's why we believe some of the
4 measures that, although we didn't use for the summer, some
5 of the measures including the gas nomogram would be
6 something that we would need to have for the winter to be
7 maintained, along with some of the other things like the
8 OFOs.

9 That's the first time frame, is what do we do
10 for this winter because as I think your questions will
11 identify, the field is not back. The field is not back to
12 normal. It's certainly still limited. They have not
13 started to do reinjections. I know the first question will
14 get into that more from Southern California Gas, I think,
15 will respond to that.

16 Looking out further, depending on the status of
17 the field, we will have to start getting prepared for next
18 summer, and we've already started that process. Our
19 transmission planning group is starting to look at plans,
20 what types of potential upgrades, transmission upgrades may
21 be able to reduce the minimum generation for next summer
22 and maybe reducing the reliance on the gas system. Some of
23 those upgrades are already things that are already moving
24 along. There's some transmission upgrades that are already
25 planned to be in place, and some of those, in fact, are

1 going to be coming on for this winter. Maybe Dede can
2 expand on that.

3 And then we have to look out a little further.
4 Maybe Kevin Barker can talk about this in this session.
5 And that is, what's the longer-term perspective of -- in
6 terms of things that we can do to reduce the reliance on
7 Aliso in the longer term. And those may take on
8 infrastructure changes. I know there's already things in
9 place to bring additional electric storage, battery storage
10 into the area. But we have to look at this holistically,
11 because this is a large field. This is a large part of the
12 infrastructure. You're not going to be able to change
13 immediately. But if you look out longer term in the
14 planning horizon, it opens up options to potentially do
15 things that would reduce certainly the reliance. And
16 that's something that the CPUC is looking at in
17 consultation with the California Energy Commission and
18 others, including the ISO.

19 So I think those are the time frames of what
20 we're looking at, and all that will always be informed on
21 kind of new assessments and always consider the new
22 opportunities for the horizon that we're looking at.

23 MS. CASTRO: Thank you for that overview, Mark.

24 At this point in time, I would like to introduce
25 Kevin Barker from the California Energy Commission to also

1 provide an overview on the winter assessment. Thank you.

2 MR. BARKER: Thank you. So a few things I
3 wanted to highlight about the winter assessment. We
4 received a number of comments, actually back during the
5 summer assessment, asking for a third-party review. And so
6 we took those comments to heart, and we contracted with
7 Los Alamos to have an independent third-party review of the
8 hydraulic modeling of the gas system and our methodology of
9 it. So that is one difference.

10 Another difference for the winter assessment was
11 we did a gas balance look for longer duration gas balance,
12 and we came up with four different scenarios. A number of
13 those scenarios, we know we're long past that, so one of
14 the scenarios being that we see reinjection on September
15 1st. Well, we've already -- we're past that deadline. And
16 that was assuming that we might have up to 50 billion cubic
17 feet in Aliso Canyon.

18 We also did two other sensitivities where we
19 would see reinjection on October 1st. The difference
20 between the two was one of them was looking at limited
21 reinjection. The other one was looking at a reasonable
22 estimate of what we could see in reinjection.

23 I think what we will get to in one of the later
24 questions of -- do we think either of those are reasonable
25 with the time frame of reinjection for Aliso, and I think

1 the answer is no.

2 And so the fourth scenario was no Aliso Canyon.
3 So I think where we're at is somewhere between no Aliso or
4 limited reinjection of Aliso.

5 A thing I would like to note is we did hold a
6 workshop down at Diamond Bar on August 26th. We received
7 comments on the report on September 9th, and right now,
8 we're reviewing those comments, and we plan to do an update
9 of the -- we plan to do an update of the report, as well as
10 a summary of comments and get that back out within the next
11 few weeks.

12 In there, I wanted to touch on some of the other
13 mitigation measures. Mark touched on one of them earlier
14 today. But we have a total of 10 additional winter
15 mitigation measures. They fit within six different
16 categories. The first category is gas-targeted programs.
17 One that we're looking at is is there the ability for a gas
18 demand response. I know we haven't really been able to see
19 that come to fruition thus far, but the mitigation measure
20 asks for the PUC to direct SoCalGas to implement a DR
21 program that reduces large customers -- that rewards large
22 customers for reducing their load.

23 Another thing that we're looking at is what kind
24 of marketing campaigns can we put in place for the public,
25 so for asking everyone to change their behavior just in

1 general going forward, and then, more specifically, on
2 those kind of flex alert days, flex alert for gas, core use
3 is going to be a lot different than what we're used to in
4 the summer.

5 We also have what we're calling winter
6 operational changes. So we're trying to continue with the
7 tight noncore balancing rules. And so the Public Utilities
8 Commission is looking at the rule that they have in place
9 and any tweaks that they need to do to it.

10 We're also exploring the option for adding core
11 balancing rules. So this is something that we've done
12 before. But we suggest SoCalGas should utilize meter reads
13 info is analyzed at the first part of the day and update
14 gas quantities scheduled thereafter. And the PUC needs to
15 actually take action on that.

16 And then the third one I won't touch on because
17 Mark touched on it earlier today, but another mitigation
18 measure that we have is, obviously, the use of Aliso Canyon
19 right now. And as it stands, it's a little bit under 15
20 billion cubic feet, but that, obviously, is a mitigation
21 measure that we have the rules already in place with the
22 PUC, and they're looking to take a look at the protocols
23 and see if they need to do any tweaks.

24 Another one is just -- we're calling it reduced
25 gas maintenance downtime. This is one where we're just

1 asking for there to be additional reporting on any type of
2 maintenance on the system, whether it's planned or
3 unplanned.

4 And then I would also note that we are looking
5 at the possibility of increased gas supplies. So one of
6 the issues that -- the comments that we received was that
7 we're only expecting 60 million cubic feet per day from
8 California natural gas production, and folks think that
9 there might be other opportunities in the San Joaquin
10 Valley. And so the Energy Commission is on point for
11 exploring those options. We don't know really the
12 economics or the operations of the line, and its line 85
13 that would bring it in, but that is another mitigation
14 measure we're exploring.

15 We also heard about opportunities for liquefied
16 natural gas. And so we're looking at what are the
17 capabilities of using Costa Azul in Mexico with the Otay
18 Mesa as the receipt point. There have been concerns
19 expressed about affiliate rules issues. And so the Energy
20 Commission and the Public Utilities Commission are looking
21 at ways of mitigating that issue.

22 And then moving on to monitoring gas prices,
23 economic consequences of gas curtailment for noncore,
24 nonelectricity generators, these are the refineries, could
25 have significant impacts on the gasoline prices in Southern

1 California. And so we're looking at ways of helping with
2 that. Also, we have a mitigation measure for the Attorney
3 General to monitor the gas prices and look for any
4 potential manipulation and prepare actions, if needed.

5 Let's see. So those are our mitigation
6 measures. One thing -- the last thing I do want to
7 highlight that Mark pointed out was we did put into our
8 integrated energy policy report, which is our large
9 biannual report that looks at cross cutting energy issues
10 in the State of California and comes up with
11 recommendations. In last year's report we did in our
12 scoping plan acknowledge the fact that in future years we
13 were going to look at not only the long-term issues
14 surrounding Aliso Canyon, but natural gas infrastructure in
15 general. And the legislature weighed in on that. The bill
16 that they put additional language was our budget act bill,
17 Senate bill 826, and they called for the California Council
18 on Science and Technology to develop a -- to have \$2.5
19 million to develop an independent study exploring the
20 long-term viability of natural gas storage. And so it
21 calls for the PUC to oversee the work from CCST, with the
22 help of the Energy Commission and DOGGR, the Division of
23 Oil, Gas, and Geothermal Resources. So it was going to be
24 housed at the Energy Commission, but now it will be done
25 through the Public Utilities Commission, and that report is

1 due to the legislature on December 31st, 2017.

2 Thank you.

3 MS. CASTRO: Thank you, Kevin.

4 I'm going to check in with Staff. Are there any
5 follow-up questions? Dave and Chris and Pat, in that
6 order.

7 MR. REICH: This is hopefully a simple follow-up
8 question for you, Kevin. If an emergency situation came up
9 now, there are rules in place that SoCalGas could pull from
10 Aliso Canyon?

11 MR. BARKER: Correct. Yes. So they currently
12 can. We haven't needed to use it yet, but they can.

13 MR. ROTHLEDER: Just to highlight, those
14 protocols do provide for the ability for the ISO or LADWP
15 to declare that they have an electric emergency
16 effectively, and that would be one of the triggers that
17 they would consider for withdrawing from Aliso Canyon. And
18 that's part of that heightened level of coordination, is
19 those protocols about how we actually call for and use the
20 field when we need it to prevent wider electric
21 interruption.

22 MR. ELLSWORTH: I just wanted to explore a
23 little bit more on the additional supplies. You said there
24 may be options for getting additional production. Is that
25 anticipated to be in time for the winter?

1 And then also, on the LNG, how far in advance
2 are those plans? Is anybody actually stepping up to buy
3 cargo? And also, would Otay Mesa be large enough to handle
4 the amounts of gas coming out of there to be able to add
5 much relief to Aliso Canyon?

6 MR. BARKER: So the first part of the question,
7 we've just started exploring the opportunities of looking
8 at using line 85 to both put additional -- to be able to
9 produce additional supplies and then actually can you
10 actually operate the line effectively. So we don't have a
11 timeline of knowing whether it's actually going to be
12 available for the winter, but it's a measure that we're
13 going down, and hopefully, that will have an answer at some
14 point.

15 As far as the ability to receive liquefied
16 natural gas, I don't think we necessarily have an answer.
17 I think SoCalGas might have more information on, you know,
18 what they've been exploring.

19 MS. SCHAUB: This goes back a little bit to this
20 morning, but there was a bit of discussion about why we
21 didn't wind up with power outages this summer. And just so
22 we understand how the planning is done, when the planning
23 was done for the summer or the planning now being done for
24 the winter, does that take these contingency plans into
25 account?

1 MR. ROTHLEDER: So when we did the assessment,
2 we didn't know how effective the measures would be. And so
3 the assessment was performed basically to assume worst
4 case, we didn't have any ability to withdraw from Aliso
5 Canyon. And that was not a bad assumption, because at the
6 time we didn't know how many wells were going to be tested
7 and available ongoing into the summer.

8 I think we have a little better picture about
9 the well availability for withdrawal for the winter, but
10 even that is somewhat dependent on the status of the field
11 and the pressures available in the field to withdraw.

12 But to answer the question about the mitigation
13 measures, the assessments -- the assessment was intended to
14 inform the action plan, and it provided an idea of what
15 needs to be done, what could be done. We did not circle
16 back around and say okay, how effective those would be and
17 determine what the reduced risk would be under those
18 mitigation measures.

19 When we did the summer assessment, we assumed
20 those mitigation measures would be helpful in reducing the
21 risk, but as we said, we didn't believe that it would
22 eliminate the risk, and.

23 We still believe that's the case. Even into the
24 winter, these measures are helpful, and obviously for the
25 electrical system, the lower loads are helpful. But I

1 don't know to give the impression that there's no risk.
2 The risk is still there. It's just that it's a different
3 type of risk, and it looks like it's a more manageable
4 risk, at least on the electrical system, but the gas risk
5 is still there and may actually even be heightened because
6 of the increased gas demand in the winter.

7 MR. FARROKHPAY: Mark, you mentioned protocols
8 for declaring electric emergency to be able to -- for ISO
9 or for LADWP to be able to withdraw from Aliso Canyon. Are
10 those developed or underdeveloped?

11 MR. ROTHLEDER: Those protocols were developed
12 for the summer. They will be revisited and refined as
13 necessary for the winter. Really, effectively, before we
14 get to the point where we're having to interrupt load,
15 there's a step in there that basically allows us to call
16 for and ask for withdrawal to prevent the need to interrupt
17 load. It's a little more detailed than that, because there
18 is lead time to withdraw from the field. So if we are
19 going into a day that looks at risk, we would say that we
20 would have that conversation with Southern Cal Gas, and
21 they would actually, our understanding, place people there,
22 prepare the field for timely withdrawal if we needed to
23 withdraw on the actual day. So there is a bit of
24 coordination day-ahead going into a risk period and then
25 the actual withdrawal call-out if we are in emergency

1 conditions.

2 MR. FARROKHPAY: Are these in the form of CAISO
3 operating procedures?

4 MR. ROTHLEDER: No. These were protocols
5 developed in conjunction with the CPUC and Southern Cal
6 Gas, and they are documented. Do we have a companion
7 procedure that refers to those? Yes.

8 MS. CASTRO: I would call on Dave.

9 MR. REICH: To follow up on that, so then the
10 electric generation would then have preference over the
11 core customers for that gas?

12 MR. ROTHLEDER: So the rules for withdrawal
13 right now say that it's there to provide a mitigation
14 against both electric and gas reliability. So it's both
15 for the effectively maintaining core but also -- core gas
16 customers, but also if the electric system is in jeopardy
17 of having to interrupt load, that's a cause for needing to
18 withdraw from the gas field.

19 MS. CASTRO: Okay. Thank you.

20 We are going to proceed into this afternoon's
21 agenda. I would like to call SoCalGas to, please, come up
22 to the microphone in the center aisle for agenda item 1 for
23 this afternoon. Thank you.

24 MR. ELLSWORTH: Good afternoon. The first
25 question is about the current status of Aliso Canyon, where

1 it is in terms of being brought up again, how many wells
2 have passed inspection, the latest projections for when it
3 may come back online.

4 I also have a question, are there other hurdles
5 to bring it back online besides just the physical issues
6 with the wells?

7 MR. ZORNIZER: So as the system operator, I
8 can't speak to specific issues related to bringing the
9 field back online. So what I can give you is the status of
10 where the wells are, different sets of wells. And I can
11 also relate it to your other question in terms of timing.
12 We're not necessarily focused on a time, date per se. We
13 just want to make sure we complete the testing and safe
14 return of the field. So there's no specific date
15 established at this time.

16 To date, there's a total of 114 wells at the
17 storage field. 100 percent of them or all of them have
18 completed the first phase. So there's three phases of the
19 testing. All of them have completed the first phase. 96
20 of those have moved on to the second phase of testing. So
21 it's approximately 84 percent. 23 of those 114 have
22 completed all the required tests. And 20 of those 23 have
23 received final DOGGR approval. That's not to say we could
24 have final approval to inject or operate, but they have
25 received final DOGGR approval. And we update the DOGGR Web

1 site weekly. So I imagine today Pacific time in the
2 afternoon there will be a new update. So these might be
3 about a week old, these numbers.

4 MR. ELLSWORTH: Just a quick follow-on question.
5 When it comes back on, will the release capacity -- the
6 ones that pass, will they be allowed to operate at full
7 capacity, or it will be a reduced capacity, and will that
8 affect the overall capacity of the field?

9 MR. ZORNIZER: What I can say is, based on the
10 physical limitations of the wells that will be operating,
11 the field will operate at a reduced capacity.

12 MR. ELLSWORTH: Okay. Thank you.

13 MR. REICH: One quick follow-up. Out of the 20
14 wells that have passed final inspection, per well, what is
15 their withdrawal capability? Is there a general amount?

16 MR. ZORNIZER: I really can't say specifically.
17 Based on what I know of the storage field, every well
18 operates differently based on its depth and where it's in
19 the zone. So I really can't say specifically, but the
20 company is doing the testing.

21 MR. REICH: Thank you.

22 MS. CASTRO: Okay. We will proceed on to agenda
23 item 2 this afternoon.

24 Dave?

25 MR. REICH: A little different take on the way

1 the question is phrased. Sorry. A little different take
2 on the way this question was phrased. Looking at your
3 winter assessment and what you talked about earlier this
4 morning, the notion that you have a minimum gas burn you
5 have to maintain for min gen, what is that gas burn level,
6 and then the corresponding amount of minimum generation? I
7 probably have about four follow-ups behind that part, not
8 to make it a multi-part question.

9 MR. ROTHLEDER: So the minimum generation in
10 terms of -- I will put it in gas burn perspective. It
11 looks like about 100 MMcf would be the minimum gas burn.
12 And it's actually between about 20 and 96 and a million
13 cubic feet, depending whether you have a contingency
14 already occurring or if it's normal conditions.

15 So when we got to curtailment level that
16 basically said you couldn't even burn that much amount,
17 then we would be at a point where we would have to say
18 okay, where do we get that gas, and that would be a
19 condition of being in a choice of do we reduce load or do
20 we withdraw from Aliso Canyon, and therefore, the Aliso
21 Canyon withdrawal amount at least for electric reliability
22 looks like it may be needed in about 100 million cubic feet
23 per day, if and when we get to that point where we are
24 encroaching on the minimum generation.

25 MR. REICH: Can you put that into an electric

1 value as far as how much generation you think you have to
2 carry?

3 MR. ROTHLEDER: Dede has the --

4 MR. REICH: While I'm at that, if there's a
5 corresponding amount of generation that you have to carry,
6 how much transfer capability does that support coming in?

7 MR. SUBAKTI: Sure. The Southern California
8 load is significantly lower during the winter, roughly
9 about 18,000 megawatts of load. Normal import into
10 Southern California during normal winter day, it's about
11 12,000 megawatt. And if we were to actually calculate the
12 import capability into Southern California, it's right
13 around 17,000.

14 So first of all, normally, we don't import that
15 much. We only import 12,000 out of the 17,000 import
16 capability that goes into the winter. That 17,000 is
17 actually quite a bit of an improvement compared to last
18 winter, and part of it Mark did mention, we made a lot of,
19 you know, physical changes in the system during summer, and
20 we are expecting a new 500-kV line in Southern California
21 Edison area that comes from Vinson to Mira Loma, and Mira
22 Loma is where basically the L.A. Basin is. So that allows
23 us to enhance that transfer capability to 17,000
24 megawatt-ish.

25 So when you look at that, you really need very

1 little what I call minimum online commitment in the -- in
2 the L.A. Basin -- in Southern California. We still have
3 the hydro unit, the non -- pretty much the nonnatural gas
4 unit available. So really it's minimum. If all the
5 500-hundred-kV line, if all the transmission line becomes
6 unavailable.

7 If we do have a contingency, say, at one of the
8 500-kV line out of service, we could get pretty quick to
9 need about 2,000 megawatts additional generation. So
10 that's what -- the 96 MMcf day that we use is really
11 assuming the worst. And you asked the question, if we
12 actually lose that 500-kV line in the beginning of gas day
13 at 7:00 in the morning and I have to go through it and I
14 cannot put that line back into service, that is the 96 to
15 100 MMcf per day. It's about 2,000 megawatt.

16 MR. REICH: Let me ask that question again
17 because I forgot to turn on my microphone for the second
18 time. So we can repeat it for the court reporter. Of the
19 12,000 megawatts of load and 17,000 megawatts of transfer
20 capability, is that all CAISO, or does it also include
21 LADWP?

22 MR. SUBAKTI: So the total load of Southern
23 California --

24 MR. COLLINS: That I mentioned is 18,000
25 megawatt, and that 18,000 megawatt include the LADWP.

1 MR. REICH: Just to follow up one more time on a
2 part of it, is there any dual fuel capability in that
3 region that could be called upon? Is there any efforts to
4 start to bring that -- make that available?

5 MR. SUBAKTI: Sure. In California ISO, when we
6 were looking for the mitigation for summer, we did survey
7 and go to all of our resources, and to my knowledge, we no
8 longer have a dual fuel capability in Southern California,
9 in the California ISO territory. We are working closely
10 with LADWP, and I'm personally aware that there is effort
11 to try to have dual fuel capability in the LADWP area.

12 MS. CASTRO: I would like to make note that Pat
13 has a follow-up question and Kevin Barker.

14 MS. SCHAUB: Do you have anything else coming
15 online, either transmission or generation, that will
16 improve your ability to operate during the winter, and will
17 that affect your gas needs?

18 MR. SUBAKTI: Sure. I had mentioned very
19 quickly, there is a transmission -- a 500-kV transmission
20 line that we're already approved in a part of our
21 transmission planning process, and that is the line that
22 comes from Vinson to Mira Loma, 500-kV line, and that line
23 is currently scheduled to be in service October. So next
24 month. Looking forward for it.

25 That does give us another feed into the Mira

1 Loma-L.A. Basin-Orange County area. It's quite a bit --
2 500-kV line is providing a lot of import capability, and
3 that's, you know, why the 17,000 megawatt is, like I
4 mentioned, is quite a bit higher than what normally needs
5 to be, and it's different every winter, but this winter,
6 it's pretty high.

7 MR. ROTHLEDER: So the winter assessment did
8 include that upgrade, when we did the winter assessment
9 that came out with the minimum gas burn.

10 MS. CASTRO: Kevin, would you like to follow up?

11 MR. BARKER: I wanted to do a follow-up on
12 Dave's question of dual fuel capability. That was actually
13 one of the LADWP's mitigation measures in the summer, that
14 they did comply with South Coast Energy Management District
15 to only have under extreme conditions when the power grid
16 will actually go down, are they able to do -- have the
17 capability of using dual fuel. That was actually granted.
18 The permit for that, though, expired on September 13th, and
19 so that is continuing as now a winter mitigation measure,
20 and I believe they have an application before South Coast
21 to continue with that.

22 MS. CASTRO: Okay. Thank you.

23 We will now proceed to agenda item number 3 with
24 Pat.

25 MS. SCHAUB: We've covered some of this already,

1 so I may put a little wrinkle in it, if that's okay. The
2 question is how will the winter's increased demand for
3 natural gas from residential, commercial, and industrial
4 customers affect the amount of gas supply that is expected
5 to be available to electric generators. You're welcome to
6 expand on that, if you want, but has anything happened in
7 terms of a curtailment plan that would change so that if
8 there isn't enough supply, when electric generators get
9 hit, is there anything? Does that add a bell or whistle to
10 it?

11 MR. ROTHLEDER: So just to answer the question
12 directly is that the core and the nongeneration gas demand
13 does increase in the winter. As I indicated earlier, in
14 the winter, it's about -- the core gas demand makes up
15 about 60 percent of the total gas demand. Whereas, in the
16 winter, it's about 20 percent of the gas demand.

17 I think the priority is, obviously, to maintain
18 service to the core gas customers, and I think, obviously,
19 if you reduce to the point where you interrupt those
20 customers trying to get all those pilot lights relit is a
21 major effort. So their priority is to maintain gas service
22 to the core.

23 There has been some modifications. I'm not in
24 tune with the details of the model, but there have been
25 changes to the curtailment priorities. Effectively, if

1 there is gas curtailment, electric generation may be
2 curtailed, I believe, for 60 percent of the electric
3 generation, and then after they get to the first 60
4 percent, they will move on to other noncore customers, to
5 the extent possible, including hospitals, refineries, and
6 stuff like that. And then if that's not sufficient, then
7 effectively, it comes back to electric generation for the
8 balance of the 40 percent.

9 And so whereas before -- and there is some
10 judgment around that protocol, but that's effectively the
11 steps that are taken. And that's all done before they ever
12 get to the point of core gas curtailments.

13 So I think the bottom line is, if we get to
14 that, we could probably withstand the first 60 percent. If
15 we got to the second step where we're taking the last 40
16 percent of the electric generation, somewhere in there is
17 where we would start to say okay, you're getting -- you're
18 curtailing us so much that we would have to potentially
19 interrupt electric load, please can you then withdraw from
20 Aliso Canyon to prevent that from happening. So it would
21 be in that second step of the electric generation
22 curtailment.

23 MS. CASTRO: We will now move on to agenda item
24 number 4 with Alan.

25 MR. PHUNG: Could CAISO provide more details or

1 describe the operational plan that's currently in place for
2 the upcoming winter period?

3 MR. SUBAKTI: Sure. As a part of our normal
4 seasonal process, we do winter seasonal assessment to
5 assess acceptable system performance for all lines of
6 service, for following a single contingency, for following
7 multiple, what we call credible multiple contingencies.
8 These are all the contingency analysis that we do with
9 different situations, what if the generation is not
10 available, what if a transmission line is not available,
11 what if fire and all this kind of stuff.

12 In addition to normal system assessment, our
13 staff conducts the sensitivity assessment to look at
14 specifically what are the impact in Southern California for
15 potential gas curtailment. The result of that assessment
16 is actually the one that was incorporated in the joint
17 agency report. That's where the number comes up with the
18 22 Mcf a day, all the way to the 100 MMcf a day, talking
19 about the 17,000-megawatt -- roughly 17,000-megawatt import
20 capability into the Southern California bubble. That's all
21 the analysis and the power flow analysis that we did for
22 this particular winter.

23 Now, normally -- and we did look at this in the
24 original assessment. We will continue to manage and
25 coordinate our outages, electric generation outages,

1 transmission maintenance, along with the pipeline and the
2 gas facility outages. Some of you may be aware that we do
3 have a regular call with my staff and Devin's staff on the
4 coordinations of our generation outages, our transmission
5 outage, and along with our -- the SoCalGas pipeline
6 facility. We try to align all those to make sure that we
7 are being efficient and reliability in our operation.

8 So that will continue. That will continue.

9 Now, one of the thing that we have been talking
10 about is we are looking at coordinating this in the
11 day-ahead manner in the following sense and we already know
12 that in the seasonal assessment, we already see the fact
13 that if we have a high electric load, electric winter
14 peaking that could be at the same time as the gas usage
15 hitting winter peaking as well, in these situations we may
16 use the maximum burn nomogram that we were talking and we
17 were requesting to be continued. And the thought was or
18 the strategy would be utilizing the max burn gas nomogram
19 in the day-ahead would reduce the exposure, would limit the
20 exposure for us in the real-time curtailments. In other
21 words, if you put 100 an Mcf a day as a target in the
22 day-ahead, then the exposure that you have is 100 Mcf. So
23 that is one way, one strategy that we could limit our
24 exposure for the real-time curtailment.

25 The strategy going into the real-time, we would

1 continue to coordinate with SoCalGas, utilize the nomogram,
2 and exceptional dispatch in ensuring transmission
3 reliability in the event of either a real-time event due to
4 gas curtailment, but also it could be because of
5 transmission forced outages.

6 So those are the plans going into summer --
7 going into winter. Sorry.

8 MS. CASTRO: Does Staff have any follow-up
9 questions? Pat and then Dave.

10 MS. SCHAUB: As a part of that plan, are there
11 any derates or outages of major transmission lines coming
12 up that you have had to take into account?

13 MR. SUBAKTI: Sure. As a part of the
14 assessment, we actually assess the -- when transmission
15 maintenance is. Currently, the transmission maintenance,
16 the normal planned maintenance that we're expecting to do,
17 at least the planned outages that has been posted in our
18 OASIS and LADWP OASIS, it's all been -- we've tried to
19 coordinate to make sure that it doesn't happen in January
20 where normally our load winter is peaking, January/February
21 time frame. So we, to the best of our knowledge and to the
22 best of our way of doing planned maintenance, we've tried
23 to do all the planned maintenance right around October and
24 November time frame for the potential winter peaking.

25 The other thing that we include in that seasonal

1 assessment is the more -- the sensitivity of the more
2 historical transfer flow from the Northwest because many of
3 you know that many of the Northwest entities are winter
4 peaking. So we did an assessment assuming the normal flow
5 capability. For example, in our transmission line with
6 Pacific -- the DC Intertie, the DC Intertie is our link
7 straight from Northwest down to Southern California. It
8 has a full capability or a full capacity of 3,100
9 megawatts. But during the winter, if there is high load in
10 the Northwest, they normally don't export that much.
11 Typically, it's always been about 12- to 1,500 megawatts,
12 which is half of the normal utilization. That's actually
13 what gets into the seasonal assessment as well.

14 MS. CASTRO: Dave?

15 MR. REICH: There was a reassessment of the
16 emergency rating of Path 26. Can you describe that and how
17 much extra capacity are you going to be able to get out of
18 that? Are there limitations on how often you can go up to
19 that level, as well as for how long?

20 MR. SUBAKTI: Sure; sure. First of all, I would
21 like to share my appreciation with the coordination that
22 has occurred between WECC Staff, peak reliability Staff,
23 LADWP's, and really the neighboring TOPs in that area. As
24 many of you, the Path 26 is a path that connects Northern
25 California and Southern California. It consists of three

1 500-kV line, and it has what we call a WECC path rating of
2 4,000 megawatt.

3 Now, the WECC path megawatt of 4,000 megawatt is
4 established some time ago, and it's basically to ensure
5 that if we were to have a contingency of a loss of the two
6 500-kV line, the remaining one 500-kV line does not over
7 load the emergency rating.

8 With that Path 26, there is an automated scheme
9 that's called a Remediated Access Scheme, the RAS, where
10 basically automatically this curtail generation in the
11 north, curtail load in the south if the event were to
12 occur.

13 Now, what we did is we basically get everybody
14 together and review the validity of the 4,000 megawatt.
15 Now, the 4,000 megawatt is a boundary condition that was
16 set through a WECC path rating process. And that was set
17 some time ago, and the system has changed. So we looked at
18 the system and the true system capability and the true
19 impact of the remedial action scheme that we have.

20 So what's happening, then, is that the true
21 transfer capability of the system could actually vary
22 between 4,000 megawatt, and it could go up to 4,100, 4,200,
23 it could go 4,300. It really depends on how much load that
24 we have in the Southern California that is available to be
25 automatically curtailed if the two line were caught under

1 contingency. So the true increase of the capability is
2 somewhat linear in the availability of the load. So in
3 other words, if you have high load, you have higher
4 transfer capability. If you have lower load in Southern
5 California, then you have lower transfer capability. But
6 that actually works towards our advantage, because when you
7 have the high load is when you need more transfer
8 capability.

9 So that's basically what's going on with Path
10 26.

11 I do also want to note that although we don't
12 put this too much, but the allowance of -- not the
13 allowance -- yeah, the allowance or the provision to
14 utilize emergency rating of a path with reliability and
15 WECC is actually beyond just Path 26. Because we actually
16 look at all the path that we have in and out of Southern
17 California. For example, Path 45, Path 45 is our path that
18 goes between California and New Mexico. We also look at
19 that and ask this question do we have emergency capability
20 in that path during that -- during the needed condition.

21 So what we have established is basically looking
22 at every single path that goes into Southern California and
23 looking at if there is any emergency capability into the
24 system.

25 Now, there is also a process on how we could tap

1 into that emergency rating. And one of the processes is
2 actually following through the normal what we call the
3 Energy Emergency Alert, the EEA process. EEA process is
4 under NERC EOP standard, Emergency Operating Procedure
5 standard, and it basically allows us to tap and work with
6 the reliability coordinators and working with the
7 neighboring TOP and neighboring BA, neighboring balancing
8 authority, to utilize that emergency capability under some
9 step in the Energy Emergency Alert process. So we wouldn't
10 be able to use it under normal condition, but it would only
11 be utilized when an EEA, Energy Emergency Alert, is called
12 upon.

13 MR. REICH: Can you disclose how much extra
14 capacity that would be if you go to use it?

15 MS. MC KENNA: I hate to do this, but we're not
16 entirely certain that we can right now. So we're going to
17 keep that confidential for the time being.

18 MR. REICH: Thank you.

19 MS. CASTRO: Thank you, Dede.

20 I would like to proceed on to agenda item number
21 5 with Tom. Thank you.

22 MR. DAUTEL: So I feel like I've heard a lot of
23 these answers in the last question and Kevin's earlier
24 remarks. But in case anybody wants to expand on this or
25 fill out the record, what other contingencies could impact

1 the winter's operations and what measures does CAISO plan
2 to mitigate this?

3 MR. SUBAKTI: Sure. We have approximately
4 17,000 megawatt transfer capability. If you lose one
5 500-kV line, it could easily be reduced by 2,000 megawatt,
6 just with that one most extreme 500-kV line. That's where
7 roughly 100 Mcf a day that is in there. If we have
8 generation outages, also, it may result in the reduction of
9 transfer capability.

10 The gas line, I think one of the questions in
11 there was the gas -- the upstream pipeline pressures and
12 the upstream pipeline outages. That could also reduce the
13 supply. I think the report talks about the fact that we
14 assume that 85 percent utilization, which comes out to be
15 about 4.2 Bcf. So if the supply of the gas is lower than
16 that, then we could get into trouble as well.

17 I think you also asked the question about what
18 measures that we are doing to mitigate some of that,
19 mentioned about enforcing the gas constraint potentially in
20 the day-ahead to reduce potential risks that we have in the
21 real-time curtailment. We are looking at, I mentioned
22 quickly following the EEA, the Energy Emergency Alert
23 process, that would allow us two things really, to look at
24 tapping the emergency path or transfer capability that is
25 in there.

1 I do want to add that we also have a measure
2 that reallocating our operating reserve, we have learned
3 that reallocating operating reserve under zone would free
4 up additional generating capacity. That has been useful.
5 Of course, we have our water district that we could work to
6 adjust pump schedules during the winter. And emergency
7 system from a neighboring balancing authority, through that
8 process, we have an agreement for an emergency assistance
9 from our neighboring BA.

10 Those are our measure that try -- that would
11 mitigate some of this contingency that could result in
12 either a reduction of capability for us to import or as
13 well as serve electric load.

14 MS. CASTRO: Thank you.

15 We will move on to --

16 MR. BARKER: If I could follow up with one more.

17 MS. CASTRO: Sorry, Mr. Barker.

18 MR. BARKER: One more mitigation measure, and it
19 gets to coordination with other state government agencies.
20 We do -- we have been conducting biweekly calls with the
21 major participants, being us at the Energy Commission, the
22 Public Utilities Commission, the ISO, but then also the
23 California Office of Emergency Services and Cal Fire. And
24 the biweekly calls do look at reliability throughout the
25 state but also focused on Southern California and really

1 looking at the risk of fires. We've seen fires intensify
2 over the past decade or so, and so we do have a coordinated
3 effort on high-load days, where fires are, and potential
4 where transmission infrastructure, as well as electric
5 generators and what we can do with regard to landscaping
6 and things like that.

7 MS. CASTRO: Thank you.

8 We have move on to agenda item number 6 with
9 Kate.

10 MS. HOKE: Obviously, a very important aspect of
11 this conversation has been measures to maintain
12 reliability, but one of the other objectives of the
13 measures accepted in the June 1st order was improving
14 resource's ability to recover their natural gas costs.

15 So is CAISO currently considering, other than
16 measuring approved in the June 1st order or things that are
17 pending before the Commission right now, is CAISO
18 considering any other measures for enhancing gas cost
19 recovery, either within the context of Aliso Canyon or just
20 generally?

21 MS. COLBERT: This is Cathleen Colbert from the
22 policy department within the ISO. So we are actually in
23 the process of launching a new initiative as we speak and
24 as we're talking. And we are in the final revision phase.
25 So it will be launched as soon as possible. But that

1 initiative will be -- is called commitment costs and
2 default energy bid enhancements and its purpose will be to
3 evaluate whether enhancements could be made to our market
4 design to increase the ability for generators to recover
5 their cost expectations.

6 We will be evaluating the market designs
7 impacting bidding flexibility, where bidding flexibility is
8 defined by the ISO under this project as the balance to
9 allow generators or suppliers to submit bids that reflect
10 their willingness to provide energy at a given price
11 measured against the ISO's need to protect consumers
12 against the exercise of market power or gaming strategies.
13 That balance will be a very integral part of that
14 stakeholder process, trying to determine what is the right
15 balance to strike in order to achieve both goals that are
16 very important.

17 The second part is that we will be looking at
18 ensuring that the mitigated prices that we use when
19 mitigated are reasonable reflections of supplier's
20 expectations of costs.

21 Additionally, I want to note that while it is
22 not going to be a part of a new initiative, we have
23 previously stakeholders and have a board approval policy
24 that will also increase the flexibility of generators to
25 reflect their costs within the market processes and improve

1 their ability to recover these costs. And that was
2 stakeholdered under commitment cost enhancements Phase III.

3 The ISO, under this, will be transferring
4 use-limited resources, pending approval because it hasn't
5 been filed, but the policy is that it would transfer
6 use-limited resources to a proxy cost option, which would
7 enable us to develop their mitigated prices off of the
8 improved, more timely daily gas price. Currently, it uses
9 a monthly forward price that isn't really able to capture
10 that intra-month volatility that we are seeing. Even we
11 talked about intraday volatility that Keith spent time
12 talking about. So being so far in advance, we are aligned
13 that there are definite improvements and benefits to be
14 made of pursuing that.

15 And those two initiatives have really been, it
16 is one that is upcoming as well as our pending -- our
17 intention to file those tariff revisions, are what we are
18 intending to address long-term market enhancements.

19 MR. COLLINS: Market Monitoring plans to be
20 involved in the upcoming stakeholder process, and we also
21 believe it's important to have flexibility. But the
22 measures of protection that are captured in our default
23 energy bids have for us today and continue that going
24 forward.

25 I think that there are some lessons learned and

1 some observations that we've had that provide a pretty good
2 foundation that we might need to think about going forward.
3 One is the slide that I presented earlier showing the
4 difference between the lagged index that's used and updated
5 price. That, we've argued, can be a permanent rather than
6 just a temporary feature to the market. We talked about
7 Monday trading as well earlier today, and there may be some
8 avenues in the day-ahead market. There is information
9 available that could potentially be utilized to create
10 updates that could be used to help frame that index better,
11 particularly for Mondays.

12 Third, we talked about, in the slide that we had
13 earlier today, we showed the same-day trading, and that
14 information, much like the trading information that's
15 available in the next-day market, is also available between
16 that 8:00 to 9:00 period in the morning, and that
17 information can be helpful or useful in helping shape
18 real-time. And so we think that there's information there
19 as well.

20 And then again more on a going-forward basis and
21 not necessarily something to be mindful of the current
22 items before the Commission is to think about the recovery
23 mechanisms as well and how that may play a role in sort of
24 a permanent solution going forward. Obviously, we want to
25 work with the ISO on any other permanent measures as well.

1 But we wanted to lay out some lessons learned and some
2 foundational items that could be useful.

3 MS. CASTRO: Thank you, Cathleen and Keith.

4 I would like to call on Bahaa and then Dennis
5 for some follow-up questions.

6 MR. SEIREG: What exactly is inefficient about
7 the way things are done now versus the way things can be
8 done in the future? Is it just updating gas prices, or is
9 it something more than that?

10 MS. COLBERT: Thank you for your question,
11 Bahaa. I would like to note at this time we wouldn't be
12 making a statement quite as definitively as you did saying
13 they're inefficient. So we are launching a new initiative.
14 The very first phase in launching a new initiative is to
15 evaluate the issues, do analysis, really size out and
16 provide support for an initial statement like that and at
17 that time we would normally proceed into options and kind
18 of moving forward.

19 Let's assume that we get to that conclusion,
20 because the second part of your question is what about that
21 that we would look at. So the ISO's reference levels, we
22 have commitment costs ones that we call our commitment
23 proxy cost calculations. We also have our dispatchable
24 energy bids. There's on dispatchable energy three
25 different options you can pick, LMP, a negotiated, and a

1 variable. Let's just focus on the variable and the proxy
2 cost, because it's a similar concept. We define the cost
3 components that are reasonable within that calculation, and
4 for the fuel cost components, we use the next-day price,
5 and there's two different. For the day-ahead, we use the
6 prior day, and for the real-time, we use the price
7 published on our day-ahead morning.

8 There's -- the issue that we will be looking at
9 and trying to size is whether or not the use of a next-day
10 average. Average by definition may have some limitations
11 that we may need to perform some analysis on, as well as it
12 be next-day and not reflective of real-time prices is
13 something that we will need to do some additional work on
14 and turn back around to a conclusory statement. First we
15 are going to be launching the first step, which is really
16 determining if there are inefficiencies that would require
17 enhancements.

18 MS. CASTRO: Dennis?

19 MR. REARDON: Just a quick question. I know
20 there was some concern by EMI entities during the previous
21 proceeding about whether they could recover their gas
22 costs. Would this reformed proposal extend to -- would the
23 scope extend to EAI entities as well?

24 MS. COLBERT: Dennis, thank you for that
25 question. I think this may have just been a clarification

1 issue is that there were some scope items that we put into
2 Phase I of Aliso Canyon's filing that came from a prior
3 stakeholder process called the bidding rules enhancement
4 process. That has recently been filed. So we will be
5 careful. But under that, those were all stakeholder,
6 systemwide and so when they were traded in Aliso, we did
7 caveat those would remain systemwide. So we have backward
8 looking after-the-fact cost recovery under the temporary
9 provisions. It does apply across the system. And we did
10 clarify that with our stakeholders off-line afterwards.

11 MS. MC KENNA: This is Anna. I just wanted to
12 clarify. I think your question was also targeted at
13 upcoming changes, if we were to make any --

14 MR. REARDON: Right.

15 MS. MC KENNA: In that regard, anything that
16 affects our real-time market would also affect the EMI
17 entities. So we would be looking at that as well. And
18 that is the opportunity for the EAI entities to participate
19 in the process and provide input.

20 MS. HOKE: Just one more follow up on this. A
21 recurring theme we have seen over and over again is the
22 ability to recover OFO penalty costs. So has that been a
23 part of any of CAISO's discussions? Also, I know as we
24 discussed this morning, pursuant to the current settlement
25 that's in place, there are some waiver options. And so

1 this might be a better question for SoCalGas. Has that
2 been something that's been considered as maybe extending
3 some of those? So CAISO first, and then if SoCal has
4 anything to say.

5 MS. MC KENNA: I will make a couple of comments
6 with regard to the OFO penalty assessments and how they
7 might translate into our market. We've had a lot of
8 discussion about that at the ISO, and some of it has been
9 public through our filings as well. You've all read that,
10 of course. You've all had discussions as well at the
11 national level about these types of issues.

12 There's controversies one way or another, of
13 course, how we do it and how we conduct those. But I think
14 that is going to be a part of our next round of
15 discussions. Again, it will be a part of our stakeholder
16 process to consider to what degree and under what
17 conditions those might be recoverable. But in our -- I
18 just wanted to note, and I can't get into it, actually, now
19 that I think about, is it's pending before you, because we
20 do have a proceeding before you. Anyway, yes, we have
21 considered it. It's a part of our continued discussions
22 with our stakeholders. And we hope to shed more light on
23 that ourselves.

24 And I will turn it over to maybe if Cathleen has
25 any other comments.

1 MS. COLBERT: Thank you, Anna. I wasn't sure,
2 because there is a pending filing. But if we focus it on
3 the Aliso filing perhaps? Okay. So focusing on that lens,
4 we did have a lot of different discussions. Our position,
5 the ISO's position is that as far as cost recovery for kind
6 of anomalous events that we're not -- those risks were not
7 able to be managed, that is something that an
8 after-the-fact cost recovery is more appropriate for.

9 And given that these are one-off, very
10 anomalous, couldn't be anticipated events, they're not
11 something that we can streamline a detailed list of factors
12 or triggers to evaluate. And it is something that there is
13 many different sensitivities to, and it might even require
14 some guidance on when it is appropriate or not appropriate
15 for such an issue as an OFO. And that is one of the
16 reasons that we put in the first phase as filing the
17 after-the-fact cost recovery proposal to extend that right
18 to file under a 205 here at the Commission for such an
19 event, because we did think that it was more appropriate
20 for a just and reasonable assessment to be made, given all
21 those different facts and circumstances under that,
22 especially given the sensitivity behind those noncompliance
23 charges.

24 MS. HOKE: Thank you.

25 MS. CASTRO: We have a follow-up question from

1 Pat.

2 MS. SCHAUB: This follows up on Kate's question,
3 but it's two-pronged. One is, when you're thinking about
4 your cost recovery provisions, do you take into account
5 other mechanisms such as SoCal's OFO forgiveness? And what
6 would you need from something like SoCal's OFO forgiveness
7 to feel like you can rely upon it so you wouldn't have to
8 or would -- so you wouldn't have to use it, or would you
9 always need to be able to have your own mechanism? I'm
10 trying to figure out the interplay between the two
11 mechanisms.

12 MS. COLBERT: Yes, Pat, this is Cathleen again.
13 And I would like to kind of toggle maybe a little bit of
14 the narrative around the cost recovery. Cost recovery
15 wasn't designed to necessarily provide recovery for those
16 charges, nor was it designed to be something that we would
17 be able to say this is exactly what it's for. It's for an
18 anomalous event that the market processes, the market
19 design could not capture. And kind of focusing on our long
20 term, our lens and our priority under our long-term
21 initiatives is not cost recovery.

22 Our long-term priority is to improve the
23 valuation of resources within our market processes, so that
24 the market's dispatch solution supports -- is the
25 least-cost constrained impact. So we're looking for

1 efficiency improvements in our market processes. That's
2 really the lens just of what I was referring to in the new
3 initiative rather than kind of the after the fact.

4 The after the fact was stakeholdered and under
5 bidding enhancements and it was a slightly different
6 conversation than the one that we're proposing to address
7 the issue teed up under this.

8 MS. CASTRO: Thank you.

9 We will move on to agenda item number 7 with
10 Alan.

11 MR. PHUNG: With the growing dependency on
12 natural gas, what long-term action is the ISO considering
13 in regards to making the transmission system more robust or
14 reliable?

15 MS. MC KENNA: This is Anna. I just wanted to
16 make a suggestion with regards to this question. It's a
17 little bit of a request for clarification as well. But we
18 did view this question very similar, if you wish, to the
19 question pertaining to what elements in our transmission
20 planning are we considering with regard to Aliso. So there
21 might be a little bit of overlap and combination between
22 those two. We will probably get into that question, and
23 that is question number, as I flip through this, 11.

24 MS. CASTRO: We can cover both of those
25 questions.

1 MS. MC KENNA: Thank you. We think there's a
2 lot of overlap between the two.

3 MS. CASTRO: We agree. Let's cover number 7 and
4 number 11.

5 MS. MC KENNA: Thank you.

6 MR. ROTHLEDER: I think I will take this one.
7 So as a part of the ISO's transmission planning process, we
8 do have a component that is now specifically trying to
9 address electric-gas coordination. And that has been in
10 place, however, for the 2016-2017 transmission planning
11 cycle, it's taken on a unique and kind of special focus
12 around the Aliso Canyon situation. And indeed, next week,
13 we will be coming out with kind of our first -- or a
14 stakeholder process around our 2016-2017 plan. And in
15 there, there will be discussion about kind of an assessment
16 and a planning horizon around transmission upgrades that
17 may be helpful in addressing the Aliso Canyon constraint.

18 So that is coming up on September 21st and 22nd.
19 The ISO, this work relied, in part, on similar type of
20 study that the joint agency task force work did for the
21 summer. And so it's very similar, but it does take on a
22 unique focus in the sense of what are the options and the
23 planning horizon, including transmission upgrades that are
24 already in progress or already approved and what other ones
25 may be beneficial to reduce the gas reliance.

1 If I could, one more thing on that, I'm going to
2 twist the question around a little bit, because there's
3 also -- I want to articulate that there is a changing
4 landscape of all gas storage facilities in California.
5 There's some new rules that are coming in place by the
6 Division of Oil and Gas and Geothermal Resources. And
7 there's been recent bills, Senate bill 887, that highlight
8 that there may be changes around the ability to
9 potentially -- how the storage facilities are used, how the
10 wells are used that may affect their production ability
11 going forward.

12 There will probably be enhanced testing and
13 review efforts, and those could impact availability of the
14 storage fields at different times. And I think we're
15 watching that very closely from the perspective of because
16 of this changing landscape, are there measures that may
17 need to be kind of more permanent measures that may need to
18 be in place to be responsive and make sure that the
19 electric system is able to coordinate with these changing
20 conditions on the gas systems.

21 So while we're not -- we're kind of focused here
22 today about the use of the measures and extending those
23 measures into the winter. I want to give you some
24 foresight that we may be looking at potentially making some
25 of these permanent, to the extent they are useful and

1 effective in mitigating some of the broader gas changes in
2 California.

3 MS. MC KENNA: This is Anna. I wanted to follow
4 up on Mark's theme with regard to that issue. As he said,
5 we are watching these changes in the gas industry very
6 closely, and they immediately affect us once they come into
7 play.

8 Commissioner LaFleur, I think, mentioned earlier
9 this morning this has given us a bit of an opportunity to
10 think creatively. Necessity is the mother all of
11 inventions. Some of the tools we've created through this
12 process, although we haven't had a chance to use them, are
13 tools that we think we might be able to use in other parts
14 of our system.

15 And we do plan on looking at that very closely.
16 If we were to make some changes, I want to assure you from
17 a procedural perspective, the tools that we will be asking
18 for extension in this process will be only for the purposes
19 of Aliso. Given that short time frame, we don't have the
20 ability to develop those throughout. We would have to
21 conduct another stakeholder process and make sure those are
22 more fully developed for purposes of system-wide usage.

23 But it's certainly true, as Mark is
24 foreshadowing, that we are looking at these issues, and the
25 lay of the land is changing quite a bit for the gas

1 pipelines in California, and that may have implications for
2 us.

3 MR. FARROKHPAY: Just to complete the rest of
4 item number 11, the transmission planning studies have a
5 local reliability assessment component to them, especially
6 the studies that you refer to in this particular cycle, the
7 2016-2017 cycle, is that also going to address the local
8 reliability requirements that then feed into the resource
9 adequacy framework?

10 MR. ROTHLEDER: Yeah. They mainly have focused
11 on the local reliability needs, kind of coming up with,
12 again, local minimum generation need for local reliability
13 purposes to meet peak loads in whatever planning year in
14 the planning horizon. But when they do the studies they
15 also do look at the underlying ability for import
16 capabilities, Path 26 limitations, skit import limitations
17 into the area. So they look at the broader set of
18 constraints on top of the local reliability constraints
19 when they're looking at those -- doing those planning
20 assessments.

21 MR. FARROKHPAY: You said those are -- will be
22 released next week?

23 MR. ROTHLEDER: The first set will be released
24 for discussion next week, yes.

25 MR. FARROKHPAY: Thank you.

1 MS. MC KENNA: Not the LCR, not the locally
2 constrained area reliability study --

3 MR. SUBAKTI: Local capacity reliability area.

4 MS. MC KENNA: I'm so used to the acronyms, I
5 actually forget what they mean. Thank you. That will come
6 out next week. It's this study we just did and are
7 conducting for based on the summer experience and what we
8 could anticipate that Mark was referring to.

9 MR. FARROKHPAY: I was just trying to get a
10 sense of whether for next resource adequacy year, whether
11 we will have something new that will be coming out of this
12 special study, or are those all predetermined already, from
13 the LCR studies that were done earlier in the year?

14 MR. SUBAKTI: Sure. My staff is also working
15 closely with the PUC Staff with regard to resource
16 adequacy's role in California.

17 So the thought behind this is that we are trying
18 to find out what is the impact and what transmission
19 infrastructure need that we need to actually implement in
20 terms of physical wire or physical -- maybe synchronous
21 condenser or something we need to do in there.

22 Once that's -- once those are implemented in the
23 system or have a transmission plan being actually built in
24 the system, then those physical facility will be included
25 in what we call the LCR study, the local capacity

1 requirement study.

2 The LCR study is pretty much basically done with
3 looking at what is the next minus 1, line out or generation
4 out, and that is normally done right around April time
5 frame.

6 So the LCR study's requirement for the resource
7 adequacy for 2017 is already completed, and we are
8 currently not looking at redoing the LCR study for 2017,
9 because it's -- it basically already includes all of the
10 transmission facility that we know is going to be in
11 service by 2017. But the expectation is, once we do all
12 transmission planning analysis and make an investment
13 choice with regards to infrastructure building, then it
14 will be included in the following LCR studies.

15 And of course, with the new capability, the
16 expectation is, then, the resource adequacy might be lower
17 for -- the resource adequacy requirement for the local area
18 might be lower based on that analysis after the facility's
19 been identified.

20 MR. ROTHLEDER: And I think being in April, the
21 local capacity requirement study associated with resource
22 adequacy, that will certainly be informed of the status of
23 the field and the long-term expectation of the field
24 availability. So I think that will be the next opportunity
25 to make any resource adequacy local capacity requirement

1 adjustments going forward into the 2018 time period.

2 MS. CASTRO: Okay. Thank you.

3 We will proceed on to agenda item number 8 with
4 Dennis.

5 MR. REARDON: This is another one where I think
6 we've touched on this before, the specific changes that
7 CAISO has made in coordinating with everyone regarding the
8 limited availability of Aliso Canyon and the lessons
9 learned from those.

10 If you could expand on those relative to a sort
11 of looking forward perspective, that would be great, and
12 also if you could let us know if there's any reason why
13 these changes in coordination couldn't be permanent or if
14 you were planning to make them permanent.

15 MR. ROTHLEDER: I think the -- as I said
16 earlier, I think the level of coordination between Southern
17 Cal Gas, LADWP, the ISO, the state agencies, market
18 participants really is significant and unprecedented in
19 terms of the changes being made.

20 And I think you're correct. I think we've
21 learned a lot from those, and I think a lot of those will
22 become permanent fixtures in terms of our going-forward
23 coordination efforts and may very well expand to
24 coordination with some of our other gas companies in
25 California, including enhanced outage coordination, maybe

1 more advanced information about the expected gas burns.
2 All those, I think, are transferable and could be certainly
3 permanent tied going forward.

4 I think there are lessons to be learned. As I
5 said earlier, probably not everything went perfectly, and I
6 think we're still learning as we go about how to make
7 things better and enhance them. And as those learning
8 opportunities come along, we certainly do implement those
9 going forward. I think early on going into the summer
10 there was some opportunities where we enhanced outage
11 information, and we have that in place now with Southern
12 Cal Gas. There's information that we get through our
13 nondisclosure agreement that we have some advanced notice
14 that we can incorporate into our planning process -- or our
15 operational planning process so that we don't double up
16 outages that could not align well with each other.

17 And I think as I said earlier, there's probably
18 an opportunity for increasing further the transparency
19 where we can about the measures that we're taking with all
20 stakeholders. So we will look for those opportunities.

21 MR. REARDON: You said a few things didn't go
22 perfectly. Would you like to elaborate on any that didn't
23 go perfectly?

24 MR. ROTHLEDER: I think the one that I described
25 early on, there were some outages, planned outages on some

1 storage facilities that, going into the summer, we were
2 already kind of nervous about what was going on, and we
3 weren't aware, but we became aware of an outage on one of
4 the storage facilities that could have affected us. And
5 once we knew that, we had some broader discussion about
6 what could be done. And we understood better why it was
7 going on early in the summer instead of later in the
8 summer, and it was really to kind of move it out from the
9 higher risk later summer conditions.

10 So once we understood that, we understood the
11 reasoning for that. But just not being aware of that and
12 having it come up always makes us nervous. So that was a
13 learning opportunity.

14 MR. REARDON: Thank you.

15 MS. CASTRO: Thank you.

16 With that, we will proceed on to agenda item
17 number 9 with Dave.

18 MR. REICH: The Commission has accepted CAISO's
19 compliance filing to leave its timelines in place for its
20 day-ahead nomination, the time it runs its market. But I
21 do believe that was before Aliso Canyon went out. And it
22 was raised as an issue in the June 1 order, and I guess the
23 Commission left it alone.

24 But I think in going forward, if there is no
25 Aliso Canyon or it's severely curtailed, and perhaps in

1 light of CAISO's ability to do better forecasting, is CAISO
2 considering or at least looking at potential benefits to
3 moving up its timelines to more closely match the gas
4 markets?

5 MS. MC KENNA: This is Anna. I'll start the
6 discussion on this and then I'll ask Cathleen to elaborate
7 a little bit on the issues related to this item.

8 So we did actually look again to see whether we
9 should change the timeline in our Phase I effort, and
10 through our discussions with our participants, we
11 realized -- and with the gas company, we realized there was
12 really not going to be a benefit to it, and it would have
13 increased the risks. And I'll ask Cathleen to describe
14 that.

15 But having realized that, we didn't put it
16 forward last time, and we weren't thinking about changing
17 that again this time around because we still feel those
18 constraints exist. That doesn't mean we'll never look at
19 it again. Going forward, it might be a different issue on
20 other parts of the system. But for the time being, we
21 think that's not necessarily going to add a benefit to us.

22 I'll ask Cathleen to explain a little bit about
23 the structural rigidity that exists in terms of changing
24 and providing benefits.

25 MS. COLBERT: Thanks, Anna. This is -- and this

1 was stakeholdered, I would say, and, as Anna mentioned,
2 twice, it was done through bidding rules enhancements and
3 then we did another review of it under Aliso Canyon Phase
4 I.

5 And not surprisingly, stakeholders' positions
6 did not change drastically between those two processes.
7 But part of the issue is there's so much actual overhead
8 infrastructure that is in place, both for the ISO as well
9 as for the stakeholders. So as far as a cost, when you
10 start to look at the costs and benefits of that kind a
11 move, the costs are extremely high of moving the market
12 timeline earlier. The change requires operation changes
13 across every single participant, as well as the ISO.

14 Looking at the benefits, there are -- there
15 might be improved benefits, but those benefits were not
16 something that we could be certain might really -- because
17 conceptually, I understand where the question is coming
18 from, because you get the results earlier, you have more
19 information.

20 And that is why we proposed the two-day-ahead to
21 provide those schedules to market participants. We talked
22 through this, and we asked the question, what provides the
23 most benefit, providing you kind of an advance notice, some
24 information that can give you an anticipation of what your
25 burns would be or moving the day-ahead market timeline.

1 And having that conversation, the outcome is
2 what you saw in Phase I filing, is that the advanced notice
3 more information that they could use to better prepare for
4 their day-ahead market had larger benefits. Some of the
5 constraints that Anna's referring to is that -- the first
6 one is that while we have had forecast improvements, our
7 forecasting of variable energy resources or intermittent
8 resources, it gets better the later it's done during the
9 day.

10 So we have already struck a balance as when we
11 run or do these forecasts, and that's something that
12 stakeholders weren't very supportive of undermining through
13 a move.

14 Additionally, there's some pretty deep-rooted
15 processes around intertie transactions marketing that is
16 done on the west, as well as just kind of procedural
17 history as to how that is done and how it's tagged. And
18 moving it earlier imposed potential issues on the intertie
19 markets, on the import and export transactions, which is
20 liquidity that -- and we've even talked about those imports
21 and exports providing value through this process as a
22 mitigation measure.

23 And so undermining their flexibility and their
24 ability is another huge cost of making that move. So we
25 had a very dynamic conversation about these moving pieces

1 and came out that additional information, especially as we
2 noted our two-day-ahead and our day-ahead results seem to
3 be we did see some pretty favorable outcomes of them lining
4 up fairly well. So this information was helpful, and we
5 saw it over the summer provide them what they needed to bid
6 more consistent with anticipated conditions in the
7 day-ahead.

8 MR. COLLINS: Just to echo a point that Cathleen
9 just made, is that the timing of the -- of both the gas
10 markets, the bilateral electric markets, and then the ISO
11 markets, if the ISO market were to move any earlier, it
12 creates some challenges in terms of the timing of the
13 different markets that are occurring.

14 One of the things we talked about is the extent
15 that updated prices could be used, you sort of lose that,
16 and you -- the ability even for the trades to actually have
17 occurred in some cases versus when the ISO market is
18 running is kind of overlapping potentially, depending on
19 how early you run it. So I think Market Monitoring's
20 position is that we don't -- we also don't see the benefits
21 of shifting that as well, and the current timeline is -- it
22 doesn't end up in these timing issues that you get with
23 these other markets.

24 Thank you.

25 MS. CASTRO: Thank you all for your responses.

1 We will move on to agenda item number 10 with
2 Kate. And also, I wanted to make note that we are probably
3 going to elaborate a little bit further on the stakeholder
4 process in this question as well.

5 MS. HOKE: So obviously, you've just started the
6 Aliso Canyon Phase II stakeholder initiative. And we've
7 talked a little bit about some of the extensions that you
8 may want to do. So I just wanted to open it up to you guys
9 to see if there's any of those things that you would like
10 to highlight here.

11 And also, I think what I was understanding is
12 that would be another set of interim measures to deal
13 specifically with Aliso Canyon. I just wanted to clarify
14 that. And then after that, I will probably have a
15 follow-up question for Keith regarding exceptional
16 dispatch.

17 MS. COLBERT: Thanks, Kate. And yes, I'm happy
18 to clarify. So our stakeholder plan for gas/electric
19 coordination is that we will be -- we launch Phase II, and
20 it will be for a filing for temporary provisions to extend
21 us through winter and, perhaps, past. I've mentioned some.

22 We have pending filings waiting on that
23 opportunity cost filing under commitment cost enhancements,
24 as well as we've launched this new initiative. So we are
25 hoping to try to bridge as much as we can until we can get

1 some long-term enhancements. But we're still working
2 through exactly what the details of that means.

3 Both Anna and Mark have mentioned that we are
4 evaluating the provisions. We will talk through whether or
5 not -- we've left it on the table that they may be needed
6 in a more permanent fashion. We are waiting to do that
7 evaluation until we have completed the winter period so
8 that we can do the same kind of postmortem and see how it
9 functioned through winter. We will likely be launching
10 another stakeholder review and ask that question, what
11 needs to be made permanent or not, some time in Q3 of next
12 year.

13 What we are -- want to talk about -- so your
14 question here is largely about the Phase I provisions and
15 what we plan to extend, retire, and any changes. So I'm
16 going to walk through kind of each of them as quickly as I
17 can.

18 The first one is providing the two-day-ahead
19 market information. As we just talked about, we got
20 positive feedback that they were helpful. We saw it in the
21 bids through Mark's chart he showed in his slide deck of
22 the improved ability to manage that real-time/day-ahead
23 burn. So we are going to -- we plan to propose to extend
24 providing that two-day-ahead information to the market
25 participants.

1 Just noting changes very quickly is, in addition
2 to providing the two-day-ahead residual unit commitment
3 information, there has been some request for us to consider
4 providing either more clarity or, perhaps, giving them the
5 gas burn information that we're sending to the gas company
6 so that they, again, coordinating the information that
7 we're sending to everyone.

8 On the second scope item, using the improved
9 day-ahead -- used the improved next-day index, the index is
10 published the morning of our day-ahead run in our day-ahead
11 market processes. We plan on implementing this as soon as
12 possible once we receive some clarification, and we will
13 continue to be asking for the authority to do this, because
14 through both the ISO's analysis and DMM's analysis we have
15 seen analytical support for the benefits it provides.

16 I just wanted to note, as Keith mentioned, that
17 DMM also believes this is very important, and that's
18 something that we're aligned on, and we are working
19 together.

20 On the third scope item to provide -- where we
21 asked for the authority to impose a scaler in the real-time
22 markets on our gas price indices, two different ones, the
23 commitment costs and then default energy bids, applied
24 varied scalars. We are planning on asking for an extension
25 of this. Again, this is really -- we have heard positive

1 feedback from the stakeholders and that people have been
2 using them in order to -- both using the rebidding
3 flexibility that came through kind of the base bidding
4 rules enhancements scope items and using the increased
5 scalers in the real-time, which is showing -- providing
6 them greater flexibility to reflect that higher real-time
7 price information relative to the day-ahead markets.

8 On the fourth one, the rebidding, which I just
9 touched on, so under that bidding rules enhancements, we
10 had the rebidding of commitment costs. If you did not
11 have -- for hours without a day-ahead schedule, we are now
12 providing the functionality for suppliers to rebid their
13 commitment costs in the real-time. Once committed, they
14 wouldn't be able to rebid through their minimum run time.
15 We're proposing to extend that as well.

16 We also proposed provisions to no longer insert
17 bids for resources without a day-ahead schedule that do not
18 have a real-time market must-offer obligation into our
19 real-time process, and we're proposing to extend that.
20 Those are two of the bidding rules scope items.

21 Looking at now the operational tools. We talked
22 about the max and the minimum gas constraints. We are
23 planning to ask to extend the authority to enforce the gas
24 constraint, but we do plan to retire the minimum
25 constraint. After the summer and given the flexibility to

1 reflect lower bid costs if you need to manage that
2 limitation, we don't see it as a need.

3 On the authority to adjust the internal transfer
4 paths capability, what we talked about, we are planning to
5 retire that one.

6 And Dede, I thank you very much for your
7 thorough explanation of the change in the peak reliability
8 policy around adjustments to the system operating limits
9 that we can use under emergency conditions.

10 The issue that was stakeholdered on that item
11 was really being able to try to avoid shedding load during
12 really difficult times to manage the grid in Southern
13 California. And so this change to the policy addresses
14 that. And so that's why we're proposing to retire that
15 scope item.

16 For the authority to extend virtual bidding, as
17 we mentioned, we do have some concerns about potentially
18 impacts of changes when you have the max gen constraint in
19 the market versus when you don't. Let's say if you have it
20 in the day-ahead and you don't have it in the real-time,
21 that that does impact your dispatch solution, which can
22 impact the marginal unit.

23 So there are potential differences. And
24 depending on the frequency of the constraint, there is a
25 question as to whether or not it might be systematic or

1 not. So we are asking to extend the authority, just given
2 the -- we have not gained any more certainty than we have
3 from Phase I. And so we do believe that all of our
4 requests under Phase I, it's the same condition that we
5 would need this authority.

6 And the last one is that after-the-fact cost
7 recovery. That's also bidding rules enhancements. We're
8 asking to extend that in a temporary perspective if we do
9 not receive an order from the filing that has been
10 submitted. So we do intend to ask for those again if we
11 haven't received any feedback.

12 MS. HOKE: Thank you.

13 MR. COLLINS: If I may just give the Market
14 Monitoring perspective.

15 I think we are in favor and support the
16 extension in the short run. We think it's very prudent
17 that the measures that Cathleen talked about have been very
18 helpful. There's a couple I just want to highlight here.

19 One Cathleen noted is we think the update to the
20 day-ahead with the ICE information is, perhaps, the most
21 important from our perspective. We do think the scalars
22 should also be extended, but based on empirical evidence, I
23 think the discussion early on was was it too low. I think
24 we also want to also ask the question well, is it too high,
25 and if there's anything we need to do, again based on

1 permanent -- based on the market results and any potential
2 results that are occurring.

3 And then in addition, we also believe -- and
4 this is sort of an additional item that we identified.
5 There wasn't, at least in the initial discussions on Aliso,
6 exceptional dispatch wasn't discussed as much. And so as
7 we went through the summer, our concern became well, if
8 exceptional dispatch is a tool, that it has been used and
9 could be used, then we believe that mitigation would be
10 prudent for both incremental and decremental exceptional
11 dispatches.

12 And then finally, we do think that the
13 mitigation measures that have been put in place for the
14 suspension of virtual bidding in case of some
15 inefficiencies, and then also the appropriateness of
16 deeming constraints uncompetitively, we think those are
17 important.

18 Just one clarification on deeming paths
19 uncompetitive. We would not be doing this retrospectively.
20 It would only be prospective. It would be based on
21 observed. We have to observe the gas constraint in place.
22 We would have to identify that it appeared that it was
23 causing a competitive constraint -- a transmission
24 constraint to be deemed competitive when, in fact, it was
25 uncompetitive. And then we'd also have to observe impacts

1 on bids and prices as a result of that.

2 And so the analysis we would do would identify
3 that, and then we'd provide recommendations to the ISO as
4 to we believe this path needs to be deemed uncompetitive.
5 But again, nothing would be retrospective, and we'd likely
6 be able to provide a summary of what we saw, maybe not
7 before it was deemed uncompetitive but, perhaps, you know,
8 afterwards why it was chosen, what was the analysis that
9 was done.

10 And so that's just to clarify a point from
11 earlier. Thank you.

12 MS. HOKE: That actually does lead me to my
13 follow-up question, which is in the current tariff, there
14 are provisions that provide for mitigating exceptional
15 dispatches that are associated with noncompetitive
16 constraints. So I'm kind of wondering, since you already
17 have the ability or this package would provide the
18 authority to deem paths uncompetitive in the Aliso Canyon
19 area, how does the current tariff not already include the
20 mitigation authority that you would need?

21 MS. MC KENNA: I can help try to address that,
22 actually. It's a little bit confusing because we use the
23 same terms for multiple such things.

24 But in our tariff, we do have the authority to
25 mitigate exceptional dispatches for noncompetitive

1 constraints. But those are for particular exceptional
2 dispatches.

3 What we're talking about here is in the market
4 itself, when we enforce a constraint, the max gen
5 constraint, currently, there isn't -- there isn't the
6 ability to say that we would select some path as not
7 competitive as a part of our market power mitigation, and
8 that is what we are talking about here when we're talking
9 about the procedure that DMM would use to identify those as
10 noncompetitive. Then that would then go into our market
11 systems and flows through.

12 Whereas, the procedure you're thinking up in the
13 tariff is with regards to exceptional dispatch. So I think
14 there's a bit of confusion there. I'm starting to get
15 that, that there's a bit of confusion there, and I believe
16 that's the answer to that.

17 MS. HOKE: I think I'm going to have to digest
18 that a little bit, because I feel like we're still talking
19 about exceptional dispatch.

20 MS. MC KENNA: Well, what you were talking
21 about, I can confirm, what Keith was talking about, was the
22 designation of competitive path assessments for local
23 market power mitigation?

24 MR. COLLINS: I actually talked about both. I
25 did mention exceptional dispatch, and I did talk about

1 that.

2 To follow up, there are -- for exceptional
3 dispatch, there are very limited reasons why I would
4 mitigate, and you would have to have uncompetitive
5 transmission path, which as I understand is different from
6 uncompetitive gas constraint or --

7 MS. MC KENNA: That's a difference, too.

8 MR. COLLINS: And I think we're also recognizing
9 that it's incremental, and I think one of the points that
10 we're noting is that decremental should also be considered
11 as well.

12 MS. COLBERT: Before we move on, I did want to
13 note, because a part of this question asked about changes,
14 and while we're still working on Phase II, so there may not
15 be anything conclusive really today, we are going to have
16 additional conversations. Some of the technical
17 implementation details, we've talked through kind of the
18 high-level policy of them, but we are reviewing some of the
19 formulations, as well as the factors that were detailed in
20 the white papers and some of the procedures on using the
21 maximum gas constraint in the papers just to improve
22 overall clarity and to ensure it serves the purposes of
23 operations.

24 MS. MC KENNA: This is Anna again. I actually
25 wanted to take this opportunity to just say that everything

1 we've talked about here today about coming to you is all
2 subject to our board approval, which hasn't happened yet.
3 And even before that, it's subject to the process being
4 quickly as Cathleen has just described. These are our
5 impressions here before you, but we do have some work to be
6 done.

7 And I wanted to address the issue exceptional
8 dispatch, perhaps, as well. This is a very important issue
9 to us, the mitigation of exceptional dispatch. DMM has
10 raised a very good point, and we are looking into it very
11 closely. We can't say right now it's going to be a part of
12 the package we're going to bring to you. I will describe
13 what we have ahead of us over the next 15 days.

14 But there's no guarantee that we'll get all the
15 analysis done by then, but the ISO is committed, and we
16 have committed and working very closely with DMM and our
17 stakeholders to explore exactly what type of mitigation is
18 needed, under what circumstances. And if we could not get
19 that to you by the time we make our filing for Phase II, we
20 would come back and make another filing and make sure we
21 have that in place if it's necessary. So it's not a part
22 of the package right now, because it's something we're
23 considering very closely right now and have to conduct some
24 additional analysis on.

25 MS. CASTRO: I believe we have some follow-up

1 questions from Staff. We'll start with Dave and then Pat.

2 MR. REICH: From Staff's perspective, you're
3 looking at probably a mid-October filing date.

4 MS. MC KENNA: Yes.

5 MR. REICH: So when would you request action by?

6 MS. MC KENNA: Okay, so thank you for leading to
7 my -- so I was not very happy to ask for such quick action.
8 But we have commenced our stakeholder process. Once the
9 winter assessment came out, we did the best we could to get
10 our ideas out to stakeholders. We're looking to next week
11 to actually issue a -- what we would call a draft final
12 proposal and then take to our board the draft final
13 proposal on October 3rd and then come to you with a filing
14 on or about October 15th. And we will do it as soon as
15 possible after October 3rd. It's entirely possible that we
16 could do it sooner than that, but we do have some stuff
17 that needs to get done before we bring it to you.

18 Once we get to that point, that gives you 45
19 days, hopefully, to issue us an order by November 30th so
20 we can continue these measures by December 1st. And I see
21 I'm making people very happy here about that, but given the
22 time frame, that's sort of our trajectory right now, to
23 request for leave from the 60-day notice so we can have an
24 order in 45 days to get the measures in place for December
25 1st. They do expire otherwise on November 30th.

1 MS. CASTRO: Pat and then Saeed.

2 MS. SCHAUB: I'm trying to get a sense of scope.
3 Mark, when you were here at the Commission meeting some
4 time back talking about the summer preparedness, it sounded
5 like the biggest concern dealt with the 17 plants in the
6 L.A. Basin.

7 Is that still what we're talking about here, or
8 are we now talking about all of Southern California? Can
9 you elaborate on kind of what the scope of this is?

10 MR. ROTHLEDER: So even back then, the most
11 immediately affected resources are in the L.A. Basin. I
12 think what we learned from the analysis and the assessment
13 is that if the gas system is stressed, those stress
14 conditions can manifest themselves and cause issues in
15 other parts of the Southern Cal Gas System and potentially
16 affecting all gas generation across the entire Southern Cal
17 Gas System. And so that's why really we do believe that
18 the risk is really more extensive than just the L.A. Basin.
19 It really affects all the Southern Cal Gas resources in
20 taking service from Southern Cal Gas Company, including
21 San Diego.

22 And so that's why if you look at our analysis,
23 our selection analysis, we are measuring the total amount
24 of gas burned across all of the generation fleet that takes
25 service from Southern California Gas. And that's why the

1 measures are tailored to all those resources that are also
2 taking service from Southern Cal Gas.

3 MR. FARROKHPAY: Cathleen, you mentioned that
4 you are planning to start a stakeholder process to see
5 which features you will make permanent in the third quarter
6 of next year?

7 MS. COLBERT: Saeed, that is an anticipated.
8 We've talked a lot through, and Anna largely as -- I'm
9 going to defer to her on this.

10 MR. FARROKHPAY: I guess my question was, the
11 provisions that you will file October 14, how long are they
12 supposed to be in place?

13 MS. MC KENNA: That's a really good question,
14 because I think we've confused that a little bit with our
15 preview of what the world might look like in the future and
16 how we might transition to that more on a permanent basis.

17 But for the purposes of Aliso, what we do know
18 is we have the winter assessment now. We have also had the
19 opportunity to go through the summertime period. And what
20 we do know is that injections will probably not commence,
21 and even if they do commence injecting again, the chances
22 of having full functionality in Aliso next summer are not
23 that high.

24 So what we are hoping to do is to request that
25 these measures that are specifically tailored for the

1 Southern California system would remain in place through
2 the winter and the spring/summertime frame so that we don't
3 have to come back and do this again. Provided, however, if
4 things went well in the spring, we would withdraw those and
5 say okay, we don't need them anymore. But we think we have
6 enough experience now to know we will probably need these
7 measures through the summer again next year.

8 So we were hoping rather than coming back every
9 quarter to ask for them, that we would just now take care
10 of the winter and spring/summertime period, taking us again
11 to the end of November, just to keep in mind that our
12 summer goes a little bit further out on the west. So we're
13 thinking to go at least to the end of November again. So
14 that gives us a good chunk of time.

15 Now, if for whatever reason the wells are fully
16 functional again or we have access to Aliso or other
17 measures have taken place, we have improvements where we
18 don't need them, that's fine. We can either withdraw them
19 from the tariff, or we don't use most of this stuff.

20 But it is important for us to start planning for
21 at least this annual period so we don't have to
22 continuously come back and request it.

23 For the bigger picture perspective -- and
24 Cathleen has been doing a really good job at managing a
25 very complicated series of changes that are all sort of

1 interrelated, we have foreshadowed that we are probably
2 going to keep some of these Aliso-type provisions that are
3 not a part of our other regular commitment cost efforts
4 that are currently before the Commission.

5 So I don't want to get into all the details of
6 those. But the ones that we think have been helpful and we
7 can have as a part of our tool set, we're starting to think
8 of how we could apply those throughout the system, given
9 the changes on the security -- in terms of safety measures
10 that have to happen throughout California.

11 These kinds of issues can now happen elsewhere.
12 We think it might be prudent, and so what Cathleen is
13 referring to is that next year, once we've had another at
14 least winter season behind us in terms of how these
15 measures work on the system, it would be a good time for us
16 to start thinking about how we can extend those.

17 And you know, I'm really talking about the max
18 gen constraint at this point, and the scaling will probably
19 be addressed through our next commitment cost effort. So
20 there's a lot of interplay. But the operational tools that
21 we're using, enhancements on the coordination, all of
22 these things might be better -- or might serve the whole
23 system, not just Southern California. So that's what we're
24 thinking.

25 MS. CASTRO: Thank you.

1 I think we're going to move on to -- we already
2 covered 11 earlier this afternoon. So we will go on to
3 agenda item number 12 with Bahaa.

4 MR. SEIREG: Just a quick question around,
5 perhaps, a new stakeholder process. Is the ISO working
6 with stakeholders to consider any near- or long-term
7 alternatives that would include increasing nongas/electric
8 supply or producing electric demand in areas that might be
9 affected by Aliso Canyon's lack of availability?

10 MS. MC KENNA: Yes. Well, we didn't actually
11 commence a stakeholder process directly related to Aliso
12 Canyon, but we actually have had -- made a lot of
13 improvements in accessing nongeneration type of resources
14 in our system. And I just wanted to mention two
15 achievements that recently happened.

16 The Energy Storage and Distributed Energy
17 Resources initiative, also known as ESDER, not your Aunt
18 Esther but our storage distribution efforts, that's going
19 to provide us additional access to nongeneration resources.
20 The Commission has approved that for us, and we're hopeful
21 that's going to add as well some additional flexibility,
22 not just in Southern California but throughout.

23 The other one that we think is also going to be
24 very helpful, the other effort that's also been approved by
25 the Commission, is the Distributed Energy Resource Provider

1 initiative, an initiative known as -- I have to say it --
2 DERP, one of my least favorite acronyms. But that one also
3 will allow us put a lot of our aggregation of distributed
4 resources, again giving us more access to nongeneration
5 resources. All of these efforts under play at the ISO
6 currently being -- well, already developed, but in
7 implementation form will provide additional opportunities
8 for that.

9 So we didn't commence a new one for Aliso
10 specifically, but we do think we have some tools in our
11 tool box that will help us in that regard.

12 MR. ROTHLEDER: I should add, this is in our
13 efforts at the CPUC for provisioning additional storage and
14 demand response as a result of Aliso and those things are
15 underway as we speak.

16 MS. CASTRO: Thank you.

17 MR. BARKER: Just one more. I would -- I'd be
18 remiss if I didn't do a plug for what the Energy Commission
19 has done. As small as the benefits may be, our chair wrote
20 letters to all the state agencies that own property and run
21 property down in Southern California, asking them to do any
22 measures that they can to increase energy efficiency,
23 demand response, PV, storage on those facilities. And he
24 wrote that letter back in November.

25 I guess I would also note, in a follow-up to

1 what Mark had talked about earlier this morning about
2 everything that was done during the June 19th and 20th time
3 of high heat wave, he also did follow up the Friday before
4 asking them to do everything they could to conserve on
5 those times. So he's used his responsibility as the chair
6 to really push the state government buildings to do that.

7 We've connected also with the Department of
8 Energy to just collaborate on seeing what can be done also
9 on federal government buildings in the area and then also
10 with the mayor's office in Los Angeles to see what they
11 could do.

12 And one other thing I would note, we do have two
13 research programs, one that focuses solely on natural gas,
14 but then another research program on electricity. And we
15 have had solicitations and will continue to do
16 solicitations. In the past we probably would do for these
17 demonstrations more state-wide. We've actually had that
18 restricted to the affected area. So we've been even
19 pushing some of our research programs to the restricted
20 area.

21 MS. CASTRO: I will call on Pat for some
22 follow-up questions.

23 MS. SCHAUB: A follow-up, probably for Kevin.
24 As these policies get implemented, both to increase the
25 amount of storage on the system and efficiency and demand

1 response, is there a best transparent way to see kind of
2 the progress that's being made? You've got a lot of
3 transparency, for example, in behind-the-meter generation
4 that's been helpful to us. Is there other ways we can kind
5 of keep tabs on the progress made in these areas?

6 MR. BARKER: So for the -- as Mark mentioned,
7 for the storage side, I think that's underneath the Public
8 Utilities Commission. And I think they -- we have worked
9 with associations like California Energy Storage Alliance
10 to see what they could do to help facilitate that.

11 I believe also in the interconnection processes
12 at the Public Utilities Commission, they are keeping track
13 of actually anything that's behind the meter. And so we've
14 been able to collaborate with them on data access to that.

15 MS. CASTRO: Thank you.

16 I do believe that we did cover agenda item
17 number 13 earlier in the conversation today. So I do want
18 to take the opportunity and open the floor. If there is
19 any participant that would be interested in making
20 questions or comments, please line up behind the microphone
21 in the center of the aisle. And while we welcome your
22 remarks, please try to keep them relevant to the topics
23 discussed today in the agenda. Please state your name and
24 affiliation, and if you receive a question or comment, if
25 you have a business card, please leave it with our court

1 reporter here today, Sara, who is on my right. Thank you.

2 MR. THEAKER: Thank you. This is Brian Theaker
3 with NRG Energy again. First, I want to say we very much
4 look forward to the ISO stakeholder process. It's
5 something we think that has been long coming and we hope it
6 will produce structural changes that we've been seeking for
7 a long time.

8 Not to be pejorative, in our experience, the
9 ISO's bidding system works really well except when it
10 doesn't. It's intended to -- when prices are stable, the
11 ISO's system works very well. When prices are volatile, it
12 does not work very well, as we've found out to our
13 detriment.

14 So just to point out some of the fundamental
15 issues, you know, the market timing. I definitely have
16 heard of ISO kind of dug in on market timing at this point.
17 The reality is that when it runs its market after the
18 timely cycle trades, if you can't predict your dispatch,
19 you don't have think chance to transact in a timely cycle.
20 And so you're subject to the intraday market, which in
21 other OFO conditions can be a real difficult challenge.

22 Second, it's focused on using prices, lagging
23 index prices that don't always capture, in fact they have
24 very little correlation to where same day may trade. We
25 find ourselves in the same-day market a lot. And so we

1 think that's a mismatch.

2 Third, with commitment costs, the 25 percent
3 cap, generally, it's not a problem, although arguably it
4 represents a cap that presumes the exercise of market power
5 when market power hasn't been demonstrated. So it can be
6 problematic under some circumstances.

7 Fourth, we do appreciate greatly that the ISO
8 has filed or and received permission for after-the-fact
9 cost recovery. That's a great thing. It's a mechanism
10 that hasn't been tested yet. We're not anxious to be the
11 first. We're looking forward to -- if that process
12 happens, it happens, but we still feel uncertain about
13 exactly how that's going to play out.

14 And then finally, as we've talked about a number
15 of things, we always believed that the ISO has a chance to
16 improve the transparency. Dede talked about this procedure
17 whereby the ISO will allow flows or will be able to rerate
18 Path 26 dynamically in real-time. That's great. The ISO's
19 market is really premised on having accurate information to
20 its market participants with regard to transmission
21 constraints and limits. So we would like to see that this
22 rerating process be exercised in a transparent way using
23 criteria that are defined up front.

24 Just in summary, we appreciate the Commission's
25 attention to this. We appreciate what the ISO has talked

1 about, and we very much look forward to participating in
2 the stakeholder process.

3 MS. CASTRO: Thank you, Brian.

4 MS. KARAS: Hello. Natalie Karas with the
5 Environmental Defense Fund. I just wanted to echo some of
6 the concerns that Brian just noted and take a bigger
7 picture view of the market.

8 We support the concerns that NRG, WPTF, and
9 others have raised regarding market inefficiencies, and we
10 want to be working with the CAISO going forward. So we
11 look forward to the stakeholder process, and I was
12 wondering if there's a set timeline for that process,
13 because it's my understanding that these issues have been
14 raised by NRG and others dating back to 2014. So I'm
15 curious as to the timeline for that process.

16 MS. CASTRO: You're welcome, CAISO, to respond.

17 MS. COLBERT: Okay. Great. Thanks.

18 Can I just ask a clarifying? When you say
19 "timeline," are you curious what -- of initiating the
20 process?

21 MS. KARAS: I understood that it was starting in
22 the third quarter of 2016. But in terms of getting it to
23 FERC, what is the FERC filing timeline?

24 MS. COLBERT: So -- and I ask for your
25 understanding that before we launch an initiative, it is

1 very difficult to say what the completion date would be,
2 especially until the first paper is out.

3 So on the new initiative, the commitment costs
4 and default energy bid enhancements, at this time I don't
5 think we can supply an end date, but I can say that that
6 is probably going to be launched -- it's being reviewed
7 now. And so it should be launched within the next week or
8 two. It is an as soon as possible kind of initiation. And
9 once we go through the issue paper phase, once we move
10 beyond that, we'll have a better assessment of the timing
11 on it. But it's just too premature on that.

12 The second process we talked about earlier would
13 be a different initiative that would come later after we've
14 gone through winter, looking at some of these operational
15 tools, if it might be needed to help manage the system.

16 MS. KARAS: Thank you for that explanation. I
17 also had a question, when you were talking about aligning
18 the timely gas nomination cycles in the day-ahead market,
19 you said that during the stakeholder process you felt
20 that -- you looked at the costs and benefits, and you felt
21 that the costs outweighed the benefits.

22 So was there a formal analysis, quantitative
23 analysis of that, or is that just a qualitative discussion
24 among stakeholders?

25 MS. COLBERT: That's also a really good

1 question. It was qualitative; it wasn't quantitative.
2 There were a couple stakeholders, one or two, that
3 supported considering moving. But the vast majority
4 vehemently opposed it, as well as internally.

5 So from a qualitative perspective, it didn't
6 even really warrant the deeper analysis.

7 MS. KARAS: Okay. And my next question is
8 actually following up on something Patricia said, but I
9 want to ask it to the CAISO in terms of the demand
10 response.

11 I know, Mark, this morning you said that, I
12 think, CAISO relied on 1,000 megawatts of demand response
13 during -- I can't remember the time frame. But I'm
14 wondering, in terms of, is there a transparent way for us
15 as stakeholders to better understand how demand response is
16 being used as a tool to address the limited availability of
17 Aliso Canyon?

18 MR. ROTHLEDER: So I think that was in our
19 material we made -- and I'm sorry. I don't have the
20 material here -- in a presentation to -- in Southern
21 California. And we can provide that to you. But the 1,000
22 megawatts approximately was both a combination of demand
23 response and flex alert estimated response.

24 MS. KARAS: Okay. I look forward to those
25 materials. Thank you very much.

1 MS. CASTRO: Next speaker up to the microphone.

2 MR. MOSLEY: Hi, I'm Berne Mosley. I'm here on
3 behalf of Magnum Storage, it's a storage facility in Utah.
4 It has a FERC certificate which is currently being amended
5 here at FERC, and it's not contested. So we don't have to
6 worry about that.

7 I know it's after the allotted time. It's
8 Friday afternoon. So I'm going to do this really quick.
9 And I have a question that concerns the use of storage from
10 other states, obviously, in meeting some of the demands for
11 California. And it may be that information may come out
12 next week in your 21st and 22nd release of the long-term
13 planning. Have you considered gas deliverability in lieu
14 of the availability of storage such as Aliso or if
15 regulations may be temporarily halt the use of other
16 storage in California?

17 MS. MC KENNA: This is Anna. Is that a question
18 to the ISO or is that question more to the gas pipeline
19 company?

20 MR. MOSLEY: It's more just for planning
21 purposes in light of the unavailability, at least in the
22 near term, of Aliso and potentially other storage
23 facilities.

24 MR. SUBAKTI: Was it the energy storage, or was
25 it the gas storage?

1 MR. MOSLEY: I do have a question on energy
2 storage, but this is natural gas storage first.

3 MR. SUBAKTI: Thank you for the clarification.
4 That's probably more a gas question.

5 MS. MC KENNA: We're not really experts on the
6 gas system. I don't want to insult any of my colleagues.
7 I'm not an expert. But I think it's a question that maybe
8 SoCal can respond to or others that have more expertise as
9 to how the gas pipeline systems might access a Utah storage
10 facility, if that's what you're asking.

11 MR. MOSLEY: In general. Obviously, I'm
12 specifically asking about Utah specifically but in general.

13 MS. MC KENNA: I think it depends on the system.

14 MR. ROTHLEDER: I think I know enough right now,
15 not all storage facilities are alike. It does depend on
16 where they are, their withdrawal capability, and they are
17 different. And I think in our transition planning
18 assessment, we will be considering the role of other
19 storage facilities in California certainly because they are
20 effective of mitigating at least -- depending where they
21 are, mitigating measures to local generation.

22 In terms of the broader storage facilities
23 across the west, I think that's probably more of a
24 commercial question about how those could be used to help
25 shore up supply availability coming into the system. So I

1 can't speak to that one.

2 MR. MOSLEY: Okay. Thank you. If you will
3 indulge me one more quick question to Kevin about energy
4 storage. Similarly, would you consider energy storage out
5 of the state?

6 MS. MC KENNA: The question is, would the ISO
7 markets be able to consider energy storage that is out of
8 state for purposes of clearing its market?

9 MR. BARKER: So I guess were you directing that
10 at me? So what we're looking at as far as preferred
11 resources, we're focused just on the affected area of Aliso
12 Canyon. I guess similarly to what Mark was saying, but
13 however on the electricity transmission system, to the
14 extent that electricity storage from out of state can help
15 with import supplies that would no -- would otherwise not
16 be available, that's not really something in my bailiwick.

17 MR. ROTHLEDER: I guess I could say that both
18 through the energy imbalance market and the potential
19 opportunities for regional integration, I think the
20 prospect of making use and the opportunity for using
21 resources across the west, including potentially storage
22 located in other parts of the west become an interesting
23 and, I think, potential opportunity question. So I think
24 there is something to think about in the longer term there,
25 both in terms of, I guess, regional coordination.

1 MR. MOSLEY: Thank you.

2 MS. CASTRO: Thank you.

3 I think this will be the last speaker, as we're
4 beginning to run out of time.

5 MS. GEORGE: Good afternoon. I'm Simi George
6 with the Environmental Defense Fund. I wanted to follow up
7 on a question my colleague, Natalie Garris, asked about
8 demand response and CAISO's efforts to better explore
9 demand-side alternatives.

10 And I appreciate Anna's response earlier on the
11 ester process and on the NERC process, but knowing those to
12 be not specific or informed by Aliso Canyon, certainly it
13 was an effort to predated Aliso. If you could give a
14 little bit more color about CAISO's kind thinking on how
15 you might be able to -- informed by the Aliso situation,
16 explore demand-side alternatives more thoroughly.

17 And my second question is, similar that, given
18 that these are both somewhat distinct, discrete recognized
19 approaches or processes, are you considering a more
20 holistic consideration that goes beyond these two specific
21 processes?

22 Thank you.

23 MR. SUBAKTI: So I'll try to address that. In
24 California ISO, right now -- Mark talked a little bit about
25 our effort in the transmission planning. The transmission

1 planning is coming up really soon, and out of that, we are
2 also looking at the impact of the local capacity
3 requirement that I earlier talked about Saeed.

4 So what this leads to is this leads to us
5 looking at what would our local capacity requirement in the
6 Southern California area, in the San Diego area, in the
7 L.A. Basin area, and that would set what we call the local
8 capacity need for the area.

9 Now, we are looking for transmission
10 installation, such as condensers, that's already been
11 approved, 500-kV line that has been approved as well. That
12 portion is going to reduce the local capacity requirement
13 in that particular area. So that is the infrastructure
14 that's being built in there.

15 Now, we are also working to basically work on
16 what are the resources that can meet that local capacity
17 requirement. And that would include the -- there's a
18 discussion currently with the role of demand response, both
19 the fast-moving demand response as well as a slow-moving
20 demand response and how both fast-moving demand response
21 and slower moving demand response to meet local capacity
22 requirement.

23 One of the challenges that we have is that,
24 because the fact that local capacity requirement is set by
25 the need in the transmission capacity, there is timing

1 requirements along with that. So for example, FERC and
2 NERC have reliability standard that say that every -- you
3 know, things like voltage stability which has a relation to
4 Interconnect Reliability, the IORL, those need to be
5 mitigated within 30 minutes.

6 So then the question becomes if we need to
7 mitigate a transmission emergency problem within 30
8 minutes, what kind of demand response can we get to
9 actually meet within that 30 minutes' time frame that the
10 reliability standards require.

11 So there is an interplay on how we look at the
12 demand response for local capacity requirement, how we look
13 at the fast-responding local -- fast versus slower,
14 probably like four hours demand response and whatnot.

15 Hopefully that answers the questions.

16 MS. GEORGE: Thank you. That answers my first
17 question. I had a second follow-up question on whether
18 there's a more holistic examination beyond the two discrete
19 policies that Anna McKenna mentioned before, looking at
20 demand-side alternatives.

21 MS. MC KENNA: I'm not aware of any ISO holistic
22 or -- I'm not quite sure how to answer the question. I
23 think when we do start a stakeholder process, we do look at
24 the issues holistically as best we can within the context,
25 issues identified.

1 But if you're asking, do we have a stakeholder
2 effort that looks to specifically expanding demand response
3 programs at the state level -- is that what you're asking?

4 MS. GEORGE: Yes, that's right. So you
5 mentioned the two milestones, and I was wondering if
6 there's something going broader beyond those two
7 initiatives that's being contemplated, especially given the
8 Commission's June 1st order which essentially laid out a
9 directive to explore to the fullest extent possible how
10 these alternatives can be better applied.

11 MS. MC KENNA: We've put a lot of effort into
12 using our demand response programs as much as they are
13 available to us to the extent that we can. Some of the
14 numbers you heard today are as a result of that. We don't
15 have a stakeholder process that looks at demand response as
16 a specific issue overall. But there are various efforts at
17 the PUC that we get involved with when these issues come
18 up, we are actively involved in stating how that impacts
19 our system, providing feedback in that area.

20 And we do actually participate quite actively,
21 and I did mention a couple of the stakeholder processes
22 that we already have done that will increase availability
23 resources. But there isn't a stakeholder process that is
24 intended to launch, without definition of an issue
25 specifically, beyond that.

1 MR. ROTHLEDER: There has been ongoing
2 stakeholder processes for improving distributed energy
3 resources generally, and we've been kind of addressing
4 issues as they evolve.

5 And I think in that regard, we're also looking
6 at how we enhance the coordination between the transmission
7 system and distribution system operator as there becomes
8 increased active resources in the distribution system.
9 That's an ongoing effort and in various locations, and
10 we're also staying in tune with that and proposing changes
11 as necessary to support the distributed energy resources
12 being able to provide services to the transmission system
13 operator.

14 MS. GEORGE: Thanks for that response.

15 MS. CASTRO: Thank you.

16 As we close this afternoon's session, this
17 concludes our agenda for the afternoon. I would like to
18 thank everyone for their participation in today's technical
19 conference, especially our guests who have come from
20 California, CAISO and the CEC. We appreciate you flying
21 out to the East Coast to join us here.

22 Just as a reminder, transcripts are available
23 for a fee from Ace reporting company, and a link to the
24 Webcast of this event will be available on the Commission's
25 calendar -- in the Commission's calendar of events at

1 FERC.gov.

2 I would like to wish everyone safe travels home
3 and a wonderful weekend. This concludes our technical
4 conference. Thank you.

5 (Whereupon, at 3:46 p.m., the technical
6 conference was concluded.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25