

1 FEDERAL ENERGY REGULATORY
2 COMMISSION
3
4 TECHNICAL CONFERENCE
5 UTILIZATION IN THE ORGANIZED MARKETS
6 OF ELECTRIC STORAGE

7
8 AD16-25-000

9
10 888 1ST STREET, NE
11 WASHINGTON, DC 20426
12 ROOM NO. : 2C

13
14 NOVEMBER 9, 2016
15
16
17
18
19
20
21
22
23
24
25

1 P R O C E E D I N G S

2 (10:00 a.m.)

3 MR. AMERKHAIL: Thank you, good morning everyone
4 and welcome to the Commission Staff's Technical Conference
5 on the utilization of electric storage resources as
6 transmission assets compensated through transmission rates
7 for grid support services that are compensated in other ways
8 and for multiple services.

9 My name is Rahim Amerkhail from the Commission's
10 Office of Energy Policy and Innovation and seated with me
11 are Heidi Nielsen from the Office of General Counsel and
12 Michael Herbert from my office. A final agenda is available
13 for attendees at the meeting room entrance and we have a few
14 housekeeping items to note.

15 Our first -- to avoid interfering with our sound
16 system please turn off your mobile devices or at least put
17 them in airplane mode while in the Commission meeting room.
18 Also there is no food or drink other than water allowed in
19 the Commission meeting room. If needed, we have arranged
20 for spillover space in Hearing Room 3 which is past the
21 elevators to the right as you exit this room.

22 We will break for lunch at approximately 11:45
23 A.M. for about an hour. Speakers -- please be sure to turn
24 microphones on and speak directly into them so that the
25 audience and those listening to the webcast can hear you and

1 please turn your microphones off when you are finished
2 speaking.

3 The format of the panels will be roundtables. No
4 opening presentations -- just facilitated discussion of the
5 issues raised in the Supplemental Notice and Agenda though
6 panelists have been permitted to bring materials or
7 presentations as handouts if they wish -- and we will also
8 post such materials on our website after the Conference.

9 Depending on which direction the conversations
10 turn we will not necessarily try to cover every single
11 question from the published agenda. During the discussion
12 panelists should stand up their name tags -- their name
13 cards if they would like to speak.

14 Our goal is to discuss electric storage issues
15 from a broad perspective and to avoid ex parte concerns.
16 Speakers should avoid discussing the specifics of any
17 pending cases. Now we are lucky to have on our panel some
18 very distinguished experts from the industry and the
19 National Lab and in the interest of saving time we ask that
20 each panelist introduce him or herself the first time he or
21 she responds to a question.

22 The panel will be moderated by Heidi Nielsen. I
23 will moderate panel 2 and panel 3 will be moderated by
24 Michael Herbert. Commissioners -- Mr. Chairman, is there
25 anything that you would like to say that this time?

1 CHAIRMAN BAY: Good morning everybody. I would
2 like to thank all of our panelists for coming here today as
3 well as staff for putting together this great conference.
4 Today's topic is I think an especially important and timely
5 one -- it's of personal interest to me. One of the things
6 that we are seeing is increasing deployment of electric
7 storage resource driven by significant decreases in cost and
8 advancement from technology.

9 So we are seeing the virtual cycle of innovation,
10 deployment and cost reduction. And so I think it is very
11 important that FERC continue to work on removing barriers to
12 entry -- barriers that prevent the participation of energy
13 storage resources. And FERC has certainly been following
14 this area with great interest.

15 Last November we hosted a Technical Conference --
16 not a Tech Conference I'm sorry, Energy Storage Panel of one
17 of our open meetings last April. We issued data requests to
18 the arduous ISOs and request for comments on barriers to
19 participation and electric storage resources in wholesale
20 electricity markets.

21 And in today's Technical Conference we will
22 explore issues associated with the compensation of electric
23 storage resources for the different services they can
24 provide from transmission services to grid support services
25 and multi-use applications. I look forward to the

1 informative discussions today and on hearing how FERC can be
2 helpful in this important area, thank you.

3 COMMISSIONER LAFLEUR: Thank you Mr. Chairman.
4 Welcome everyone thank you for traveling here and thank you
5 to the staff for putting together such an excellent agenda
6 with so many thoughtful questions. I have already heard my
7 first excellent policy proposal which is to have a one day
8 suspension of the no coffee rule which I would certainly
9 cast my vote for that.

10 But I am excited to hear the conversation because
11 we all know that storage is a really a group of technologies
12 that is evolving and has abilities to contribute to the
13 provision of electric service to customers -- and I'm not
14 sure we even fully understand. It seems not to fit neatly
15 within the kind of holy trinity of generation transmission
16 distribution which we took to be the world but rather to
17 supplement or maybe bridge those categories in ways that are
18 unique.

19 And I think staff has done a good job posing
20 questions that bring out some of that and what we might do
21 about it. I am going to be in and out because we are in an
22 agenda cycle and balancing other meetings but I look forward
23 to seeing the recommendations that come out of the
24 Conference, thank you.

25 COMMISSIONER HONORABLE: Good morning everyone.

1 Thank you to our staff for your tremendous effort in pulling
2 together what I know will be an informative day and as the
3 Chairman and Commissioner LaFleur have indicated this too is
4 an area of not only interest for me but an area of
5 excitement.

6 And I'm not sure quite what we were thinking to
7 set this up today of all days and I know some of you didn't
8 sleep well and the expressions on your faces I really should
9 take a picture of it -- some of you. But we have important
10 work to do today and I want to thank not only the
11 participants, all of you who have endeavored to educate us
12 about the tremendous world and what lies on the horizon with
13 regard to storage and all of the attributes that it
14 possesses but also the participants -- thank you to the RTOs
15 and ISOs who have also expressed their opinions and helped
16 to shape our work going forward and all of the stakeholders,
17 thank you for your presence today -- on a rainy day but also
18 for your willingness to help in this important effort.

19 As some of you have heard me say I don't believe
20 we are on the cusp of dynamic change, indeed we are in the
21 midst of it even now. And so really this discussion is one
22 that is not only timely but I'm grateful especially to our
23 Chairman for -- pushing our work in this area because as you
24 have seen and as the Chairman has stated in his remarks we
25 have been on this journey to get better educated about what

1 to do with storage and really how to maximize what it has to
2 offer so I look forward to learning as well.

3 And I also agree that as regulators and
4 policy-makers and decision-makers we must not only foster
5 innovation and technological advances but also work to
6 remove barriers and so I am hopeful that you all will aid us
7 in finding the best way forward to do that.

8 Today we are discussing the value that storage
9 resources can provide and also how they can be adequately
10 compensated. And I also appreciate that storage may need
11 multiple revenue streams to succeed in wholesale markets and
12 I am hopeful that you all will educate us and really help us
13 elevate our thinking about how to treat storage going
14 forward.

15 But really in my mind compensation is only one
16 barrier to participation. As I often say from the south
17 when we learn better we do better. And so it is incumbent
18 upon us to resist the urge and to be disciplined to not
19 treat storage like other things because it simply isn't.
20 It's the one thing that is not like any other thing and it
21 is something I think in as much as we embrace and appreciate
22 adversity throughout the country in so many ways that we
23 absolutely must adhere to that with regard to storage.

24 I saw a tweet from Jason Burwen last night saying
25 he was trying to work on his comments and watch results.

1 I'm sorry Jason that we did that to you last night but I
2 look forward to as Cheryl mentioned it is certainly a busy
3 week for us, we will be in and out our staff will be here.

4 Thank you for the comments that you will provide
5 however you pull them together -- it will come from the
6 heart Jason. And thank you again for your aid in this
7 effort.

8 MR. AMERKHAIL: Thank you Mr. Chairman and
9 Commissioners, over to you Heidi.

10 MS. NIELSEN: Good morning. The purpose of our
11 first panel is to discuss issues related to the utilization
12 of electric storage resources as transmission assets
13 compensated through transmission rates including when they
14 may also provide services other than transmission.

15 In Western Grid the Commission
16 accepted a proposal to use electric storage resources as
17 transmission assets based on the particular use proposed
18 which was voltage support, a thermal overload protection for
19 relevant transmission facilities and on other conditions
20 proposed by the applicant including a commitment to forego
21 any sales into organized wholesale markets.

22 This later condition was primarily intended by
23 the applicant to address the Commission's concerns with
24 respect to the impact to one -- the impact on competition,
25 when one market participant may recover its costs through

1 cost-based rates on file with the Commission while others
2 may not.

3 And two -- the impact on RTO's independence if
4 the RTO is made responsible for the profitability of the
5 electric storage projects charging and discharging
6 activities rather than simply carrying out the market
7 participant's instructions.

8 For purpose of this panel -- the purpose of this
9 panel is to discuss first additional potential modes of
10 electric storage resource operation beyond providing voltage
11 support, a thermal overload protection that could be
12 characterized as transmission service.

13 Second -- additional methods of addressing
14 concerns about competition due to cross-subsidization in RTO
15 and ISO independence, and third -- operational
16 considerations when using electric storage resources as both
17 transmission assets and providers of other wholesale
18 electric services.

19 Let's start at the beginning. The pro forma Open
20 Access Transmission Tariff defines "Transmission Service" as
21 "Point-To-Point Transmission Service," which is the
22 reservation and transmission of capacity and energy on
23 either a firm or non-firm basis from the points of receipts
24 until the points of delivery.

25 Our first question is -- Beyond providing voltage

1 support or thermal overload protection for relevant
2 transmission facilities, as addressed in Western Grid, what
3 other modes of electric storage operation can be considered
4 transmission service that supports the reservation and
5 transmission of capacity and energy from the points of
6 receipt to the points of delivery and why?

7 So I would like to open for discussion. If you
8 would like to start -- yes Tom and please remember to
9 introduce yourself the first time you speak.

10 MR. KASLOW: I'm Tom Kaslow. I'm the Director of
11 Market Design and Policy for FirstLight Power Resources.
12 FirstLight owns and operates about 1400 megawatts of
13 generating facilities in New England and approximately 1200
14 of that is pump storage including possibly the oldest pump
15 storage facility in the United States, it was commissioned
16 in 1928.

17 So storage was continuing to evolve. It's been
18 around for a while. Our focus just at the outset is on
19 avoiding adverse impact to competitive markets. All of our
20 1400 megawatts rely on competitive market revenues to
21 support ongoing operations as well as new investment. In
22 the past several years 88 of the 1200 megawatts of pump
23 storage is new capacity that was brought to the marketplace
24 on new investment. So even the existing facilities have to
25 face some questions on investment and hence my focus on the

1 markets.

2 Other than one thing -- I had provided some
3 written comments -- I don't have written copies with me but
4 certainly I know they will be posted later. I think our
5 approach to this is that the provision of transmission
6 service or supporting grid -- the operation of the grid goes
7 well beyond the planning exercise of whether or not there
8 will be thermal overloads upon a contingency, or whether or
9 not there will be voltage problems to the day ahead of
10 planning of energy and operating reserves and to the
11 real-time dispatch.

12 So our company finds it difficult to really
13 separate the transmission support functions into what might
14 be classically called transmission equipment functions and
15 so we really think that the whole spectrum of these services
16 are the grid support services and it certainly does raise
17 the question of what unique contribution of storage needs to
18 have compensation beyond the markets.

19 I will offer from our own perspective we provide
20 performance on just the currently defined ancillary services
21 and I'll pick operating reserve contingency protection as
22 one. Currently our facilities can provide performance well
23 beyond what those markets define as the minimum level of
24 performance. We can come online -- the whole station within
25 10 minutes. We can provide single unit response in much

1 shorter time frames.

2 So to the extent there are you know further
3 barriers to representing the full value of storage it may
4 actually get into the market products as opposed to
5 transmission rate-based type compensation, thank you.

6 MR. KORMOS: Good morning I'm Mike Kormos with
7 Exelon. I'm the Senior Vice President of Wholesale Markets
8 and Transmission Policy. Probably a couple of different
9 points I would make. I think as the Chairman of the
10 Commissioners said I think we are at a very unique
11 opportunity and I think batteries are a fairly exciting new
12 technology and potentially where the cost may go -- I think
13 it is something that we definitely need to be looking at
14 now.

15 I do agree they are different and in some cases I
16 think may provide us some unique opportunities. So first I
17 would say you know regarding transmission service I think
18 when you look at the ancillary services -- schedule 2, 3, 4,
19 5 and 6 I mean a battery can provide any one of those
20 services, whether it is voltage support, whether it is
21 energy imbalances, whether it is regulation or whether it is
22 operating reserves -- batteries are as able to provide those
23 services as both generation and demand response.

24 And I think it is sort of interesting that they
25 are in fact transmission service, why would we not let a

1 transmission asset provide a transmission service? So I
2 think there is the ability for those to do that. I think
3 there will be you know, it will be interesting as to when
4 they can do it and how they can do it. I mean you cannot do
5 everything at once.

6 So I think as we talk further I think that will
7 be where the issue is. I don't think it is a technical
8 issue. I think batteries can obviously perform these
9 functions. It's more going to be a regulatory issue -- as
10 to just ultimately how they are handled through the
11 regulatory process because you are mixing costs of service
12 with potential market based services as well.

13 So I think there are multiple opportunities for
14 batteries to participate in those markets and in fact as we
15 know they are participating in many of those markets today
16 -- particularly at least the one I am most familiar with in
17 the PGM market. The other thing I think batteries bring is
18 a unique opportunity to even change the way we potentially
19 operate for thermal and voltage overloads.

20 And I know you said beyond just thermal and
21 voltage overloads but I'd also ask you to consider one of
22 the things batteries can do as a transmission asset is I
23 think be able very uniquely to provide potentially a
24 different way to operate. Today we operate everything --
25 what we call pre-contingency. We start moving generation,

1 we start spending money before the actual contingency
2 happens -- because we need a certain amount of time to make
3 sure that if the contingency happens we can move in fact
4 generation and/or load to get the system back into within
5 normal limits.

6 Batteries will provide you really interesting
7 opportunities in that they can be instantaneous and that we
8 may be able to move for some things -- I don't think we are
9 going to radically change it but for specific applications
10 looking at using batteries post-contingency that rather than
11 worry about moving the generation ahead of time you can use
12 the battery in a charged state and if the contingency
13 happens at that point the battery can basically respond
14 immediately and basically back off. I think that is a very
15 unique transmission opportunity that exists for batteries
16 that a lot of other potential infrastructure investments
17 just don't bring us.

18 You have some similarities with phase angle
19 regulators and HVDC that have that kind of capability and I
20 know in PJM we did use particularly the parts -- the phase
21 angle regulators in that capability, being unable to operate
22 to higher ratings because you could in fact take advantage
23 of that fast response that batteries would bring.

24 So I think that's why it's very exciting is I
25 think it goes beyond just the classic controlling for a

1 thermal or voltage overload. I think we can really
2 challenge ourselves as with any new technology you have to
3 challenge yourself how you are going to operate -- because
4 the technology will allow us hopefully, to operate more
5 efficiently.

6 So I think there is a lot of opportunity. As I
7 said I really think it is more a regulatory issue than a
8 technical issue. We have technical experts here who can
9 speak to it but I think they are able to provide a vast
10 amount of the services we know.

11 MS. NIELSEN: Thank you. Just to clarify we will
12 be getting into the issues of cost base, transmission
13 recovery and market, service recovery -- so just at this
14 point we just really wanted to focus on the transmission
15 issue, how these assets can be -- if they can be considered
16 assets that provide transmission services.

17 MR. KUMARASWAMY: Thank you, thank you gentlemen,
18 Commissioners and staff for organizing this great panel
19 today we appreciate the opportunity to present our
20 perspectives on this important issue. At AES we do consider
21 energy storage to be a foundational element for us to create
22 a clean, reliable and resilient electric grid and we are
23 honored to work with entities and operators across the world
24 to apply energy storage solutions to meet the challenge that
25 we are facing.

1 We do see the obligation of energy storage and
2 the transmission system as one that can increase the
3 efficiency of the overall system and one that can help us
4 make smart investments into the grid. It can provide
5 targeted transmission relief in a matter of months and not
6 years, it can delay expensive major transmission upgrades
7 that we are planning for the system and it can cost
8 effectively dissolve many of the transmission constraints
9 that we face in regional markets across the country.

10 If you step back and think about how we have done
11 transmission planning until now -- in the last 50 or 60
12 years the behavior of the performed transmission planning
13 analysis has remained pretty static right? We know through
14 the minus 1 and then minus 1, minus 1 contingency analysis
15 and I identify violations in the curve -- the thermal and
16 voltage violations.

17 And for the violations that we identify we try to
18 remedy them with concrete projects that will underscore
19 states. But you have got to remember that this type of
20 analysis has two types of drawbacks. The first one is it
21 does not account for the fact that if you have a lurid value
22 that you are modeling in each of these snapshot simulations
23 off that cooperation and that there is a particular value
24 for beyond which a violation is triggered that necessitates
25 an upgrade project.

1 And there is a particular value for it below
2 which the violation disappears -- so that is one of the
3 drawbacks that we face in a deterministic planning work
4 right? The second issue is that all the upgrades that we
5 think about are also traditional upgrades right and so the
6 transmission upgrades come in block sizes so we try to
7 reconnect the lines, we try to operate lines to a high
8 voltage level -- so those are traditional upgrade projects.

9 The way energy storage fits into that piece is it
10 is a new solution that is available for transmission
11 planners and utilities across the country. To address both
12 of those drawbacks right -- many of the traditional
13 transmission infrastructure that you would apply to address
14 the overload issue tend to be severely under-utilized
15 because they don't provide additional services beyond
16 providing that particular relief during the factual attack.

17 In contrast though energy storage has the
18 capability to resolve the violation during the times when
19 the load level exceeds a certain critical threshold value,
20 and it can also be used for other applications for providing
21 grid services during the demand.

22 The second part where it is a peer advantage for
23 the storage of the transmission application is that it can
24 provide rapid power injections into the grid following a
25 contingency route. This is along the same lines as Mike was

1 describing and how we thought about it is that it is the
2 capacity of the least idea to free up capacity from
3 constrained transmission lines that interfaces it.

4 And so in sort of holding back capacity across
5 key lines and interfaces based on deterministic and minus 1,
6 minus 1 -- limits can you use storage to actually provide
7 those post contingency injections to keep the library of the
8 system at the same level -- but in return get higher
9 capacity through across key lines and interfaces. So that's
10 another key application that I just wanted to highlight for
11 the staff here.

12 And you see that in this mode of operation the
13 grid can be significantly utilized much better from where we
14 are today and we see that as a huge opportunity for storage.

15 MS. NIELSEN: Okay thank you, Paul?

16 MR. MCGLYNN: Good morning my name is Paul
17 McGlynn, I'm from PJM. Just from the vast majority of the
18 rate-based transmission assets that we have in the RTEP
19 anyhow are to address voltage issues and thermal issues.
20 You know beyond that there are only a couple of other
21 categories or things that we would put a rate-based asset
22 into the RTEP 4 whether it be a short circuit issue or a
23 stability issue.

24 So from an opportunity to participate as a
25 rate-based transmission asset that anyhow would seem that

1 there is beyond voltage and thermal -- there's probably not
2 as many opportunities. You know that being said though
3 there may certainly be certain niche applications where a
4 storage device could be used as a transmission asset. Some
5 of the other comments around using those devices on a
6 post-contingency basis, pre-contingency basis -- whatever,
7 however you want to look at it to me seem like our
8 application issues that maybe go one step beyond -- at least
9 the threshold issue about as to whether they should be
10 considered a -- you know, transmission rate-based asset.

11 You know that being said within PJM although
12 again most of the rate-based transmission assets are --
13 there aren't any storage devices that are in that category.
14 That's not to say there isn't a place for storage in PJM --
15 as a matter of fact there is I think well over 300 megawatts
16 of storage that has interconnected to PJM and is
17 participating in various markets providing you know
18 different, various ancillary services and things like that.

19 So there is certainly a place in our markets for
20 the storage devices and as I said there may be certain --
21 perhaps more limited applications where a storage device
22 could be useful as a rate-based transmission asset.

23 MR. SUNDARARAJAN: This is Raja Sundararajan from
24 AEP. I'm the VP of Regulatory Affairs for AP. I'm
25 delighted to be on the panel here. We actually have done

1 this and primarily in Texas where AEPS put this Presidio
2 battery as part of our joint venture in -- .

3 And frankly it is the same concept that I think
4 Kiran and others are talking about and in Presidio where we
5 had a 69 KV line, a radial line that served a load -- we had
6 two issues, obviously the line was getting old and we had an
7 option to either rebuild the line or B -- use the storage to
8 satisfy the incremental capacity that you need as opposed to
9 solving for the violation of the old load.

10 And we actually called to the Commission the fact
11 about is if you are looking for the option of -- you ask two
12 questions, how much capacity do you need for how long -- and
13 that's when it becomes economization in terms of what
14 technology do you want to use. It's not a binary decision
15 in terms of whether you -- whether you know, re-building the
16 line for the capacity for the next 40 years -- is that what
17 you want to do? As opposed to building a storage device
18 which gives you the incremental capacity that you need for
19 the next 10 years where you are actually forecasting the
20 violation for -- every RT has a planning horizon -- in PGM
21 it is a 15 year planning horizon.

22 And that is a solve for the planning horizon then
23 I think that storage does come into the mix. And then there
24 is the storage for a 40 year horizon which most argue don't
25 do today then obviously you determine that the transmission

1 line options become more cost effective. So it really
2 depends on what effective solution you are looking for.

3 And in my opinion that's a question in terms of
4 whether -- if RTOs are looking for the incremental capacity
5 that solves for the planning horizon or are you actually
6 looking for a longer term horizon that actually solves the
7 contingency for a longer period of time then that becomes --
8 and for that -- that led to the determination in the
9 Presidio case where they actually picked the storage as a
10 solution.

11 And then on top of it, it also provides island
12 and cable release in case you actually have the line that
13 completes the out -- then you can actually you know instead
14 of our crews, and trying to get the line as fast as
15 possible, the storage gives you an option to solve the
16 islanding issues and to provide the necessary support from a
17 customer point of view.

18 And maybe in a broader context I mean if you
19 know, the transmission service definition is -- and
20 depending on how you look at it, it can be interpreted
21 broadly. I mean it is data and everything else in the
22 substation are they all providing point-to-point increasing
23 transmission capability?

24 I think we kind of put a lot of assets as
25 transmission because they enable at the end of the day

1 assets that actually provide the transmission service and we
2 believe storage should be noted from that. I mean the third
3 thing is -- and maybe I'm getting into the cost analysis --
4 the revenue space here -- I came from a transmission
5 background and I have been even in my new role I kind of
6 apply the principle set -- depending upon what you plan for
7 the storage is you know the limitations that you put on
8 storage in terms of what benefits it can provide is going to
9 effectively you know choose which resources are selected in
10 the planning process.

11 If you ignore the benefits of storage that goes
12 beyond just the transmission, if you ignore the ancillary
13 service benefits then effectively yes, you are going to
14 hamper storage solutions at the expense of other traditional
15 transmission solutions because storage typically is more
16 expensive than A -- any of the planning horizon that you
17 consider and --

18 B -- if you ignore the benefits. We actually
19 think that storage is a tool that needs to be considered and
20 how you plan for it and what benefits you take in account of
21 the planning process goes a long way in terms of taking
22 storage solutions.

23 MR. TATUM: Hi good morning I'm Ed Tatum with
24 American Municipal Power and we are public power -- 135
25 members, 9 states. We have about 1800 megawatts of capacity

1 that we own. We have about 3400 megawatts of load that we
2 need to serve so we take a customer perspective.

3 We are very concerned about keeping the lights
4 on. I am going to do my best Heidi just to answer your one
5 question and assuming that I will I do want to speak to the
6 costs on that. As I read the first question I was burdened
7 by two things -- one I'm an engineer and two -- I remember
8 back in '95, '96, '97 Newark was talking about
9 interconnected operation services and what they were.

10 So I thought I knew what we were talking about
11 until I got your question and we started talking about
12 transmission service and that seems to have morphed and
13 evolved. So as I wrestle with that for days I finally said
14 you know what we really need to think about here is what is
15 a basic transmission function?

16 And you know we have ancillary services and I
17 think the panel would agree but for scheduling storage can
18 provide all of those ancillary services. Do we want to
19 separate regulation and frequency? I don't know that we
20 need a Technical Conference to talk about that.

21 But if we get down to talking about it as a
22 transmission asset and it is out there on the wires I think
23 FERC has done a good job saying, "Hey things that are out on
24 the wires are on the wires and what are they trying to do?"

25 Well we are trying to keep the lights on with

1 these assets. And so if we are going to have something out
2 there that is a low cost, more-effective solution than
3 actually throwing traditional transmission wires in the air,
4 we need to think about it and treat it in the same way and
5 so we want to make sure that we have storage out there that
6 would be just as reliable and just as available as
7 transmission.

8 We would expect that if it is going to serve a
9 transmission function that we would be thinking about it
10 being under the control of the transmission provider. And
11 then we would have to worry the technical issues -- if we
12 are trying to serve two masters, which is kind of hard to do
13 if you have one foot in the competitive world and one foot
14 in the regulated world -- I mean in the competitive world
15 you are supposed to maximize those profits.

16 The regulated world -- well you get a fair rate
17 of return. How do you balance those back and forth, how you
18 make sure if you are in both worlds that the competitive
19 aspect is not using up all the storage such that when the
20 transmission contingency comes -- whatever it is, the minus
21 1, and the minus 1, minus 1 that the storage is actually
22 available to act as that asset and I look forward to your
23 questions on cost.

24 MR. EMNETT: Hi Mason Emmett, Next Era Energy,
25 sorry I slipped in and let everybody else talk first. So

1 Next Era Energy is a holding company for Florida Power and
2 Light and Next Era Energy Resources are our primary two
3 sides of the house. Florida Power and Light is developing
4 battery projects on the FPL system for multiple uses but my
5 comments here are focused on the Next Era Energy Resources
6 side which has resources, battery projects that are
7 participating in the PGM market and we are developing in all
8 the other RTO's as well.

9 So focusing on RTOs given the scope of the
10 Conference -- and to kind of pick up on what Ed and Raja
11 were saying, I think it is interesting to start the question
12 with transmission service because along the lines of what
13 they were saying I think there is a difference between
14 transmission service and transmission assets.

15 Transmission service is provided by the RTO using
16 the whole group of assets -- transmission assets being a
17 primary one but ancillary services sit in the open access
18 transmission tariff because they are a piece of transmission
19 service even though they are not provided directly by the
20 wires although the wires enable them to be provided and
21 therefore transmission service to be provided.

22 As soon as you think of storage or frankly any
23 type of resources, but storage is the question today --
24 could it provide a transmission function or a function that
25 is needed for transmission service? Clearly it can. And so

1 how should that resource, how should the participation in
2 the RTO process and the ROT market be structured to take
3 full advantage of everything that the storage asset has to
4 offer which the Chairman and the Commissioners started us
5 off with that framework of what are the barriers and how do
6 we maximize the participation of the resource.

7 So from our perspective and I don't know whether
8 you are going to the next question on differently or kind of
9 sticking with follow-up questions on the first of
10 transmission service -- in our mind a transmission asset is
11 what it is. It is you know wires, sometimes capacitors and
12 other stuff but a storage resource could be -- you could
13 call it non-transmission alternative or you can call it a
14 storage class.

15 I don't think the nomenclature matters from our
16 perspective. It's more of putting a storage -- to the
17 extent that a storage resource is supporting a transmission
18 function, enabling the transmission service. It is not by
19 definition therefore a transmission asset and subject to all
20 of the rules and requirements that transmission assets are
21 subject to which are there for a reason which then takes us
22 to kind of more complicated questions that Ed raised.

23 If you have a storage resource that is receiving
24 cost of service recovery for providing a transmission
25 functioning, enabling the transmission service, how does

1 that asset then operate within the market structure? Who
2 bids, who controls, who manages state of charge -- those are
3 all complicated questions that need to be answered but the
4 threshold question that I hope the Commission can address is
5 can a storage resource provide the transmission function,
6 receive cost of service compensation for providing that
7 transmission service?

8 Not necessarily a transmission asset -- but if
9 the answer to that is yes then we can answer all the other
10 complicated questions. They might be different RTO to RTO
11 but unless we get through that threshold question -- unless
12 we get the threshold question as yes I don't think we get
13 very far.

14 MS. NIELSON: So I think what I have heard so far
15 is that in terms of providing the transmission service other
16 than voltage support or thermal overload protection, that
17 the main category is ancillary services if I heard
18 correctly? Do you all agree?

19 MR. KUMARASWAMY: The position of the post
20 contingency -- so --

21 MR. MCGLYNN: In PJM I think for the most part
22 batteries are that they are the types of service
23 market-based services that batteries are providing.

24 MS. NIELSON: Okay.

25 MR. SUNDARARAJAN: I think terminal and voltage

1 violations are more on the planning scope. You also have
2 operational issues where you actually see actual outages on
3 the line you know for various reasons whether it is weather
4 related, whether -- and it sort of does provide in cases of
5 -- especially in the Presidio example that we had that it
6 can actually run off a radial line -- it does provide the
7 capabilities that traditional transmission lines might not
8 provide.

9 If there is an outage on the line it is not that
10 it is a new line or an existing line, the storage does
11 provide additional capability and additional options of
12 transmission service that traditional alternatives don't
13 provide.

14 MS. NIELSON: Okay, Ed?

15 MR. TATUM: Thank you and I like the way Mason
16 put it as an asset. It has the ability to do a lot more but
17 we do have to be very careful with how we are treating it
18 and back and forth and if it truly is an asset I would like
19 Paul McGlynn and his folks to really weigh in and tell us
20 how -- and Paul you have this answer, but how could it work?
21 How could we make it just as reliable and just as available?

22 But if we are in the transmission planning space
23 we would need to talk about or OR-890 and we need to talk
24 about this being the best and most effective lowest cost
25 alternative to putting some transmission in place and then

1 we could actually start getting into if it is indeed a
2 regulated asset.

3 And if it is indeed, provide additional services,
4 how do those dollars flow but I'll wait until you ask the
5 question.

6 MS. NIELSEN: Okay thank you. Go ahead Paul.

7 MR. MCGLYNN: Again I think from a planning
8 perspective that there is perhaps -- I'm sorry from you know
9 from a planning perspective there certainly may be niche
10 applications for batteries and for storage devices. I also
11 agree with many of the other panelists that there would
12 appear to be capabilities -- well there certainly are
13 capabilities that storage devices have that you know that
14 could also be used to efficiently run the grid and manage
15 the grid.

16 We have lots of batteries that are participating
17 in our markets today and again it is conceivable to identify
18 a place where they could be used for a transmission planning
19 application anyhow. I think the challenge is dealing with
20 the -- you know, dealing with the instances and where the
21 money is going to go, how the money flows basically from the
22 periods of time when you need the asset available for
23 dealing with whatever transmission and planning function you
24 had to deal with versus when the storage device may be able
25 to you know provide other benefits to the operation of the

1 grid.

2 MS. NIELSEN: Okay Mason?

3 MR. EMNETT: Yes I just wanted to follow-up in a
4 yes, clearly thermal support ancillary services we discussed
5 but there is also economic transmission projects, market
6 efficiency projects the goal of which is to address
7 congestion and enable you know less cost provision of energy
8 on the system and batteries can clearly do that as well,
9 right?

10 Which then raises questions about how you operate
11 -- do you bid the resource into the market, what are the
12 conditions under which the RTO would have control -- again
13 those are complicated questions but the threshold of can the
14 battery achieve the same function or goal that the
15 transmission facility -- that the wire would have -- yes.

16 MS. NIELSEN: Okay thank you, Tom?

17 MR. KASLOW: Thank you. I've been listening to
18 the discussion and I certainly would agree that storage can
19 provide the transmission services that were identified. I
20 think the difficulty that our company has is that isn't
21 necessarily distinct from other resources in the system.

22 And I appreciate Mason's comments that today in
23 New England, as an example, other resources are given
24 signals of where it would be useful to locate for the
25 purposes of reducing transmission investment in a market

1 reliability alternative. I believe that is the term you
2 referenced Mason, and in that type of an approach it avoids
3 some of the issues that Ed raised about mixing cost of
4 service and markets.

5 And so the perspective that we currently have is
6 all of the services that were discussed could really be
7 provided from other types of resources as well. And believe
8 me -- we own storage so we would like storage to be valued
9 properly but we also want it done in a way that makes sure
10 that there isn't disruption to the other market revenues
11 that the other storage resources are going to rely on, thank
12 you.

13 MS. NIELSEN: Thank you, Rahim?

14 MR. AMERKHAIL: Thanks Heidi. So I have a couple
15 of follow-up questions so if the theory is that providing
16 ancillary services should qualify you as a transmission
17 asset then how do we single out storage from all the other
18 traditional generators, coal-fired power plants that provide
19 ancillary services and kind of related if there actually are
20 markets for these ancillary services, why aren't those
21 enough?

22 Why is there a parallel need for payment through
23 transmission rates? I think Raja went up first and then we
24 will -- I'm sorry Ed.

25 MR. TATUM: Thank you much. I think storage can

1 already provide all put maybe one of the ancillary services.
2 I think that we have markets for that. What your question
3 is what do we need to do with the markets to do that? In
4 PJM I think we have opportunities for those things to
5 already work out.

6 I want to be very clear that from Amp's
7 prospective we would not suggest that transmission assets be
8 used as ancillary services. We see generation provided
9 ancillary services, we get that but storage can be an
10 ancillary service but in that situation it would be hard to
11 classify the transmission asset.

12 And I hope I didn't confuse from that standpoint
13 because I think what I am coming from is if you are defined
14 as a transmission asset we are going to finally get to
15 Heidi's question about how the cost is going to work.

16 MR. SUNDARARAJAN: I think the question is not
17 whether you know clearly storage has a unique capability of
18 not only solving for transmission issues, transmission
19 service that you define as thermal or voltage violations but
20 also has a benefit of providing transmission services
21 similar to how you call it ancillary service market which is
22 sold to a market.

23 I don't think we are saying that if storage wants
24 to participate or any other asset wants to participate
25 purely in the ancillary service market, you call those as

1 transmission assets. I mean the definition is, "In addition
2 for solving for traditional -- what transmission assets
3 historically provided, to store thermal and voltage
4 violations, if they also happen to solve and provide other
5 benefits on the ancillary service market why stop them."
6 And does that limit your traditional definition of
7 transmission service or transmission asset definition.

8 But to go beyond and providing other benefits --
9 is the question before we get to the cost aspect of it.

10 MR. MCGLYNN: I would agree with Raja's and Ed's
11 comments. I think you know storage devices clearly
12 participate in PJM's markets and provide ancillary services
13 in PJM's markets. They compete with other resources in
14 PJM's markets to you know to provide those services. So I
15 think that comes first however there may again be some
16 applications where you could consider a storage device to
17 somehow help you to mitigate and manage some kind of
18 transmission planning type of an issue but I wouldn't put
19 that first and suggest that a planning solution is also
20 providing some other ancillary service. That to me is a
21 market function.

22 MR. AMERKHAIL: Are you saying it should not try
23 to do more than one thing at a time or we have to find ways
24 to make sure it can do the transmission function without
25 being impacted by whatever else it does on the side?

1 MR. MCGLYNN: I think you have to be able to --
2 you have to figure out ways that you can manage both. If it
3 is going to provide both services you have to figure out the
4 instances that it would be able to be operating in one world
5 and the other instances when it is providing the function
6 that it needs to -- to deal with whatever the planning issue
7 is.

8 But we'll save that for questions 2 or 3 I guess.

9 MS. NIELSEN: Please go ahead Kiran?

10 MR. KUMARASWAMY: No I agree with Raja and Paul's
11 comment. Like as been said before it is not an issue,
12 technical or operational issue for storage to provide all of
13 these functions right and so you know if you put some
14 regulatory constraint on the system for it to provide only a
15 transmission-like service, say for instance, you are using
16 storage for a peak load relief-type of an application --
17 when you are providing that peak load relief for a specific
18 portion of the day for the summer months alone -- for the
19 asset to remain idle for the remainder of the time just
20 results in an economic sub-optimal solution.

21 But with respect to what we pay for the system we
22 would like for assets to be utilized for all of the services
23 that it can provide. And that is one of the things that
24 differentiates storage also is that it is a 24 by 7
25 connected resource and so there is no starting and shutting

1 down with respect to storage.

2 And so from that principle -- from that economic
3 benefit maximization principle we would like for asset to be
4 providing for all of the services that it can provide under
5 the system and so we think that there are lots of
6 arrangements in which we can address some of the
7 Commission-related concerns and cost subsidization and I
8 know it is getting to the second question but we do think
9 that there are reasons which we can address to all of those
10 concerns, but still fully utilize all of the capabilities
11 that storage provides in the space.

12 MR. MCGLYNN: I think it's hard to answer that
13 question without getting without getting into the second or
14 third one. I mean I think I agree with everybody. I mean I
15 think we are not suggesting this is the only reason a
16 battery should be brought on to the system -- there are a
17 lot of merchant commercial reasons why a battery may be used
18 and if it is just to provide purely ancillary services we
19 would agree.

20 That's not something that should be rate-based,
21 that is a market function. But I think if you are going to
22 look at it as an infrastructure deferral of -- and that is
23 going to be its primary reason that it is being brought on
24 to the system. I think at that point it makes perfect sense
25 to allow it to provide these other functions when it is not

1 providing its reliability function and we will talk about
2 how you can do that.

3 So maybe I disagree with Paul -- I don't know if
4 I do or don't, but I would think when you evaluate if it is
5 the best cost effective answer for the transmission problem
6 the violation you are seeing either in operations or
7 planning, you should in fact take account of these potential
8 additional revenues.

9 Now I think they can participate in those
10 markets, I will talk about it. It is going to be as a
11 cost-based you know market priced taker. I don't think
12 anybody is going to suggest on this panel they should profit
13 outside of that. I think it is just a revenue neutral kind
14 of function but why would you not take advantage?

15 I think the end of the day all of our goals will
16 be to provide the service in the most cost-efficient manner.
17 And if the batteries are able to provide these other
18 services, provide a rate of revenue in a competitive fashion
19 because they are the most cost-effective resource at that
20 time they should provide that service, they should receive
21 those revenues and that should off-set the transmission
22 cost.

23 I think that should be taken -- I think that it
24 should A -- number one be allowed. I think we need the
25 regulatory to figure out how to let that happen and B -- I

1 would also suggest in the planning process or in operations
2 that should be part of the consideration when you are
3 looking for what is truly the most cost-effective resource.

4 MS. NIESLEN: And I appreciate your comments. I
5 think I know we are all trying to get to this other question
6 but I guess we are really trying to focus here on can this
7 fit into the cost base rate transmission bucket -- recovery.
8 So just really I know that there are market issues that are
9 coming up but if we could just try to really stay narrowly
10 focused on this question, taking into consideration what
11 Raja said as well, if you want --

12 MR. KASLOW: I wanted to clarify. I don't want
13 to take it out of sequence. I thought the question was why
14 couldn't a battery or other storage resource base its
15 investments on participation in the existing ancillary
16 service and other markets, was that the question? Because
17 if that is the question I think that is the question. I
18 think that is the real question about this Technical
19 Conference from our perspective.

20 Why is that necessary? We have close to 2,000
21 megawatts of pump storage in New England at least from our
22 own resource, 88 megawatts was recently invested. We see
23 that we are probably going to have some other investments
24 from battery storage and we have run into some of these same
25 problems with traditional generators too and we are talking

1 about the amount of lock-in times that are required.

2 Generally developers will want the most stable
3 revenue stream that is possible but we found out in our
4 market that we get a lot of investment based on not giving
5 quite everything that they were asking for. We just had
6 1100 megawatts investment in the last auction in New England
7 based on a 7 year lock-in at a \$7.00 kilowatt month price.

8 So a lot of things can happen in the market and
9 one thing I certainly agree on the comment that was made was
10 we all want the most cost-efficient outcome. The question
11 is how it is achieved. Is it achieved through market-based
12 compensation or is it achieved by providing rate-based
13 treatment for certain storage applications?

14 But our concern is you can't have it both ways
15 and you know we have experienced some of this before. I
16 have a long history in it so I guess that means I'm older
17 but in New England I lived through the years when we had 28%
18 of the capacity in New England on reliability must run
19 agreements and the Commission appropriately scolded New
20 England and said enough, you really need to value it in the
21 market and we were forced into a long series of changes
22 which led to the current capacity market that we have that
23 does seem to be successful at achieving new investment.

24 And the reason I asked to be here is I am afraid
25 of going down a road that will lead to a similar outcome

1 where -- at least in New England, the pace of the capacity
2 market was undermined by the reliability must run agreements
3 and it is not clear that what is currently contemplated by
4 mixture of cost of service and markets isn't essentially the
5 same thing.

6 MR. EMNETT: So let me try and connect the dots
7 between the two question and Tom's comments -- that our
8 focus is on whether a storage resource can be cost-based
9 transmission. In my mind can it have cost-based recovery
10 for meeting a transmission need which is a different thing
11 than cost-based transmission -- it is not transmission, it
12 is not a wire.

13 But if the answer to that is yes then it takes
14 you to questions about ancillary services and provision of
15 other functions that are related to the provision of
16 transmission services, all within the transmission service
17 umbrella but there are different mechanisms that the RTO
18 uses to provide that transmission service -- that uses a
19 transmission planning function and construction designation
20 process for the transmission wires.

21 It uses markets to procure most of the ancillary
22 services, not all and there are cost-based mechanisms for
23 some of the ancillary services. So where does storage fit
24 in there? And in our mind yes the existing market
25 mechanisms are the energy and ancillary services or capacity

1 where they exist are sending the signals for when resources
2 should be coming in or out of the market.

3 But then the transmission planning function comes
4 in behind and says given those decisions that have been made
5 I saw a problem. I had problems that wires are going to
6 need to fix and they can be reliability or economic or could
7 be public policy and so I think what we are asking is when
8 you are in that conversation -- where the market has already
9 spoken as to where the resources would otherwise be and the
10 RTO is considering what change in my wires do I need to make
11 in order for the system to be reliable and economic and meet
12 all the policy requirements that a storage resource should
13 be able to say, I can do that too.

14 And if the evaluation of comparative economics of
15 the two -- comparative benefits and costs of the various
16 alternatives, the RTO ends up selecting and saying, "Yeah
17 the storage asset makes sense." Now there will be
18 complicated questions about the operational parameters for
19 that storage asset when it is selected, how it will
20 participate in the market, who has control, is it bid, is it
21 effectively going to dispatch the outside of the market --
22 we can get to those questions and we have thoughts on that.

23 But if you can't get past the first threshold --
24 can the RTO select the storage resource and provide a cost
25 of service recovery based mechanism that is similar to the

1 approach to the transmission but it is not the same thing
2 because it is not a transmission wire, maybe cost allocation
3 is different -- maybe, but if you can't answer yes to that
4 then I don't think we get very far.

5 MS. NIELSEN: Thank you, Michael?

6 MR. HERBERT: Yeah I was wondering if we could
7 talk about the concept of the post-contingency service a
8 little more? The way you describe it, it sounded I think
9 similar I guess from a planning perspective to providing
10 congestion relief or infrastructure deferral from an
11 operational perspective. So I guess my first question is --
12 is that true?

13 And then from an operational perspective how
14 would it work differently? Would you hold that capacity in
15 reserve in the event of a contingency event and then I guess
16 the final question would be kind of probably for Paul a
17 little bit -- I mean is there actually a demand from a
18 transmission-planning perspective for that type of service.

19 And then for the developers is there the desire
20 -- or would you be willing to forego any sort of market
21 revenues to receive sort of cost of service for a kind of
22 post-contingency storage asset?

23 MR. KUMARASWAMY: Let me probably take it one
24 question and then Mike and Paul can probably add. The
25 answer to your first question is yes. So it is operating on

1 an autonomous work in that type of situation. It is
2 actually on standby for it to provide for you know rapid
3 injections into the current if a contingency happens.

4 Because again think about it -- if you take a
5 look at a lot of the interfaces that are constrained, they
6 are constrained for a minus 1, minus 1, minus 1 type of
7 events. You can really achieve a lot more power across an
8 interface if you had the ability to actually to overload a
9 stability problem with rapid injections immediately right.

10 And so that is where we are going with this type
11 of an application and it is one that has significant
12 potential right. It has potential that you could have
13 storage in the order of hundreds of megawatts at a grid
14 connector that is sensing it happening and then be capable
15 to provide for those rapid injections.

16 In return for it you are actually seeking higher
17 capacity on a particular interface that it makes economic
18 sense for all of us right. And so how will you achieve that
19 is sort of like the second question really. I mean what
20 type of rate structure would make sense? Would that asset
21 then be under our control, all of that is subject that needs
22 to be discussed but again like Mike has said previously -- I
23 think what we need to do is at least open our mind to
24 thinking about solving an issue that we have using the
25 technology that we have today, right.

1 We have storage that can act so quickly in being
2 able to provide the service and we have to be able to figure
3 out ways in which we can use that in our system and use it
4 in a manner that can help us increase the overall
5 utilization of the grid.

6 MS. NIELSEN: Rahim wanted to add on and then if
7 we can have our final comments and we will move on to our
8 next question.

9 MR. AMERKHAIL: I just thought this would help
10 you guys with whatever you are about to say. So we talk
11 about things like islanding the load of the -- retail load
12 of Presidio with Raja's distribution battery or perhaps --
13 okay -- but isn't it a radial line out to this? Leaving
14 that aside for now -- and possibly peak shaving -- Kiran
15 mentioned it as though it were a transmission service to
16 shave peak so I guess that raises a fundamental question for
17 me.

18 Why are either of those things a transmission
19 service -- they are clearly valuable but I am not sure they
20 are valuable to the same range of transmission customers
21 that the deferred transmission upgrade might have been
22 valuable to. They are clearly valuable to the customers in
23 Presidio but what about all the other transmission customers
24 in Texas for example?

25 So I'll leave it at that.

1 MR. TATUM: So if I may and it is Ed Tatum, from
2 AMP -- there's two things that we are trying to do here.
3 One is we are trying to keep the lights on. The other is we
4 are trying to make sure consumers get just and reasonable
5 rates. So let's imagine a situation where we are using
6 storage as a transmission asset and what that means is if it
7 is not there the lights will go out.

8 So then that begs the question as to how would it
9 be controlled, how would it be specified, how much storage
10 would have to be there in order to truly mimic that and it
11 would have to be there for a long time. Because what
12 happens if it is not? We have gone through a FERC order 890
13 -- best plan, this is the least cost alternative but do you
14 know what -- it wasn't.

15 Because for some reason somehow, it did not
16 provide the same level of reliability and availability that
17 the wires could have provided. And so we have storage which
18 is a transmission asset but all of a sudden we are having to
19 build more transmission because it wasn't sufficient. So
20 that's kind of one of the concerns I wanted to raise there.

21 Can it provide additional ancillary services?
22 Absolute -- I think that everybody here is thinking about
23 that and I would say is in agreement on it. But you have to
24 be very careful as to how we are mixing it. I don't think
25 of peak shaving as a transmission service, I think that's a

1 result of how a load serving entity may react to the rates
2 of the local transmission owner.

3 I think it is almost a demand-side opportunity
4 that LCE's perhaps could avail themselves of -- to me it
5 seems like a market thing. So as we talk about transmission
6 assets, keeping the lights on, just and reasonable rates to
7 the consumers, I think are our guiding principles in that
8 regard, thank you.;

9 MS. NIELSEN: Paul?

10 MR. MCGLYNN: Regarding the issue of
11 post-contingency operation to the devices just to me that
12 goes beyond, that's one step beyond the threshold question
13 as to whether a storage device should be considered a
14 transmission asset or not. You know certainly it has
15 capabilities -- those things would need to be explored.

16 I know just from an in general -- in PJM we don't
17 like things to operate post-contingency or wait for things
18 to operate post-contingency. To me that starts to sound
19 like a remedial action scheme that we would need to you
20 know, that in general we would not use as a first choice
21 for trying to address some type of a transmission -- you
22 know, some kind of transmission asset.

23 But again I think the question of how you operate
24 the device, once you get beyond the threshold question of
25 whether a storage device should be a transmission asset then

1 you know there may be other ways that you are going to use
2 it, there may be applications for it that you know, could
3 and should be investigated and discussed but I think that's
4 again the next step anyhow for the next question.

5 MS. NIELSEN: Mason and I think we will wrap up
6 this question and move on to the cost subsidization and RTOs
7 own dependence, if you don't mind. Do you think your
8 comment could be included in the next question? Okay.

9 MR. EMNETT: I'm sorry one suggestion would be to
10 come at it from the perspective of needs and
11 process/evaluation. So Rahim to your examples you know peak
12 shaving -- as the RTO is going through its normal process of
13 let's pick an eastern RTO for example -- the capacity for
14 procurement of capacity energy ancillary services markets
15 running to you know efficiently use the resources on the
16 system and then it has the transmission planning process
17 where it is deciding what are problems that have otherwise
18 not be solved by my market mechanisms.

19 And it is in that conversation that at least I
20 think of storage participating as an option. And so it
21 would -- I think be unusual for the RTO to be solving a
22 transmission need based on peak shaving as a primary goal.
23 Most of the projects are reliability driving and so if the
24 focus is really on what is the need that the RTO is trying
25 to solve and can the storage asset solve that need then it

1 doesn't -- you know a couple of folks have referred to as a
2 storage, you know, being a transmission asset or acting as a
3 transmission asset.

4 In my mind I think if you call it a transmission
5 asset simply because it's resolving a transmission need, you
6 don't need to do that. It can be a storage resource,
7 battery or bulk that solves that transmission need and it is
8 not a transmission asset instead it is a storage asset.

9 I think you get out of some of the difficulties
10 that you have if it is actually a transmission asset used
11 and useful for transmission use or conduct applied --
12 instead of a storage asset and there will be rules around
13 how that storage asset is used to implicate its
14 participation in the market and doing other things.

15 But the threshold is did it -- does the storage
16 resource provide or resolve that transmission need -- yes or
17 no? Yes it does, then the question is well it is not needed
18 to resolve that transmission need in every hour of the day.
19 What does it do outside of those other hours and it takes us
20 to complicated questions about market participation and
21 offsetting and whether there should be to Rahim's earlier
22 question just a crediting back of the revenues or should
23 there be some kind of market-based revenues for the resource
24 owner.

25 From our perspective no you would have a

1 crediting mechanism with a little caveat that management
2 then becomes important because if the RTO, if the resource
3 owner is the one who is having to make sure that its
4 resource is positioned to solve that reliability need and
5 not the RTO then when that resource is taken into the market
6 there is a risk that that resource owner has and is that
7 risk managed/compensated for -- that's just something that
8 you would have to resolve.

9 MS. NIELSEN: Thank you, that's all very helpful.
10 Now to moving on with the question we all want to answer.
11 So turning to the next issue which focuses on concerns about
12 competition due to cross subsidization RTO and ISO
13 dependents -- if we were to assume that electric storage
14 resources were allowed to receive cost base, cost recovery
15 for the transmission services and/or transmission deferral
16 of avoidance benefits that they provide while also
17 participating in wholesale electric markets, then how would
18 the cross subsidization and RTO independence concerns raised
19 in the western grid and Nevada hydro be addressed?

20 For example could the electric storage resource
21 use only a portion of its total storage capacity to provide
22 the cost-based rate transmission services and include the
23 costs of only that portion of its storage capacity in its
24 cost-based transmission rates while using the remainder of
25 its capacity to provide market space rate services in the

1 wholesale electric markets?

2 Or alternatively, if electric storage resource
3 uses the same storage capacity to provide both cost-based
4 transmission and market-based services in the wholesale
5 electric markets, how should these concerns be addressed?
6 What additional steps might be needed to address these cost
7 subsidization concerns? So Mike would you like to start?

8 MR. KORMOS: I've been trying to answer the
9 question all day. So I guess in my mind I think you know
10 there are multiple methods and we could probably sit here
11 for the next couple of hours talking about different ways of
12 handling that. I think the most simple is if it is the
13 primary purpose -- is to avoid a transmission problem well
14 you know whatever criteria violation it is, I think we
15 should handle it like any other transmission asset at that
16 point.

17 In that it is turned over to the ISO/RT0 and the
18 ISO/RT0 has the information which no market participant will
19 have to use that asset primarily as it was designed for for
20 the reliability function. So first and foremost that's got
21 to be what's it is held for -- I agree with Mason I don't
22 want to get into this putting this state of charge of the
23 reliability function auto market participant.

24 I think that may be a little bit of an issue. I
25 think as with any transmission asset they are turned over to

1 the RTO for operational control. I think these assets would
2 be turned over to them. The RTO is in the best position to
3 make sure that it is there for its primary reliability
4 purpose first. They have that visibility that nobody else
5 has but then the RTO can look at where it could also be
6 potentially used, most likely in ancillary services we
7 talked about.

8 Again my suggestion is it would purely be a
9 price-taker, cost-based, not suggesting any kind of market
10 participant and only it would be taken if it is the most
11 cost-efficient resource able to provide the service at that
12 time and it is available.

13 I think simply then any revenues that would be
14 received through those markets are used to offset the
15 transmission rate. So this is what I think to keep it more
16 clean -- I understand where Mason wants to go with a
17 separate category, I think that may add more complexity than
18 is necessary at this stage.

19 I think leaving it as a transmission asset,
20 putting it in as a revenue requirement but then using
21 whatever revenues it receives from the non-transmission
22 function so to speak, to offset those. I think we have lots
23 of similarities where we install cell phone towers on our
24 transmission lines, we get revenue for that, we refund that
25 revenue back against the revenue requirement.

1 It is just the ability to use the transmission
2 asset as an alternative use. There is no reason we
3 shouldn't capture that value. We want to capture that value
4 because we want to basically provide the least cost
5 transmission service. So to me I think the fairly easy
6 model -- and I don't think it's again much different than
7 collecting non-firm transmission revenues. When gas gets
8 put in for firm service but if it is used for a non-firm
9 purpose you collect those revenues you refund them back to
10 the firm customers.

11 I think that is the model we would look at is,
12 particularly by having it under an independent -- nobody is
13 suggesting profit maximization, nobody is suggesting that
14 would be the RTO's test. The RTO would use it in the most
15 cost-effective way to control the grid as it is needed just
16 like they use a generator. I mean they don't profit and
17 maximize for a generator but they do use it in the most
18 cost-effective manner.

19 I would see the battery basically falling under
20 that very similar category going forward.

21 MR. AMERKHAIL: A quick follow-up Mike. So
22 hypothetically if there were a market for cell phone towers
23 and independent cell phone tower developers and you got
24 subsidized cell towers that don't need the full tower
25 because you are adding it to transmission towers -- why

1 would they think it was fair to have to compete with your
2 cell transceivers?

3 MR. KORMES: But I think that's the nature -- I
4 mean the ability to repurpose an asset. You are right, it
5 provides an advantage -- I don't think it is an unfair
6 advantage. And that's why we put cell phone towers on
7 transmission lines, you are right. You could force somebody
8 just to build an entire cell phone tower right next to it if
9 that was the desire -- and there are plenty of locations
10 where that is the right answer.

11 But if the ability is there to take advantage of
12 that and it benefits the customers who have paid for that
13 infrastructure why would you not take advantage of that, and
14 in fact the industry does. That is what we do today.

15 MR. EMNETT: Sure you know I largely agree it is
16 about efficient use of the resource which again going back
17 to process -- if you -- what point is the RTO considering
18 the storage asset or really any non-transmission alternative
19 right -- in the process as an alternative to the wire to
20 solve the problem.

21 And so it decides on a non-transmission
22 alternative solution. Why would you not maximize the
23 capabilities of that resource back to you know statements
24 that were made at the opening. Like it is just yes there
25 are implications for operations in the market and in our

1 mind that resource would be a price taker, you just bid on
2 and be available and the energy and ancillary services
3 market mechanism would figure out when is the optimal time
4 to use the resource.

5 The state of charge management is a complicated
6 question. As a developer we like the idea of the RTO to
7 Mike's you know suggestion. The RTO managing state of
8 charge because it is the one that has the most information
9 but we appreciate that there could be concerns in terms of
10 affecting market prices associated with decisions on when to
11 -- you had to posture the resource.

12 I'm charging and discharging for a battery or
13 pumping you know for bulk storage -- and so we can see and
14 understand a structure where the battery or the storage
15 resource developer both the battery would have to be
16 responsible for that and that's a risk that bears as part of
17 a cost-based structure where it is getting this capacity --
18 I'm sorry credit back from our participation.

19 MR. KASLOW: Thanks, first a quick response to
20 the last two conversations and then I will get directly to
21 the questions that you have on this one. A follow-up to
22 Mason -- I think there is a lot assumed here that's easy in
23 terms of when to use storage and not in terms of
24 participating in the energy and the ancillary service
25 markets.

1 At least from our company's experience it is not
2 an easy task -- it is very complicated, there is a lot of
3 art to it actually in terms of trying to forecast when the
4 use of storage is best because you can't necessarily
5 economically charge immediately after you discharge prices
6 may still be too high relative to what would be economic for
7 the system as a whole.

8 And so there is a lot of management at the state
9 of charge that I don't know how the RTO would do other than
10 just trying to clip prices with perfect knowledge. And if
11 that were the case I think you would definitely have a
12 challenge on any market-base storage resource wanting to
13 come in because who can compete with the ISO? So that's a
14 general response now your two questions.

15 I'll start with the alternative first because I
16 think the alternative one in my view is a common use for
17 both market and transmission purposes. And that one to me
18 looks precisely like reliability must run agreements that we
19 have had a bad experience with in New England on generators.
20 So it just doesn't look any different.

21 And I think if that road was taken then the need
22 to -- how do you deal with the cost base subsidy of that
23 resource and the capacity, energy and ancillary service
24 markets? The capacity market we currently have minimum
25 offer price rules for anything new that comes in that

1 currently would not be transmission rate based -- how do you
2 deal with that if it is a transmission asset?

3 I don't have a good answer on the energy and
4 ancillary services because it is a problem actually the
5 markets face today from investments that are made outside of
6 transmission. They come into the market with a little bit
7 more assistance beyond the competitive market forces and so
8 that's a problem and I don't know how you solve that.

9 It just places greater reliance on the capacity
10 market when that happens. What I would call the segregated
11 use -- you have a battery or a pump storage facility and you
12 know I think the question is the pump storage is easier to
13 visualize -- is at the top or the bottom of the upper
14 reservoir that is used for the transmission service -- since
15 it is used infrequently benefits the bottom of the resource,
16 how much duration is used for that relative to the duration
17 that's used.

18 We have a facility that has a convenience flat
19 out for 8 hours -- if we were to do this type of service is
20 it one hour that is devoted to the transmission service
21 since it is not really a reliability function versus a
22 market function? And how you slice up that upper reservoir,
23 is it just the storage medium whether it be water or
24 electrical chemical -- or is it the equipment, the common
25 use equipment to convert that charge into a discharge into

1 energy on the system.

2 It isn't clear how the division of the capital
3 and the recovery of the investment of what's rate-based and
4 what isn't rate-based would happen in that type of
5 segregated function and I would expect that there would be
6 significant challenges to any method that was given to set
7 up a formula for how that storage would be segregated, thank
8 you.

9 MS. NIELSEN: Sure, Kiran?

10 MR. KUMARASWAMY: Sure I agree with many of the
11 points that have been said here. From my perspective we
12 think differently commercial structuring arrangements that
13 can be put in place to mitigate a lot of concerns of cross
14 optimization. And it's possible that it is not going to be
15 a one size fit all type of solution. You have got different
16 types of utilities, different types of entities that
17 actually double up storage projects and so it has got to be
18 evaluated on a case-by-case basis.

19 But we do think that there are definitely
20 opportunities for us to pursue both of those types of
21 services in a manner that doesn't impede market operations
22 or result in cross optimization.

23 I mean just to highlight it --let me talk about
24 two scenarios, one where you have battery storage that's
25 providing a transmission service and it's owned and operated

1 and actually participate in the wholesale market and so some
2 of the traditional cost allocation methods are probably
3 appropriate here right?

4 You allocate a portion of the cost for providing
5 that library service and that any profits or monies that you
6 make through the wholesale market operation flows back
7 through revenue credit mechanisms through the data mechanism
8 back to reduce the cost of the off-rate price in that case
9 right.

10 And the one thing is that the thing we have to be
11 cognizant of is an operating plan for you to operate the
12 asset and that's going to take a little bit of work to
13 figure out what the type of a plan might look like but
14 putting together that type of an operating plan will help
15 you mitigate a lot of these concerns. And then when you use
16 an asset for a particular type of service and when you don't
17 use that asset for a different type of service.

18 The second scenarios is where similarly what Mike
19 was describing the storage resource gets selected as a
20 transmission asset in an ISO RTO planning process right and
21 in that case you know, if it is an -- the transmission costs
22 can be allocated to a zone then the mechanism is pretty
23 similar. You are going to use the same construct in terms
24 of using that resource to participate in markets and that
25 those monies and revenues actually flow back to the original

1 set of customers with whom absorb -- actually paid for that
2 asset based on an allocation factor.

3 And so how we again double up the allocation
4 factor in terms of the cost of the system and the monies
5 that you receive through the market operation have to be
6 worked out in that particular case but in construct it seems
7 like that's doable as well.

8 MS. NIELSEN: Thank you, Paul?

9 MR. MCGLYNN: So I think from a -- from an
10 efficiency perspective trying to parse out these storage
11 device -- to have a portion of it set aside for dealing with
12 whatever the transmission issue is that you know would have
13 been a regulated kind of -- transmission asset, it just
14 seems inefficient to me.

15 You know from a planning perspective we figure
16 out what the needs are on the system for you know, peak load
17 conditions and things like that and there's lots of times
18 throughout the year that you are not at peak, that you are
19 not going to potentially have this planning violation.

20 So there would appear to be lots of opportunities
21 for storage devices to then participate in other -- and
22 provide other ancillary services to the grid. I think you
23 know once you get there I think then you have to figure out
24 how you are going to operate and who is going to be in
25 control of operating it if you will.

1 You know I know that the Commission has had some
2 concerns about turning that over directly to the ISOs or
3 RTOs you know because of concerns potentially how they could
4 impact the market. Another alternative and certainly a
5 transmission owner, you know you wouldn't want to -- I
6 suspect you wouldn't want to just have the transmission
7 owner being responsible for it and playing into the other
8 markets because then it would be market participant which
9 you know obviously would be problematic.

10 So an alternative would be to set up a third
11 entity perhaps that the transmission owner would and could
12 be an affiliate of the transmission owner, but they would
13 contract to this third party to provide a you know -- some
14 kind of contract-based reliability service to the
15 transmission owner.

16 And then the transmission owner then could -- for
17 whatever those contract fees are they could be the subject
18 of the rate-based rates perhaps. And the rest of the time
19 the third party would be able to use that device, use the
20 storage device in whatever market may be available to them.

21 MS. NIELSEN: Thank you, Raja?

22 MR. SUNDARARAJAN: From an AEP point of view I
23 think we kind of view this as a fundamental question of what
24 you are asking here is -- is more of a planning question
25 because in our opinion planning decides how you allocate the

1 cost -- being transmission or on the wholesale market.

2 The planning consideration was primarily driven
3 to solve the voltage violation and one of the decisions why
4 the storage was chosen as a cost efficient solution or
5 cost-effective solution than other alternatives was that
6 because it provided ancillary services and you actually had
7 a forecast of ancillary service revenues -- then that
8 becomes how do you make sure that wholesale transmission
9 rate fairs are not back-stocking the cost for the revenues
10 that are being forecasted in the transmission planning
11 process for ancillary services.

12 So you can solve that through multiple ways --
13 one is to say either you know in absence of the storage
14 solution you will build something else. It is a
15 traditional transmission asset you have to have a cost
16 construct that you can use to say in absence of building a
17 storage device for example, a traditional transmission line
18 or some other transmission asset to solve for the violation.

19 So then you have some mechanism to allocate the
20 cost that would be borne purely by the transmission
21 rate-payers given the assumption that the remaining portion
22 of forecast of ancillary service revenues is negotiated
23 through some kind of commercial contract as Paul mentioned
24 -- either you other third part provide or it is not borne by
25 the transmission rate-payers. That could be a commercial

1 arrangement for being the transmission owner or somebody
2 else and the transmission owner doesn't take that risk for
3 the cost that is not allocated to the foundation rate base.

4 So we believe that that could be a more efficient
5 construct as opposed to an allocation of well I'm going to
6 consider in my planning process that any refunds of
7 transmission revenues and ancillary service revenues will be
8 an off-set to the transmission costs -- puts a burden on the
9 transmission cost to be a back-stop for the revenues and
10 then effectively they are taking some kind of a market risk
11 for lack of a better word.

12 And then we believe that the later construct
13 lends to a better proposition that A -- a cost-effective
14 solution is being chosen in the plan. Secondly, the
15 wholesale rate payers -- the wholesale transmission rate
16 payers are not providing any back-stop mechanism for
17 according to your market revenues.

18 It will be very difficult for a transmission
19 planning organization to forecast transmission and ancillary
20 service revenues for the next 15-20 years and incorporate
21 that as part of your planning process. So that's why a
22 commercial arrangement that either a third party or somebody
23 else can negotiate -- fully understanding that the first
24 rights of the assets is by the transmission owner or the
25 transmission provider in this case so that they can call

1 upon the assets for liability needs, provides a better
2 construct and kind of mitigates this cross subsidization
3 issue.

4 MS. NIELSEN: Okay Ed?

5 MR. TATUM: So I think we are getting a flavor
6 here from the discussion as just how complicated this could
7 possibly be if we do go down this route. I think you know,
8 especially after the last 24 hours nothing is impossible but
9 the question is what is practical and what are we trying to
10 do? And again keep the lights on and have just and
11 reasonable rates.

12 We have two paths we can go by -- we can do the
13 regulated transmission which apparently is a pretty good
14 business, okay? And folks can make decisions as to whether
15 or not they wish to be a transmission asset and recover
16 their storage asset from that way and have that guaranteed
17 rate of return for umpting ump years or we can rely upon
18 markets.

19 AMP believes in markets and if we are currently
20 not having enough value from the markets provided to storage
21 in order to get the storage that we need, we should address
22 the markets from that standpoint. But when we get in our
23 feet in both worlds it is going to get complicated and the
24 thing that we would worry about is the lights going out.

25 And we could see that as very well happening --

1 we are talking about split usage back and forth, if you have
2 a transmission -- if we are avoiding a transmission
3 construction because we need 20 hours of storage and we have
4 a device that can do 30 by giving that device to be able to
5 play with the additional 10 will all the 20 be there? You
6 don't know unless it is under the actual absolute control of
7 the RTO or the transmission provider.

8 And then Paul and his team were not too
9 comfortable one with the solution -- this post-contingency
10 rule to keep the lights on, is PJM or any other RTO going to
11 be making win/lose calls as part of how that device is
12 operating?

13 It seems that we would be in a very difficult
14 situation. What makes markets work are the different views
15 that various folks have going to that market. And if folks
16 think that they can make a better return from a market, then
17 they should be in that market, that's good. But they also
18 could have a choice to be within the regulated environment
19 and still doing a pretty good business. I agree with others
20 if we are going to somehow mix and match these two revenues
21 that do come from this regulated asset, we'd go back to
22 those who are paying for it which would be the customers.

23 I would worry about surrogates for the investment
24 and the value because again if we are having a storage asset
25 be the least cost transmission solution, that's the solution

1 that ought to be put into place as opposed to a higher
2 priced surrogate.

3 MS. NIELSEN: Michael, please?

4 MR. KORMOS: Just a couple of things that I think
5 were said -- I think you know, we looked at Raja's model and
6 again not that I disagree that it is not a workable model --
7 I think the issue there is the amount of discounting that
8 would go on by the entity -- the third party entity taking.
9 You are losing a lot of value that could be returned to the
10 transmission customers.

11 And so why it is workable I don't know if anybody
12 is comfortable they have enough information on how
13 contractually that would work that I think there are some
14 downsides to that model that I think we should consider
15 before we go there. You know I think as far as the
16 transmission customers taking "a market risk". I think they
17 take that no matter what.

18 Any time the RTO chooses a transmission solution
19 they think it is the most cost effective. I guarantee we
20 could go back and look at many of the decisions that were
21 made and they were not the most cost-effective. You are
22 looking at a 15 year forecast, there are going to be things
23 that change and things that are going to be wrong.

24 It is what it is, the transmission customers that
25 pay that -- that's an accepted paradox for us so I don't

1 think that should be a real problem for us in that the ISO
2 assumes some level of reserves. I am sure they would be
3 very conservative. They make those decisions every time
4 they try to decide what is more cost-effective.

5 How hard is this siting going to be? It's a
6 guess. I mean it's an educated guess but it is purely a
7 guess. Until the line is actually being built you don't
8 really know so I don't worry about that. I understand the
9 issue that a cost of service based asset being in the market
10 but again I would suggest that we have that today. We have
11 a lot of rate-based generation that plays in the market that
12 is in the market and the market works perfectly fine.

13 They are still choosing the most cost-effective
14 resource in that matter. We have resources that are
15 receiving out of market payments -- I get it, it's an issue.
16 But I don't know if it is one that this one is going to
17 necessarily cause that much more concern in particularly to
18 markets they will play in.

19 So and the other thing is I think the ISO RTO's
20 I'm surprised to come and have -- PJM actually does schedule
21 resources. They already do provide that service to the pump
22 service resources on the PJM system if they want that. They
23 will schedule it, the pump and what they believe is the
24 cheapest cost areas they will generate it in the most
25 expensive areas.

1 It is because overall they have information that
2 the market participant doesn't have -- and overall that is
3 the most efficient thing for the system. And so they are
4 never 100% right but they are probably better at it than the
5 market participant if they had to do it themselves.

6 So I think there is that balance that continually
7 has to be struck. We are all about price formation and we
8 believe price formation is one of the most important things
9 on the Commission plate and I know you are dealing with that
10 and I don't think we are suggesting anything should try to
11 distort their prices.

12 But I do think we have to balance making sure the
13 system is run as most cost-effectively as we can with the
14 assets that are being provided out there and I think
15 batteries will require changing the way we think. I would
16 be happy to talk more about M minus 1 because I can talk for
17 a long time about that, but I think there are unique
18 opportunities that we can really bring some efficiency.

19 That will cause changes in the market. But I
20 think that's part of technology and that's part of going
21 forward.

22 MS. NIELSEN: Thank you, Kiron, do you want to
23 continue you.

24 MR. AMERKHAIL: Maybe I could jump in. Just to
25 help maybe guide the rest of the discussion -- so there are

1 to my mind the cross subsidization issue that was raised in
2 Nevada Hydro Western Grid was actually two-fold. One you
3 are worried about transmission customers but two you are
4 worried about the impact on competition in the market
5 itself.

6 Many of the solutions -- in fact I will go so far
7 as to say all the solutions I have heard so far about
8 sharing revenues from the market with transmission customers
9 definitely seem to address the first part -- making sure
10 transmission customers aren't harmed. But many of your
11 companies also have non-storage resources that presumably
12 derive some revenue from the ancillary service markets.

13 Would they really feel like it was in -- and I
14 recognize there are other cost-to- service assets but that's
15 actually one of the most controversial things in the market
16 today. We have minimum offer price rules, would they really
17 feel it was fair that they are competing with resources that
18 are providing essentially the same service in the markets
19 but can go in as price takers because they are at no risk
20 because they get their costs recovered in transmission
21 rates, even if they make no money in the market.

22 So I'll leave it at that.

23 MR. EMNETT: So for me it kind of comes to a
24 process. Like at what point did the RTO choose the storage
25 resource or something other than the wire? It was after all

1 other -- I mean transmission itself is a last resort. I
2 mean the market has tried to respond to whatever the
3 particular need is and has not. The energy market, the cost
4 of service regulated, vertically integrated, development
5 hasn't. There's a need that needs to be resolved.

6 And so to me the question is who is allowed to
7 solve that need? Only wires or someone else and Order 890
8 they said non-transmission alternatives get a place in that
9 discussion but didn't include any sort of recovering
10 mechanism. And so the question now is should that recovery
11 mechanism exist when the resource that is selected is
12 meeting whatever that transmission need is? And then that
13 will take you places -- you will have to sort of decide what
14 to do with that asset and I think there's generally
15 agreement that if the Commission -- sorry if the RTO were to
16 make the decision to select the storage resource you should
17 then optimize the use of that resource.

18 It is similar to the RMR concept which I mean I
19 know there were concerns expressed about in a volume of
20 RMR's that the Commission was clear as recently and that
21 your ISO cases and not to get into the substance of anything
22 that is pending but the current Commission policy for RMR is
23 that if a unit is needed for a liability, it is a price
24 taker in the markets because of the reliability commitment
25 based on the RMR compensation has resolved a need that was

1 otherwise unresolved by the market.

2 And so it is a similar question here and I don't
3 think that you get to the kind of volume concerns that Tom
4 had on RMR's -- it's more of a conceptual thing. Should an
5 RTO be able to make -- choose among multiple options and if
6 so then you would optimize the use of that resource just
7 like you do in RMR.

8 MR. KASLOW: It was very timely to wait. A
9 couple of things I just want to respond to. The RMR solving
10 a need that the market has not solved -- I think that has
11 happened and probably will happen in the future. I think Ed
12 had mentioned earlier though the question there to ask is
13 why didn't the market solve that? Why do I need to resort
14 to an RMR? Is there a way to improve that?

15 That is what happened in New England, we had a
16 lot of them and the solution to that was a locational
17 capacity market where some of that locational value could be
18 reflected through the capacity price. The other comment was
19 if a resource is contracted or rate-based the RTO should
20 optimize it.

21 I don't know how you can avoid maximizing the
22 impact on competitive markets if the RTO is participating in
23 the market. And I would argue that that would undermine
24 confidence in the competitive market and it means if you
25 still get additional investment the risk premium is going to

1 have to be higher.

2 Finally I did want to respond to a prior comment
3 from Mike was you know a lot of the assets are currently
4 part of vertically integrated companies -- that is not true
5 in New England. In New England most of the states have
6 restructured and the utilities not only do not own
7 generation, but with limited exception for renewal
8 resources, they are not allowed to build or buy them.

9 So this would be a change and potentially if it
10 were considered as transmission equipment might somehow get
11 around state laws that were intended to keep them out of the
12 generation business and the reason that was done in
13 restructuring is because the states saw the wisdom in having
14 investors take the risk of investments and not the
15 rate-payer. So I think there are a lot of hairs on this one
16 and my point in raising it is New England may be much
17 different than some of the other areas.

18 I think one of the last larger vertically
19 integrated utilities is New Hampshire and currently
20 undergoing a process to divest their assets, thanks.

21 MS. NIELSEN: So Tom if you don't think RMR is a
22 good structure and you are concerned about the RTO ISO being
23 involved, do you see a path forward?

24 MR. KASLOW: I think the path forward is having
25 the storage resources such as ours which we currently do --

1 recover their investments through the competitive market.
2 If there are additional premium values that are provided --
3 and I mentioned earlier that I think we and other storage
4 resources provide very fast, contingency response or other
5 ramping needs in the case of having a lot of renewables.

6 Then having a product values that. I understand
7 in the U.K. that they actually do have a very fast or maybe
8 it is called fast reserve but it is a premium reserve
9 product. If that is what is needed then do that but our
10 fear is jumping to a regulated solution has a lot of
11 ramifications that could actually cause barriers to further
12 our investment if you are not part of whatever RTO planning
13 exercise identifies your storage resource.

14 MS. NIELSEN: Michael do you want to continue to
15 dive on and then add your comment okay, so please do ahead.

16 MR. KORMOS: I think the concerns are very
17 legitimate and one of the things that I would suggest is
18 that I think the process is how the decision has been made
19 would have to be very transparent to the market. I think
20 those that are in the market fully understand that risk and
21 we understand things will change.

22 We will have to react to those changes. They are
23 not always within our control and many times they are due to
24 externalities. So I do think one of the benefits here is
25 that if you are being very clear and very transparent of how

1 the batteries are being selected -- as Mason said, well in
2 advance -- how they ultimately would be used and what the
3 rules would be of using them -- making it clear they are not
4 being forced into the market simply to lower prices.

5 They are only being used when they are in fact
6 the most cost-effective solution. I think the market can
7 respond to that. I think the market can react to that and I
8 think it is something doable. But it will go down to the
9 RTO will have to have clear and transparent rules as to how
10 those decisions will be made.

11 But again, I think that's the benefit of having
12 that independent entity to do that. I'm all for markets
13 solving every problem but I think we have learned that
14 that's just not feasible. There is some societal benefits
15 -- there is some social benefits that the fact of the matter
16 is the regulated services are maybe a better model.

17 And that is why transmission is where it is.
18 There are ways to add competition to that -- we have Water
19 1000, I think Water 1000 will be a great way that anybody
20 can provide these kind of solutions -- better solutions and
21 whether it is a pump storage provider or whether it is a
22 generator for providing -- not necessarily be just
23 transmission owners doing it so I think there is a lot of
24 value there.

25 And I think again to sort of go back to the

1 concerns, I think they are legit and they are real but I
2 think transparency really is the best answer at this point.

3 MS. NIELSEN: Thank you, Kiran?

4 MR. KUMARASWAMY: I just wanted to say that on
5 the subject of cost-effectiveness for some of these
6 applications like peak flow relief right here -- I want to
7 go back to Mason's point which he made pretty well which is
8 often times what we see is the storage solutions aren't even
9 considered in the planning process. So that if you take the
10 shape of the load variation curve and find all the critical
11 load level beyond which actually trigger violations to the
12 system -- we actually systematically see when those time
13 charts actually happen in the system and how often are we
14 exposed to that type of load level that triggers the
15 violation need.

16 So I think the first step is for us at least to
17 get to the point where we know exactly where the trigger
18 point happens for an upgrade project. And then the second
19 point really is that when that happens storage also has the
20 capability to be extremely modular in terms of how you slice
21 the system right -- and that can be really helpful in
22 periods of uncertainty right.

23 And I think -- my topic with this -- we've all
24 seen this, transmission projects get planned and we have a
25 device load grill because of various reasons and then we

1 have different plans right -- so in periods of uncertainty
2 if you don't want to sink in big capital expenditures on a
3 single project, it is a great way that you can actually
4 provide for the relief that you need.

5 In blocks system it is very modular right with an
6 option to scale over time right -- and that actually helps
7 you it really makes smart investments into the needs that we
8 see in the transmission grid. That's number one.

9 The other advantage that it also brings us -- you
10 are only paying for what you are using right and so any
11 capacity that you add in the future it gets augmented over
12 time -- depending on whether the load grows or whether you
13 can keep the capacity where it is. And if you are buying
14 the solutions in the future the cost of storage is also
15 coming down right and so there is definitely a bridge also
16 that you actually have in terms of effectiveness of storage
17 for peak type relief types of applications.

18 MS. NEILSEN: Thank you, Raja?

19 MR. SUNDARARAJAN: I thought the question was to
20 the extent any of the storage is compared to other
21 transmission alternatives for solving a transmission need --
22 i.e. solving a thermal or voltage violation or any other
23 consideration that you impose on and then on top of that
24 given the fact that storage can provide other benefits given
25 the fact that the thermal violation actually -- the

1 mitigation of that only happens a few hours in a year in
2 some small segment.

3 And the storage is basically sitting there idle
4 to provide other benefits -- that's the issue here as
5 opposed to where you predominantly are using storage for
6 ancillary services only. The predominant use of storage in
7 this case is to solve for thermal or voltage violation and
8 this is just happens to be an ancillary benefit that you
9 derive out of it.

10 The problem becomes when you are in the planning
11 process and you are considering this compared to other
12 non-traditional alternatives, storage becomes more or less
13 cost-effective when you don't consider those benefits. And
14 so that's why how you -- when you plan for this, what
15 assumptions do you derive on the revenues from the fact that
16 storage actually provides other benefits.

17 It is an important determination of why storage
18 is more cost-effective than other transmission alternatives.
19 And given that that is the main reason why you made the
20 consideration you have to factor into account that that
21 revenue can somehow be relied upon as opposed to imposing
22 that on the transmission rate fares.

23 Either you can rely upon that through some kind
24 of a commercial contract with the generator plant and the
25 ancillary service provider to say that make sure that the

1 pro storage asset is available for transmission needs first
2 and to the extent you are not there are penalties associated
3 with it.

4 And then you find out what the true value of
5 ancillary service is assuming the reliability violations are
6 solved first. That's in our opinion, a more-cleaner
7 contract that solves more the issue of cross observation and
8 B -- not having the wholesale transmission rate as a
9 back-stop on these revenues.

10 And to the extent you can do that you say then
11 you can make an apples to apples comparison between the
12 storage that is being allocated to transmission rate payers
13 is comparable to transmission owners and the planning
14 process in our opinion makes it a little simpler.

15 If you don't do that, how you forecast these
16 ancillary benefits and imposing that and then incorporating
17 it as part of the planning process becomes your single most
18 criteria. Because that's where you know either you would
19 solve the transparency that every stakeholder can argue on
20 those assumptions and make sure that when you are imposing
21 that as a back-stop make sure that the very news that the
22 violation providers is reasonable, that's one way to solve
23 it.

24 Otherwise you let the market decide what the
25 value of the storage for a non-lineup assuming the provider

1 has a right to call upon assets first. And then let the
2 costs -- subtract the costs of those revenues and then
3 allocate the cost for the violation rate-payers.

4 MS. NIELSON: Thank you. Ed?

5 MR. TATUM: Thank you, so I think we clearly
6 could use a little bit more imagination in our transmission
7 planning. I like the idea of taking a look at the load
8 shapes and I think there could be opportunities there for
9 storage to be used as a transmission asset. One thing that
10 I would be concerned about from a consumer and a customer
11 perspective though is we talk about cost-effective you know
12 we try to think of the lowest possible cost for a reliable
13 system.

14 I don't know but is the premise here that there
15 is currently not enough revenues for storage assets? That
16 they need more revenues that we have to get them more money
17 to actually get them in there? If that is indeed the case
18 are they currently where we need to be? We made great
19 technological advances on storage, the price has come down,
20 the capabilities have come up but for consumers, what are we
21 trying to do here?

22 Transmission as I said earlier is a pretty good
23 business and that's not a shabby rate of return and return
24 on equity for a long term. A lot of folks would like to be
25 able to have that type of certainty and return on their

1 investment. In the same way though we have got markets and
2 we have the ability to make sure those markets are working,
3 we have the ability to become more sophisticated with them.

4 I think you guys have asked a question earlier
5 about regulation and frequency response. I think that we
6 still might need to talk about that if there is additional
7 value that storage can provide there.

8 We can certainly try to storage provide both but
9 as you have heard from this discussion here today there's a
10 whole lot of additional steps and processes and things that
11 we need to think about and talk about and work through and
12 ensure that the lights would indeed stay on if we truly have
13 that as a transmission asset.

14 MS. NIELSEN: Thank you, Mike did you want to add
15 a question?

16 MR. HERBERT: Yes regarding the sort of the model
17 we talked about where you have got the storage asset you
18 know it has been chosen to provide some sort of transmission
19 benefits or transmission need and then potentially
20 participating in the wholesale markets as well. I think
21 assuming we have overcome the threshold question we have an
22 asset that has been chosen in the transmission planning
23 process.

24 I think all of this is kind of hypothetical for
25 you so maybe you will have an answer maybe you won't. How

1 would the operator actually decide to dispatch that asset in
2 real time? I mean if you -- if it was providing congestion
3 relief into a load pocket would you dispatch that asset as
4 the first, lowest cost generator up or would you only
5 dispatch that asset when there is no other generator in that
6 load pocket that can potentially provide energy and you just
7 absolutely have to get something else in there.

8 Because I wonder -- I guess I wonder how the
9 dispatch of that resource and the hypothetical situation
10 would differ from the dispatch of that resource if it was
11 just a market participant and then you know potentially
12 whether or not making that resource also being a market
13 participant is even necessary.

14 MR. MCGLYNN: So your question is a good one. I
15 think you know to me to Ed's point the first thing is about
16 keeping the lights on right? So we would need to make a
17 decision about whether the storage device was going to be
18 needed to address whatever -- I'll call it a planning
19 related thing -- item issue. Short of that issue being you
20 know expected or anticipated within the next dispatch period
21 you know it would appear that the device, the storage device
22 would be available to be used for other -- in other markets.

23 Your question then about who gets to decide when
24 it is going to be dispatched at that point I suppose the RTO
25 could decide at that point to do it but again I think

1 there's potential issues there with the RTO then having
2 impacting the market and other market participants and
3 things like that.

4 So you know I think perhaps an alternative to
5 just turning that decision right over to the RTO would be to
6 have again a third party providing you know kind of this
7 reliability service if you will that they could provide but
8 then otherwise the device could be used for -- in all of our
9 other markets whatever that may be.

10 You know fundamental though, one thing that I
11 haven't said before is that obviously if the device is --
12 the storage device is going to be there and needed and
13 required for providing some kind of reliability service --
14 transmission service if you will, clearly the RTO would be
15 to have a right to recall it.

16 You know so if the unanticipated thing did happen
17 and if the device was you know, operating in the market
18 doing something else you know we would need to have --
19 clearly need to have the ability to call upon it to provide
20 the service, the reliability service, that it was you know
21 intended for.

22 MR. KORMOS: Probably just to build off of that a
23 little bit because I think probably one of the interesting
24 things about this is there is multiple ways to use the
25 battery so it is very specific to the application you are

1 trying. I think you know if you are going to actually try
2 to discharge the battery to cover an overload, it really
3 would be an operating procedure. It would be the last
4 thing, it would be the reliability.

5 You would kick it in when all other
6 cost-effective means are done you would then use the
7 battery. One of the reasons I like when we talk about using
8 it post-contingency versus pre-contingency is you are not
9 actually dispatching the battery until the contingency
10 happens. So you have the defining event that says until the
11 contingency trips you are not.

12 So the only thing ISO has to do is make sure the
13 battery is charged and ready to go under the circumstances I
14 think that's more clearly. If we are talking about
15 dispatching it outside of the reliability need, the ISO
16 knows it's not needed. I think the easiest answer again it
17 is a cost-based thing.

18 The battery -- there is a cost to charge the
19 battery. So if it is going to then just be dispatched as an
20 energy resource it would fit right in the bid stack based on
21 its cost. And again its cost was whatever the price was
22 when it charged, or whatever it expects the price to be when
23 it recharges.

24 And again this is very similar to what we do with
25 pump storage plants as to how you dispatch them. So I don't

1 think again you have to worry about how the RTO would
2 dispatch. There's a pretty clear precedent as to how you
3 dispatch storage resources based on the cost to store the
4 energy in the first place.

5 MS. NIELSEN: Thank you, Tom?

6 MR. KASLOW: Thank you. First of all I think we
7 do have examples of cases right now where the RTO activates
8 a resource or directs it to active and it is not
9 price-based. In New England that is currently the only way
10 that real time demand response is activated and it happens
11 when the system experiences an operating reserve deficiency
12 which is when you start to hit scarcity pricing.

13 So what does happen on occasion is when you
14 activate a block of unpriced megawatts -- sometimes it
15 actually removes the deficiency and so you go from scarcity
16 to no scarcity even though the action itself may have been
17 relatively expensive and it interferes with that pricing and
18 caused a lot of uplift, all the inefficiencies that you have
19 probably heard before.

20 I would like to approach the question a little
21 differently. I would like to -- getting back to if a
22 storage resource participated as a competitive market
23 resource -- it puts in the bid prices which are instructive
24 to the economic dispatch of the resource, but the RTO always
25 has the ability to either turn the resource on, if necessary

1 to meet transmission reliability needs even if the economic
2 dispatch wouldn't do it and it always has the opportunity in
3 the case of limited energy resource to -- what New England
4 refers to as "posture the resource".

5 You want to generate -- I don't want you to
6 generate because I know something that you don't, I'm taking
7 over your dispatch basically and you are going to hold on to
8 that energy and I am going to make you whole for it. So I
9 am not complaining about that the provision is actually
10 relatively fair now.

11 So I don't know what it is that we are trying to
12 solve with this particular one. I think the only time you
13 have something to solve is if you are trying to dedicate a
14 storage resource to solely transmission use which I think
15 from earlier discussion raised the question of why would you
16 do that if there is additional efficiencies that can be
17 provided by the resource and if additional efficiencies can
18 be provided why can't they support themselves on market
19 based compensation, thank you.

20 MS. NIELSEN: Thank you, Mason?

21 MR. EMNETT: Just one quick think to add because
22 I know we are running out of time but I think the core of
23 the question is how would the posturing/state of charge
24 management operation -- how does that all fit into the RTO
25 bidding in offered perimeters and dispatch algorithm. Well

1 I think you have got that problem regardless of the last two
2 hours of discussion on whether the asset can initially
3 provide a transmission need, that storage resources are
4 asking those questions in the separate docket on the RTO
5 market rules.

6 That the way that the offered perimeters and
7 dispatch algorithms are set up now is they are defined, they
8 are set in a way that is trying to achieve or extract the
9 maximum value from the use of generation resources. And
10 then over time they have been tweaked for command response.

11 As Mike said pump storage, kind of taken care of
12 in PJM to fit within there. But the question is do those
13 offer perimeters and the dispatching algorithm do they need
14 to change further for other types of storage technologies to
15 extract the full value of its resources and whether it means
16 that the RTO is more involved in state of charge management
17 or less involved or what the set point perimeters are --
18 that will be figured out.

19 It has got to be figured out independent of this
20 question on you know solving the transmission need.

21 MS. NIELSEN: Thank you, Ed a final comment?

22 MR. TATUM: Well thank you. The algorithms Mr.
23 Kormos was talking about with regards to the ability to go
24 ahead and use energy storage as a transmission asset but
25 also the ability if it is doing other things. And the

1 question is -- and we are talking about the reliability
2 aspect of it and the lights are going to stay on or now.
3 What happens if that transmission storage asset was
4 completely discharged at the time?

5 We don't have -- I don't think Paul the level of
6 clairvoyance yet to really be able to foresee and predict
7 the transmission outage. I think that you can get a
8 transmission outage just like that and so if we are doing
9 that, we are going to have to be thoughtful about minimum
10 levels of charge required.

11 You know we would have to actually get into the
12 technical requirements of what was the characteristic of
13 that storage device that solved the transmission constraint
14 to assure somehow it would indeed be there for all those
15 unforeseen and unpredictable events that could occur. So I
16 just want to put that reliability point on the discussion.

17 MS. NIELSEN: Okay we need to wrap up. So if
18 Raja and Kiran could be very brief then we will close our
19 panel.

20 MR. SUNDARARAJAN: Yes, from our point of view,
21 AEP's point of view, just because it is complicated to solve
22 doesn't mean you get out of it. So I know Ed and the
23 panelists raised extremely important points of terms of yes
24 it is typical to solve an issue but in our opinion there are
25 constructs that we can provide to solve the issue of both

1 cost subsidization and the impact of comparative markets
2 construct.

3 The aspect of the specific question that Ed
4 raised -- I want to make sure that the existing foundation,
5 if I rely on energy storage as a foundation asset how do I
6 make sure it is there? It is no different from any other
7 transmission asset that you built and you know you
8 incorporate that as part of the planning process, that's
9 part of the M minus 1, minus 2 then this becomes your M
10 minus 1 scenario.

11 So the moment you classify this is a transmission
12 asset it becomes the closest to the planning process of
13 seeing what happens if the design is out and you have the
14 same thing that you do with everything else. I think it
15 incorporates a different element of the planning process but
16 that doesn't mean that should be the only reason you stay
17 out of it.

18 UNIDENTIFIED SPEAKER: But you are already a
19 contingency.

20 MR. NIELSEN: Kiran?

21 MR. KUMORASWAMY: Yes I will be pretty brief. I
22 completely agree with Raja that's the same perspective that
23 we have at AES. I mean we came into the space long ago, 9
24 years ago, we have several assets that we operate globally
25 and we have a level of the confidence that these are

1 extremely reliable assets right and to the extent that they
2 are pretty close to the availability factors that you
3 actually see on the transmission system.

4 And I want to quote what Raja said which is that,
5 "There's a learning process that you will go through in
6 terms of integrating this into the planning process, but you
7 have to make an entry point somewhere," right -- I think as
8 we see the traditional transmission planning processes that
9 only consider traditional solutions for fixing every
10 terminal overload issue -- we see that as a great
11 opportunity for us to use storage to solve it in smarter
12 ways given that the technology is mature.

13 And given that we are living in a period of
14 uncertainty with respect to many factors that influence it.
15 And so that's a great opportunity that we have and I also
16 want on Ed's comment which is very true that it is great
17 that this discussion is actually getting to that point where
18 we are talking about operations right?

19 In that type of a mold I do agree with Ed that
20 you have to have the storage unit completely charged up and
21 its capabilities for it to provide that post-contingency
22 relief right and so it is an important aspect, I think
23 that's part of like designing the system for providing that
24 application. And if you are able to do that the significant
25 benefits that the system realize because of doing that,

1 because again the way we operate the system is based on
2 those deterministic contingency events.

3 Regardless of how often those contingencies
4 really happen in the system -- we posture ourselves -- those
5 contingencies really happen. We never go back and look at
6 if those contingencies happened at all in the last 10 years
7 or 20 years and so the point that we are trying to make here
8 together -- offers here is that you can leave the
9 technological advances in the storage space for you to get
10 to a point where you derive more efficiencies the way we
11 operate the grid today.

12 MS. NIELSEN: Okay thank you very much. Anyone
13 on staff have any questions -- no. Well thank you all very
14 much for the discussion today it was very helpful. We will
15 break now for lunch. We are running a little behind but I
16 think we will be able to catch up later this afternoon so
17 let's plan on reconvening at 1:00, thank you.

18 (Whereupon a lunch break was taken to reconvene
19 this same day at 1:00 p.m.)

20 A F T E R N O O N S E S S I O N

21 MR. AMERKHAIL: Alright folks we are going to
22 need to get started pretty soon so if I could ask the
23 panelists to start moving toward their chairs please thank
24 you.

25 Alright I think we would like to begin with our

1 second panel now please. And again we would ask that
2 everyone turn off their phones or set them to airplane mode
3 to avoid interference with the sound system. Also there is
4 an overflow room in Hearing Room 3 on the other side of the
5 elevators if anyone needs that.

6 So the purpose of this panel will be to explore
7 potential models to enable an electric storage resource to
8 provide grid support services under rates other than
9 transmission rates. We hope to hear about existing
10 processes that might already be considering resources such
11 as storage devices for this type of non-transmission cost
12 recovery, such as transmission planning processes that
13 consider non-transmission alternatives but then feed the
14 resulting projects into local resource adequacy or other
15 processes for cost recovery.

16 We also hope to hear about processes that may not
17 have been used this way in the past such as reliability must
18 run contracts otherwise known as RMR contracts and black
19 start procurement processes where stakeholders could perhaps
20 consider expanding the process to permit competition from
21 new resources like storage devices.

22 But let's start with the non-wires -- with how
23 non-wires alternatives are considered or better yet may
24 already have been considered in transmission planning and
25 what happens or happen next. Neil I understand that Caiso's

1 transmission planning process has some experience with this
2 so could you talk about that for the benefit of the panel?
3 Thank you.

4 MR. MILLAR: Thank you I would be pleased to.
5 Yes in the ISO transmission planning process we look both
6 for opportunities for transmission alternatives as well as
7 identifying the requirements that we would have that could
8 perhaps be met by either non-conventional, non-transmission
9 alternatives.

10 Our best example of this actually goes back to
11 the loss of the 3.06 for nuclear generating station where in
12 order to allow the continued retirement of a number of
13 gas-fired generators on the coast as well and not be
14 impacted by the loss of generation. We ended up looking at
15 an integrated solution that drew on some conventional
16 resources, some preferred resources including storage as
17 well as some local transmission upgrades.

18 If we hadn't had the first two the transmission
19 operates would have had to have been far larger, far more
20 serious upgrades than those that we were able to move
21 forward with. Now the resources that have been procured --
22 that's taken place through the state's capacity procurement
23 mechanisms and through bilateral contracts with the
24 utilities with the resources themselves.

25 And that's worked -- putting it bluntly both for

1 conventional as well as these preferred resources both
2 batteries, energy efficiency programs and other types of
3 products -- so we see by the end of the year we should have
4 close to between 2 and 300 megawatts of battery storage
5 connected to the system, largely as part of those programs.

6 There's also a state mandated program that is
7 broader calling for battery storage to be developed inside
8 the state. These local programs count towards those broader
9 programs so they are not instead of -- they layer in under
10 part of that procurement.

11 On the other hand over the last 4 or 5 years we
12 have studied 17 different battery storage proposals that
13 were made to us as transmission assets. Those tended not to
14 be successful, either due to a combination of the cost or
15 the necessary characteristics, the requirements that we had
16 to impose on those devices, they simply didn't measure up to
17 meet the needs we had.

18 We have two more to look at in this planning
19 cycle so that's a continuing evolution but we certainly had
20 far more success through the capacity procurement framework
21 than looking at potential battery storage projects as
22 transmission assets.

23 We have considered the RMR type model but that
24 for us has normally worked more where we are retaining some
25 requirement out of an existing resource as opposed to a

1 mechanism to get new capability actually developed and
2 built. So those are sort of the key points we have been
3 looking at.

4 So I have to admit we have actually been both
5 appreciative of the flexibility we do have, to look at
6 products as transmission products in those narrow cases
7 where the requirements would really require us to lock down
8 what the unit is doing but also to rely on the capacity
9 procurement framework where we have resources and a basket
10 of resources that we can be more open to letting the market
11 run with the resources and only step in and dispatch outside
12 of market when we absolutely have to.

13 So that's been minimizing the impact on the
14 market but still allowing these resources to move forward.

15 MR. AMERKHAIL: Thank you Neil. Follow-up I
16 assume you may have seen the prior panel and there is
17 discussion at the end of the fact that in planning you would
18 look at the M minus 1 contingency, whatever reliability
19 issue you were trying to address and that you would put
20 appropriate limitations on the resource.

21 And it sounds like that's exactly what you must
22 have done in your planning process with the transmission
23 battery proposals. Could you talk about what kind of
24 limitations those were?

25 MR. MILLAR: Actually it's close to that but we

1 actually started the other way around. The first thing we
2 did a few years ago was to develop basically what we saw as
3 being the generic characteristics that these resources would
4 have to provide and we really identified the three factors
5 of how much notice do they have to get dispatched, how many
6 times a year would we realistically expect to call on them.

7 And when we do call on them what's the duration?
8 How many hours of output do we require? And we put out some
9 generic information that would generally meet our needs just
10 as guidance and then in the transmission planning process
11 when we have a particular need we will sharpen our pencils a
12 bit and try to provide a bit better picture of what is
13 required in that area.

14 That also happened in the other procurement that
15 I was talking about with the loss of the -- generation. We
16 provided more detailed characteristics to the utility to use
17 as part of their procurement decisions and that material was
18 then debated through regulatory processes approving their
19 contracts.

20 So we tried to provide the rough characteristics
21 in advance so that people can propose projects into our
22 processes that meet the needs.

23 MR .AMERKHAIL: Thank you, would anyone else like
24 to comment on either their experiences as a developer in a
25 process like that if you have any or on things from your own

1 RTO -- John?

2 MR. FERNANDES: Thank you and good afternoon,
3 John Fernandes from RES Americas. I think generally
4 speaking most of your ISO's RTO's right now have an open
5 mindedness towards storage as a non-transmission
6 alternative. I think though that there might be -- not
7 everyone might be far enough along to really do the complex
8 modeling that is needed to optimize the system, charge,
9 discharge based on what could be extended needs as an
10 operational resource.

11 And that's where we the developers are certainly
12 building those capabilities quite quickly so I think there
13 is possibly a little bit of a disconnect between -- sure we
14 are willing to take a look and yes we will actually deploy
15 this for those purposes, treat it as a transmission asset,
16 give the appropriate kind of rate recovery and until the
17 development community has some level of certainty that there
18 is at least some likelihood that non-transmission
19 alternatives will be selected it is hard for us to justify
20 spending the time, the resources, the effort to really put
21 together viable projects -- so more certainty would be
22 helpful there.

23 MR. AMERKHAIL: Thank you, does anyone else have
24 anything or anyone from staff on this topic? Well again I
25 guess we should move on to existing processes that may be

1 leveraged. Let's talk about RMRs. The way I look at them
2 they are generally executed in order to support the grid in
3 some way yet their cost as far as I know are not recovered
4 in transmission rates -- Eric can you confirm that?

5 MR. HSIA: This is Eric Hsia from PJM, confirmed.

6 MR. AMERKHAIL: Okay would you say that they are
7 recovered more locally generally than transmission rates?

8 MR. HSIA: Yeah so this is Eric Hsia from PJM --
9 so the current allocation for our market at least at PJM
10 there's a cost recovery, cost of service, it is allocated to
11 the network load customer, to the zone or zones to actually
12 -- eventually it will pay for the transmission upgrade as
13 that is how it is currently being allocated within PJM.

14 MR. AMERKHAIL: Okay thank you. Do either of the
15 other RTOs have anything to add on that?

16 MR. DESOCIO: This is Mike DeSocio, from New York
17 ISO. So our filing contemplates very similar cost
18 allocation to those that are benefitting from that asset
19 being retained on the grid.

20 MR. AMERKHAIL: Okay thank you.

21 MR. MILLAR: It's Neil here with the California
22 ISO. Yes, those costs in our system are also recovered from
23 that local transmission area, the same as the local
24 transmission charges would be.

25 MR. AMERKHAIL: Thank you. So in the past when

1 your RTOs or ISOs identify a need like this do you or have
2 you ever opened a competitive process where resources that
3 may be very rapidly deployable could compete with the
4 departing generator or has that just not been an option up
5 until now so it never came up? Do you want to start Eric?

6 MR. HSIA: Sure, at PJM we haven't had the
7 opportunity to open up as a competitive bid for that
8 service. We would look at -- our planning department will
9 look at every option possible, also look at existing
10 transmission upgrade and see when that will be in service
11 and available to essentially alleviate the concern that we
12 have.

13 But at PJM we are certainly not opposed to
14 potentially open that up as a possible option. Certainly we
15 do recognize that there is a lot of benefit from energy
16 storage assuming that they have the capability to provide
17 the service we would certainly consider that as a possible
18 option.

19 MR. AMERKHAIL: Thank you, Mike?

20 MR. DESOCIO: As we contemplated RMRs in New York
21 we really thought about dealing with a short-term need. And
22 as we thought through that you know we really thought that
23 the purpose to deal with that potential it can happen in
24 reliability and retaining an asset that is already there to
25 deal with that gap.

1 And then leverage the markets to really deal with
2 the longer term issue so the planning processes are really
3 designed to typically be focused on that short term issue.
4 We haven't really had that opportunity yet where we have
5 been faced with a situation where storage could participate
6 in an RMR yet.

7 MR. AMERKHAIL: Thank you, Neil?

8 MR. MILLAR: We have had the situation where we
9 saw the need collectively -- I shouldn't say just the ISO
10 but collectively to move on additional storage procurement
11 to help mitigate the impacts of the outage of the Aliso
12 Canyon Gas Storage Field and the CPUC issued additional
13 procurement requirements for the utilities to pick up
14 additional battery storage to be online by year end of this
15 year.

16 So that was probably the most expedited
17 procurement of storage that we have seen and we have been
18 working with the utilities to make sure that's moving
19 forward, properly represented in the market and online by
20 year end. That will be just under 110 megawatts of storage.

21 MR. AMERKHAIL: Thank you. Let's turn to the
22 developers for a minute. I'm sorry Anuj?

23 MR. KAPADIA: So while we are talking about the
24 planning and the operations and I think Eric you said that
25 you did look at other alternatives for planning. Can you

1 explain a little bit more about what are the different
2 planning aspects you guys looked at, how did you model it
3 versus in operations?

4 I think John mentioned that you guys are modeling
5 something with the operations which kind of you can turn it
6 on and turn it off when there is an internal project, can
7 you talk a little bit more about that I guess?

8 MR. FERNANDES: Sure, so as far as the modeling
9 processes that we have been using -- I can just talk about
10 projects that we are actively developing. A lot of them are
11 for utilities for grid services but you are talking about
12 down at distribution -- that's where a lot of these guys are
13 starting. And there are several examples of this around the
14 country.

15 The modeling gets interesting though because the
16 utilities that are coming forward already and deploying
17 these projects are also using the storage for other purposes
18 on the system, grid balancing -- if they are in a market
19 they can realize the value of something like frequency
20 regulation. If it's a vertically integrated non-market
21 utility it is just a lot of cost offsets whether it is
22 peaking energy or the same type of balancing services.

23 And so that's where the modeling starts to get a
24 little interesting because you are looking at what has been
25 historically considered a wires service even if it is at

1 distribution and then your non-wire services. So when I
2 talk about the modeling that's really what I am referring
3 to. A lot of your standard sign PSSE, whatever they may be
4 -- your standard utility software platforms aren't
5 necessarily doing both so that's where we need to start
6 shuffling them together if you will.

7 MR. HSIA: So from a planning ground when they do
8 the study they actually look at more of a reliability
9 concern within the zone so we look at AMI's to contingency
10 voltage issue or thermal issue and see if there are
11 available resources that we can actually dispatch around the
12 control position.

13 So that's part of the kind of planning study
14 process to ensure that we can potentially have an option to
15 control. Now if we don't have that option we don't have an
16 impending transmission upgrade that will be in service we
17 would offer the generator to retiring the RMR contracts to
18 see if they want to continue to generate, to help us with
19 that issue.

20 MR. AMERKHAIL: Okay so returning to the idea
21 that in the past when you are faced with an issue like this
22 it is often because generators made a decision unexpectedly
23 to leave the system and you have to address this temporary
24 reliability concern until you can put in place more
25 permanent solutions.

1 And I would think in the past there was no real
2 option to have anyone compete with the retiring generator so
3 my next question to the developers is just how fast could
4 you move a storage resource from a warehouse or some earlier
5 location to wherever it might be needed on the grid? Load
6 it on the truck put in place many modules that are necessary
7 for the particular concern?

8 Maybe we will start with Jason because you
9 represent the whole range of the industry and you could talk
10 about different technologies perhaps.

11 MR. BURWEN: Sure, thank you and thank you to the
12 staff obviously for putting together this Technical
13 Conference. I appreciate it. In terms of this particular
14 question certainly containerized storage is made in such a
15 way that there is portability to it and certainly we have
16 seen examples of containerized storage being moved from for
17 example New York ISO into PJM.

18 So we know that that redeployment is possible and
19 I think that certainly -- when we think about the timeline
20 of that it comes down to in some respects, the sort of
21 nature of the interconnection not simply just the time it
22 takes to load it on a truck and drive it.

23 But also sort of in line with that idea as
24 referenced certainly by Neil we are seeing very rapid
25 deployments of energy storage as well at this time in part

1 as a response to the Aliso Canyon Reliability issue and this
2 is something that we expect to be a continued capability of
3 the industry and of developers in the tens of megawatts to
4 one hundred megawatt availability and something that
5 certainly we think asks the question of the ability for
6 storage to be a competitive alternative bid for RMRs in the
7 situations where it makes sense to do so.

8 And I can speak obviously a little further about
9 that when you would like us to.

10 MR. AMERKHAIL: Bill or John, do you have any
11 thoughts on this?

12 MR. CAPP: Sure, background -- the last time I
13 appeared here I was representing Beacon Power CEO involved
14 in trying to open the market for storage so I appreciate the
15 opportunity to be here with you again on one of my favorite
16 subjects obviously.

17 But to the subject of portability I agree with
18 what Jason said and that is the interconnection process or
19 other limitations of the equipment quite voltage or whatever
20 may be the longer term issue than just taking a container
21 full of batteries and installing them in one place or
22 another.

23 The largest data system in the world is actually
24 in Japan. It came online early this year, it is 300
25 megawatt hours and it was made up of 20 foot containers, 252

1 20 foot containers that were shipped to the site and we
2 brought it online -- it was about 9 months from the time of
3 the order to the time it was operational.

4 And those systems can easily be you know rigged
5 to another location along with part of the electronics but
6 it is likely that it would be something else besides just
7 that equipment that will be not quite right that might
8 require some adjustment. It is possible to have flexibility
9 built in if you think about that being a goal of this kind
10 of equipment you can imagine there being a lot of portable
11 generators today that are designed in a way so that they can
12 be easily adapted to a location where they get installed.

13 You can order up to 2 megawatt portable generator
14 from Caterpillar and you would probably have it here
15 tomorrow if you wanted it.

16 MR. AMERKHAIL: Thank you John.

17 MR. FERNANDES: Yes I mean just in terms of the
18 timeline you are talking months. We would for an actual
19 plant deployment to meet a need like this you would be
20 talking in terms of months and if there were a way to
21 expedite an interconnection and permitting process, things
22 like that -- if there were a site to interconnect because of
23 the very specific localized need you are talking about even
24 fewer months, so less than a year.

25 MR. AMERKHAIL: So if it is a departing generator

1 obviously and there is already interconnection facilities
2 you are saying it may be faster to just plug into the
3 existing, okay thank you. So then back to the RTOs --
4 months or less fast enough to address the interim need that
5 comes up in a situation like this -- do you want to start
6 Neil?

7 MR. MILLAR: I didn't think there would be a race
8 for the microphone on that one. The -- I think the bottom
9 line is it depends on the various specific circumstances and
10 especially the voltage level of the interconnection. If we
11 are talking a smaller battery storage project connected to
12 the sub-transmission the ability to interconnect that
13 project more quickly is higher.

14 Once you start looking at a much larger
15 installation and especially if you are in an area that by
16 definition must already be having some issues or else we
17 wouldn't be expediting the procurement. Just getting
18 through the technical work to be convinced that the unit can
19 be safely, reliably connected -- it is not going to
20 interfere with any of the other operations in the area and
21 also that there is adequate opportunity to charge the
22 battery, that's actually part of our standard
23 interconnection process for batteries is to study them as a
24 generator but also to test that there is some reasonable
25 opportunity for charging.

1 And especially if it is a larger facility then it
2 is necessary to get it properly reflected in a market model
3 and EMS systems, so that also can add some time. So months
4 is very tight -- we were able to move in about a 9 month
5 period for some generators -- some storage projects coming
6 on by the end of this year but that was working in parallel
7 with the design teams working on sites that they had
8 previously identified as potentially good interconnection
9 sites, developing the models for how the control systems
10 would work on the batteries themselves, getting those models
11 to us so that we can probably study the implications.

12 So cutting it down to a couple of months I would
13 say that might work for smaller projects but if you are
14 looking at the larger transmission system, high voltage
15 grid, and especially in an area that has something that is
16 challenging already or you wouldn't be dependent on the
17 resource. A few months is pretty optimistic to get through
18 that to make sure that you are not doing something that is
19 going to promote or deteriorate their liability in the area.

20 MR. AMERKHAIL: Okay thank you.

21 MR. HERBERT: Neil and potentially Eric and
22 Michael as well -- can you give us a sense of sort of the
23 time frame of the retirement process for generators? Like
24 when they submit that request, when the RTO or ISO
25 determines you know whether or not they are going to need to

1 stay online and at what point in that process you could sort
2 of say you know how many months before that retirement do
3 you determine whether some sort of RMR arrangement is
4 necessary?

5 MR. HSIA: Right so at PJM if the resource is a
6 capacity resource they are required to notify us three years
7 in advance so into account from a BRA but if you are not a
8 capacity resource typically it is a 90 day notification and
9 PJM has 10 days to respond to the request -- I should say 30
10 days.

11 MR. AMERKHAIL: Sorry repeating -- to state the
12 obvious for a capacity resource in PJM at least with a three
13 year notice requirement there might be plenty of time to
14 look at alternatives and obviously for a non-capacity
15 resource it might be a lot tougher although at the lower
16 voltage level it is not impossible. Does anyone disagree
17 with that? Okay.

18 MR. HERBERT: I guess is that similar in
19 California and New York?

20 MR. MILLAR: I think -- I shouldn't be quoting
21 this from memory but I believe it is 60-day notice if it is
22 not a unit that has any other strings attached. One thing
23 we have been trying to do though is looking at out of that
24 concern for what our exposure is to any -- we think we
25 understand our exposure to any single generator around what

1 the implications are.

2 So when those notices come in it is pretty
3 straight-forward that we have already considered the
4 implications. One thing we are starting to look out now --
5 I'm actually starting in this year's transmission planning
6 cycle, is looking more for where we have clusters of
7 generators that are similarly situated both in terms of age,
8 technology, the economic pressures they are facing and
9 starting to do more study in advance about what if two or
10 three of those units all come to the same conclusion or
11 their owners all come to the same conclusion at the same
12 time.

13 So that to us has been the larger risk. Most of
14 the retirements we have been dealing with that were in a
15 reliability challenged area were the ones through cooling
16 generation along the coast and for those we generally have
17 years of notice. The plans have been developed in advance
18 and we were working towards a measured plan for those.

19 MR. DESOCIO: So in New York we are looking for
20 about a year notification and then from there we give
21 ourselves about 90 days to complete any studies for need and
22 then from there we are really working through contracts and
23 things like that.

24 MR. AMERKHAIL: Thank you so I would like to
25 explore the customer side of this issue. We heard a little

1 on the last panel from one of the panelists that RMR
2 contracts are frequently controversial. Charlie -- am I
3 right that some of the members of your association
4 cooperatives are located in RTOs and maybe assigned RMR
5 costs at times?

6 MR. BAYLESS: We have six members out of 26
7 members that operate in PJM in the northeast corner of North
8 Carolina and yeah depending on where the retirement of the
9 plant is they could conceivably be charged RMR costs.

10 MR. AMERKHAIL: Okay so my impression of part of
11 the reason why RMR contracts -- I mean to me the need makes
12 sense. Transmission planners don't have guide-like access
13 to perfect information so there are always going to be
14 interim issues that come up that they weren't ready for but
15 part of what makes people dislike RMR contracts is it feels
16 like the generator should be in the market instead of
17 getting you know -- it shouldn't have the choice of cost
18 recovery and some other fashion.

19 So I am wondering from a customer perspective
20 would you -- do you think people would be more accepting of
21 an RMR contract if it resulted from a competitive process?
22 Even if it ends up being the same departing generator at the
23 end of the day they had to bid against somebody else who
24 could be deployed in the timeframe needed so the customer
25 would at least know it is the cheapest cost alternative?

1 MR. BAYLESS: Yeah I think that's -- one of the
2 things that we are looking for is a competitive process. I
3 mean we want to make sure that reliability is maintained,
4 the best technical solution is maintained, but to do it at
5 the lowest and most efficient cost. You know looking at all
6 the variables, if energy storage meets that cost at the
7 lowest methodology then you know that's fine if we go with
8 energy storage but if some other technology can meet the
9 same solution at a lower cost then you know we would favor
10 that.

11 It just is the lowest cost for customers and it
12 still maintains reliability on the grid. The technical
13 aspects of whatever solution you are looking for.

14 MR. AMERKHAIL: Absolutely and I assume there
15 could be other resources that could be deployed in the
16 timeframe needed?

17 MR. BAYLESS: Yes.

18 MR. AMERKHAIL: Jason do you have follow-up?

19 MR. BURWEN: Sure I just wanted to also raise a
20 sort of related note and when we start talking about the
21 cost of RMRs and what alternatives might look like. What
22 are we comparing also is I think an important conversation.
23 Certainly you know we see RMR contracts as sort of managing
24 around market inefficiency for unit retirements and there is
25 not therefore, any sort of demand signal or compensation for

1 flexibility.

2 There is certainly one thing that I think should
3 be borne in mind with this but to that end what does that
4 signal? Is it the cost of the RMR contract, recognizing
5 that there are also transmission upgrades that have to occur
6 after that unit effectively finishes its contract and so
7 when we think about what the value is here, particularly if
8 that storage unit can be managing for an extended period of
9 time -- then I think it raises the question of are we
10 talking about just storage versus the short-run cost of an
11 RMR contract or storage versus the short-term costs of an
12 RMR contract and transmission upgrades that follow if it is
13 able to stay in service and provide the reliability
14 functions it needs to.

15 MR. CAPP: I guess I would be a little bit
16 concerned about the competitive nature of that if you are
17 essentially providing additional payment to the generator to
18 make the economics extend a little bit longer. I mean the
19 classic one is an old generator in a load pocket and you are
20 just trying to get voltage control.

21 You try to find an energy storage equivalent that
22 could show up in what could be a congested area and go
23 through all the process of the design and the
24 interconnection to make that an equivalent -- there's a lot
25 of additional costs that would come along with that,

1 although I favor the idea conceptually I just think I might
2 be a little bit skeptical that it could work in many
3 occasions.

4 MR. AMERKHAIL: Thank you, Mike?

5 MR. DESOCIO: So there's a couple of things in
6 New York that might be a little bit different than other
7 places and I am not really familiar with the other areas but
8 in New York when New York is doing its' planning -- its
9 comprehensive planning process, it really is going through a
10 reliability needs assessment every two years. And in doing
11 that it is looking to determine whether or not there are
12 good needs. And from that determination we are really
13 looking for market-based solutions to help meet those needs.

14 We will look to the que to see if the project is
15 already in the que that could solve the need and if not
16 solicit other projects. To the extent that we don't find
17 the project that could meet the need then there is a
18 back-stop where the transmission owner can participate and
19 deal with the reliability needs themselves.

20 If we then move to the RMR, the RMR is really
21 focused on -- we have a generator or a resource on the grid
22 and it has told us, "Hey I am going to retire, I'm not
23 making a go of this anymore," and then we go through a
24 process of looking at whether or not we have reliability
25 needs after that retirement happens and if show should the

1 contract for that generator stay on until we can solve those
2 needs.

3 Making this a competitive process I think extends
4 the timeframe for the notice because it is going to take us
5 longer to go through all the projects to figure out
6 viability and sufficiency and whether or not we can deal
7 with all of those things. Not a bad idea it will add time
8 to those processes.

9 MR. AMERKHAIL: Thank you. Does anyone have
10 anything to add? Okay -- well let's just ask then assuming
11 people explored opening up competition in this particular
12 product would developers find it to be an attractive
13 opportunity to compete, John?

14 MR. FERNANDES: Yes absolutely. I mean we always
15 welcome solicitation processes like that. We welcome the
16 chance to compete. I think before -- especially for energy
17 storage before we even get to that point though and I'm
18 pretty sure this came up on the first panel -- I'm sorry I
19 missed it, it was a busy day for renewable energy guys this
20 morning.

21 There needs to be an examination of storage
22 resources being able to capture value across all spectrums
23 in which it can provide a service. And so I wouldn't be
24 necessarily looking to come in with a storage plan and just
25 collect revenue or a value stream for this one offset of an

1 RMR. I might also want to participate in the real-time
2 market at certain times. We still need to discuss how
3 exactly would this be a cost of service type arrangement --
4 transmission rates and so I think -- I think there needs to
5 be just -- I'm debating whether it is a general
6 understanding or a specific agreement that storage needs to
7 be able to cross asset classes that allows us to make it
8 affordable, make it economical and make it just a more
9 efficient resource than a lot of the alternatives that are
10 currently either being put in place or just started like
11 RMRs.

12 MR. AMERKHAIL: Thank you, I believe Jason is
13 next.

14 MR. BURWEN: Thank you, on that point I think
15 that in terms of the interest in these kinds of potential
16 competition procurement here certainly one of the problems
17 we face right now is that RMR arrangements aren't really
18 necessarily executed in a transparent manner. They are
19 almost obviously never bid out but they are also not
20 necessarily -- I mean I'm glad to hear Cal ISO's are sort of
21 looking ahead at these generation clusters and starting to
22 take this into account that they are generally not
23 considered a part of transmission planning in terms of
24 thinking ahead where those unit retirements may be showing
25 up in a way that accounts for the cost of RMRs in these

1 processes.

2 But in recognizing that there are reasons for
3 that I think that the point I would make is that a
4 competitive process is of interest if we 1 -- can agree on a
5 manner in which it is able to happen expeditiously but also
6 2 -- that certainly as my colleague at RES says, we should
7 be looking at this as a manner that is in fact adding value
8 by reducing the cost of this particular solutions to the
9 system.

10 We know that in CAISO RMR specification in the
11 tariff rule says that condition 1 units can enter into
12 market transactions for energy in the ancillary services as
13 long as they don't impair their ability to meet the
14 reliability needs and that those revenues offset their CAISO
15 cost recovery.

16 In PJM the generator that chooses to operate
17 under a deactivation of voidable cost credit can operate in
18 the PJM markets with those revenues subtracted from the
19 credit. So we know that model is there and I think it is
20 just a matter of insuring that we are looking at that when
21 we talk about the kind of value that these kinds of storage
22 adds an alternative competitive bid can offer.

23 MR. AMERKHAIL: Thank you Jason. How about Neil
24 and then Charlie after that?

25 MR. MILLAR: Thank you. I probably should have

1 jumped in earlier but I just wanted to add that we are down
2 to one generator left in the ISO under RMR agreement. We
3 also have a synchronous condenser -- generators converted to
4 synchronous condensers but that is a short term running
5 another year.

6 But I think the point about running a competition
7 for a short-term interim solution our preference has been to
8 focus the efforts on the long-term solution as opposed to
9 getting caught up in the huge amount of redesign and system
10 reconfiguration on an interim basis. And when you are
11 looking at the competitiveness of this we are talking about
12 some very old units looking at imminent retirement,
13 maintenance is running down quite low.

14 So it is going to be very difficult for any new
15 resource to compete with something that is already
16 essentially heavily depreciated. So we haven't seen a huge
17 value in that. If the opportunity arises we are not going
18 to foreclose it but I think we have to be realistic about
19 what a new resource would actually be competing against on
20 an interim basis.

21 If you only need 6 more months out of one of
22 these older units I just think we need to be realistic about
23 expectations.

24 MR. AMERKHAIL: Thank you, Charlie?

25 MR. BAYLESS: I'll agree with what was just said

1 about looking at the long-term planning and making sure that
2 things are planned correctly. As far as North Carolina we
3 have actually got two pilot projects going on right now.
4 One which was put in service in Ocracoke Island this past
5 summer -- it's a 1 megawatt battery and you know it is a
6 demonstration. We are trying to figure out how to use it
7 now.

8 We are looking at balancing and frequency,
9 reliability, peak shaving the whole range of things to try
10 to figure out how best to use this battery in a solar
11 facility micro-grid out in Ocracoke Island. But you know --
12 to the extent one of these pops up in the PJM market, NCMC
13 would be you know thinking about an opportunity to sell
14 ancillary services or you know things like that into the
15 market.

16 So you know it is conceivable that we would --
17 some of the load would actually be competing in these to the
18 extent that we have micro-grids.

19 MR. AMERKHAIL: Thank you, John?

20 MR. FERNANDES: Yes, thank you John Fernandes
21 from RES. Just one point of follow-up -- my answer doesn't
22 change based on well this is going to be more of a long-term
23 needs assessment as opposed to just a short-term. We need a
24 quick fix. In fact from an investment standpoint it is much
25 easier for me to justify and finance a project if I have a

1 long-term outlook and especially with storage.

2 I mean this is what we are doing -- at least on
3 distribution with customers right now. We are not just
4 deploying the storage resource to address a need for the
5 next two or three years. Jason already referenced the
6 long-term transmission upgrades that might be required. I
7 wouldn't be looking to offset those needs for an extended
8 period of time as well. That's -- and granted that might
9 make it a little more challenging to say we need to deploy
10 this thing in a few weeks -- it is going to extend the
11 modeling and studies and things of that nature but my answer
12 stands.

13 Yes we would want to compete, we would want to
14 address both that short-term reliability need and any
15 long-term infrastructure that could be off-set with this.
16 And all at cost -- I just want to make sure we are also
17 clear on that. We were looking to compete at cost with all
18 the other resources being considered, we are not looking to
19 shoulder rate-payers with a neat little experiment here.

20 We are justifying this in front of regulators
21 everywhere.

22 MR. AMERKHAIL: Thank you. Alright I think we
23 have beaten that horse enough. Are there any other
24 potential processes we could look at such as black start
25 procurement or anything else you can think of that might be

1 open to competition from new resources including electric
2 storage resources? I'll start with you Mike.

3 MR. DESOCIO: So in New York storage resources
4 can participate and compete in 90% of the markets. Black
5 start being one of the exceptions but filter support
6 service, storage can participate in that market -- it can be
7 an energy provider if they are energy limited they can be an
8 ancillary service provider, both terminate and 30 minute
9 reserves.

10 They can provide regulation. To the extent they
11 can produce a megawatt of output for at least 4 consecutive
12 hours they can be a capacity provider. If the resource
13 doesn't have that long a duration and can only discharge for
14 less than an hour they can be a regulation provider as a
15 limited energy storage resource.

16 In one of the areas that I think you know we need
17 to think -- we are considering how to expand is when the
18 grid is evolving and we are adding more intermittent
19 resources, more variable resources to the grid you know we
20 think about what other grid services may be necessary for
21 the capacity market to deal with.

22 And so in markets or areas where you have got
23 large men-gen issues, having a dispatchable negative load is
24 very helpful to a grid operator. We have used pump storage
25 in that manner for decades and it is a tool that grid

1 operators just love to have. That said, I think this is a
2 regional issue and it depends on what that mix is in that
3 region to determine whether or not there is value for having
4 that extra service.

5 And so I think there are opportunities. I think
6 we need to let the regions kind of move in that direction as
7 their grid is evolving. I know New York is thinking about
8 these things because of public policy goals that New York
9 has which are probably different than issues in other parts
10 of the country.

11 And so I think if we try to deal with this
12 through you know a regulatory process that says one size
13 fits all, you get a little bit worried about that. I think
14 there is a lot of good dialogue happening in the
15 marketplace. Let's continue that dialogue and work through
16 where it makes sense to add these products, whether it be
17 fast ramping or new capacity type of product.

18 MR. AMERKHAIL: Thank you, Eric?

19 MR. HSIA: So the PJM is very similar to New
20 York. Currently I think the first panel offered that we
21 have a 300 megawatt for storage installed at PJM mostly
22 participating in the regulation market right now. We have
23 had a storage device respond to a black start peak issue.

24 Certainly so they are looking at those different
25 options. For us for black start we require 16 hour minimum

1 run time so again with battery storage type devices, if you
2 give them the sector you need, certainly they can deal with
3 it. But the thing you need to look at is the cost. So and
4 we have other opportunities within the market.

5 Our market role is very neutral to all asset
6 types so again if it could run for 5 hours it could compete
7 or participate in a capacity market. All of our ancillary
8 service markets have no restrictions to storage type
9 devices. So I do agree with what Mike said, I think we all
10 agree that there is a lot of benefit with storage. They do
11 offer great services, it's quick -- it's really let the
12 marketplace tell us where is the best to utilize storage
13 type devices as their technology continues to advance as
14 well I think there are other opportunities for them within
15 the marketplace.

16 MR. AMERKHAIL: Thank you, Neil?

17 MR. MILLAR: I'll just add in I really agree with
18 what we have just heard. And that's one of the reasons
19 actually that we believe the first choice should always be
20 to have these devices unconstrained in the market as opposed
21 to being locked down through transmission asset models.

22 I think the only thing I would raise though is
23 that we are probably skeptical about battery storage as a
24 viable black start source because we have had experiences
25 where we have to look at how much volt current the battery

1 storage can produce when you are starting up systems because
2 the rest of the transmission system is counting on adequate
3 volt trend to be able to tell the difference between running
4 load versus if there has been a fault on the system.

5 And without enough fault current the protection
6 challenges really climb. So that is something that a
7 conventional resource provides as a matter of course that
8 might be a challenge for storage.

9 MR. AMERKHAIL: Thank you. I'll open it up oh
10 I'm sorry Bill?

11 MR. CAPP: I think we are all looking at
12 applications where storage makes sense and provides a
13 compelling value. And one of those I would want to
14 reinforce -- obviously it's one that the Commission has
15 expressed some concern about in the past and that's
16 frequency response in the sense that it is diminishing and
17 every time a cold unit comes off line you have less inertia
18 and you are going to need more frequency response.

19 To me it is an ideal application for storage
20 because it is much more economical than providing it from
21 generation. It takes a longer answer to fill that one in
22 but it is certainly true and because as you improve
23 frequency response you can reduce ancillary services. It
24 funds itself in a very attractive way.

25 Because there is no market for frequency response

1 today, there is no -- by cross subsidization -- even though
2 you may be reducing a market for frequency regulation in the
3 organized markets, it is not a direct competitor. It is
4 just influencing the total size of that market which we can
5 expect to go up over time as more renewables get deployed
6 anyway.

7 And with a slight change in power electronics you
8 can provide voltage control and frequency response with the
9 same asset again looking at multiple uses. So I think it
10 really hits a lot of the checkboxes in terms of things that
11 would be of interest.

12 MR. AMERKHAIL: Thank you Bill. Does anyone else
13 -- I'm sorry?

14 MR. BURWEN: Just a quick follow on in terms of
15 taking a step back here. You know I think that when we
16 think about what we are talking about here and what we are
17 trying to accomplish it's an idea that we have an asset --
18 like there is a concern that storage be locked down as a
19 transmission service being desired to be avoided.

20 You know you are going to have an RMR, you are
21 going to have something that is going to fill that gap
22 anyway and you are going to be spending on keeping a
23 generator in service or you can spend it on something else.
24 And maybe you can spend it on something else that has
25 avoidable cost to load, particularly again as we have talked

1 about if there is a sense to which you can defer or even
2 avoid a transmission upgrade for a significant period of
3 time.

4 If you are just thinking about a six month gap, I
5 think that it is a different conversation and there might be
6 business models that arise in the future but fundamentally
7 if we are talking about flexibility of the system,
8 particularly with exit of units on short-term basis, we are
9 trying to provide a way of seeing that this is an
10 opportunity to enable that and that through the multiple
11 uses of that technology the locks down as a transmission
12 service I think is less concerning at least from a cost
13 standpoint.

14 I am totally agreed that markets for storage are
15 good things and what we should be focused on but we know
16 these RMRs are going to continue to get done and they are
17 not going to go away necessarily so we are looking for some
18 way to insure that we can help with market efficiency in
19 some manner.

20 MR. AMERKHAIL: Thank you. Are there any other
21 questions from staff? Michael?

22 MR. HERBERT: It's kind of a two-part question I
23 guess. The first part for the ISOs and then probably for
24 the developers as well -- so for the -- I guess from a
25 planning perspective for these RMR contracts, short-term

1 contract is there anything that might prohibit a storage
2 resource that is procured just from or for just being online
3 for 6 months, a year or two years to provide that specific
4 service that is needed to fulfill whatever the RMR contract
5 would be procuring?

6 Is there anything that I guess would stop that
7 resource from just staying online and being a full-scale
8 market participant after that? And then I guess also from
9 sort of the developer's perspective would that be a model
10 that you guys would be interested in, sort of agreeing to a
11 very limited set of services for you know "X" amount of time
12 but then just being allowed to kind of remain on the system
13 where you are at and being able to be a market participant
14 after that and relying on those revenue streams afterwards?

15 MR. HSIA: So currently we don't have a lot of
16 RMR, I think we have one RMR contract remaining. I think it
17 is getting down to almost a termination date. But as far as
18 resources currently they do participate in order market
19 services so they do capacity into services, assuming that
20 they can provide it.

21 So I think to your question if it is a short-term
22 RMR asset and they are already competing and participating
23 in other market services, certainly there is no reason why
24 they can't stay on and continue to be an integrated
25 generation asset, continue to participate in those purposes.

1 But as far as the RMR payment obviously that will go away
2 once the term is ended, but certainly that is an option they
3 could stay on and continue to participate in the markets.

4 MR. FERNANDES: So I'm a developer so obviously I
5 like long-term contracts, we will just state the obvious
6 first. Conceptually no, I don't think I am opposed to what
7 you just put forward. A short-term contract of a guaranteed
8 revenue and then I can operate under more market-type
9 structures after that -- the only thing that gives me pause
10 when it comes to storage and all of these guys sitting at
11 the table are making a lot of progress but all the market
12 structures are not necessarily in place for me to be able to
13 fully leverage the capabilities of storage to capture
14 revenues from multiple different market services.

15 You still have constructs that require double
16 digit hours of service to get a capacity or a reliability
17 value on. There's very limited intra-hour flexibility to
18 move from one market service to another and so those are all
19 being addressed by this Commission which is outstanding. It
20 is all steps in the right direction.

21 So again not a problem -- there's just other
22 changes that need to take place first.

23 MR. DESOCIO: I think back to your question about
24 any issues with starting with a short-term contract and then
25 releasing the resource to go participate in the market -- I

1 think you know as we thought about the structure of the
2 contracts we expect that any revenues made after we have
3 paid for the asset get refunded back to the load, to the
4 customers that bought the resource.

5 So I don't know how we would come up with a
6 contract to deal with that kind of paradigm we would have to
7 rethink how our RMR contracts are structured.

8 MR. MILLAR: I was just going to add that one of
9 the issues for us would be well how much of the capital cost
10 of the battery is being paid off in that interim period. Is
11 the expectation that we are largely covering it or not -- I
12 think also pragmatically once you have actually built a
13 solution that's working I wouldn't be optimistic about our
14 chances of getting a permit to build the transmission line
15 to replace the functioning asset that is already working.

16 Once a need has been addressed, I think we would
17 be starting to think that's going to be a long-term
18 solution.

19 MR. FERNANDES: Exactly.

20 MR. AMERKHAIL: Okay well I think we have
21 exhausted our topic for now. Of course you are free to file
22 post conference written comments and I think we will donate
23 the rest of our time to the last panel. Thank you panelists
24 and we will take a short break. Let's reconvene at let's
25 say 5 after 1. I'm sorry -- 5 after 2.

1 (Whereupon a brief recess was taken to reconvene at 2:05
2 p.m.)

3 MR. HERBERT: Alright good afternoon everyone,
4 welcome back. So let's go ahead and start Panel 3. As
5 always housekeeping stuff first -- turn your cell phones
6 off, turn your mic on when you want to speak, turn it off
7 when you are not speaking and raise your little tent card if
8 you have something to say.

9 So for Panel 3 the purpose is to discuss any
10 practical considerations for electric storage resources
11 providing multiple services at once. Multiple entities are
12 the same entity and particularly for our interest if one or
13 more of those services are wholesale electric services into
14 the RTO and ISO markets and others are retail and/or end use
15 services.

16 So on this panel we hope to delve into exactly
17 what services can be provided simultaneously, whether they
18 can be provided by the same electric storage capacity or
19 different portions of the total electric storage resource
20 capacity and what the technical limitations may apply in
21 those situations. So we will kind of start broadly and then
22 kind of hone in on some specifics.

23 So the first question is what if any services can
24 be provided simultaneously from the same storage capacity.
25 We can start go ahead, you win.

1 MR. NELSON: Thank you, first thank you very much
2 for having me here today. It's Jeff Nelson from Southern
3 California Edison. We see as the grids evolving and
4 technology is changing much more potential and multiple use
5 applications for distributed storage as well as other
6 distributed resources.

7 We have been doing a whole slew of
8 experimentation and actual infield implementation. We have
9 got about 500 megawatts worth of contracts signed for
10 storage just within our utility and we have used it in a
11 whole host of applications. Certainly they can provide dual
12 use and I'm glad you defined that because there really is a
13 spectrum of what is meant by dual use or multiple use.

14 But at the retail and wholesale they have both
15 the ability to provide voltage support and reactive power
16 simultaneously and more than that they have the ability to
17 provide things like resource adequacy capacity in the
18 process of providing this and then beyond that at a retail
19 level function such as shaving peak demand off to reduce
20 retain demand charges and possibly energy arbitrage with an
21 even time of use rates.

22 Arbitrage might be a strong word. So further
23 than that they have the ability to provide distribution
24 reliability services such as reducing voltage constraints or
25 overheated constraints and even providing voltage quality --

1 so done properly and simultaneity is an interesting question
2 what you really mean by that -- but then properly they can
3 provide all of those services to a certain grid at once, so
4 that's our view.

5 MR. HEBERT: And that's I mean we will get in to
6 sort of you know the same service -- or different services
7 from the same capacity at different times in the next
8 question but yes this question focused exclusively on things
9 that the resource can do at the same time with the same
10 capacity.

11 MR. NARANG: Hi so my name is Aparna Narang and
12 I'm with Pacific Gas and Electric and I oversee our
13 scheduling coordinator functions at PG&E and so I really
14 just wanted to share kind of our real life experiences
15 associated with our multi-use storage resources in our
16 portfolio.

17 We have two resources right now that I would like
18 to talk about. One is the 1200 megawatt Helm's Pump Storage
19 facility that is in our portfolio and then also they are
20 kind of very different types of technologies here -- we are
21 looking at also the 4 megawatt Yerba Buena battery. It is a
22 sodium sulfur battery.

23 And similar to the earlier comments I do want to
24 recognize that it has been kind of complicated to manage
25 multiple-use storage but the level of complication really

1 varies based on the numerous dimensions associated with each
2 of the storage devices, including the duration of the
3 resource, the services it provides, whether there are
4 multiple users, whether it is on a transmission or
5 distribution system, whether it is predictable amongst
6 others. And I realize we will get into a lot of those
7 topics as part of this panel.

8 So definitely the details really matter. So in
9 regards to Helms so I just really want to talk about
10 specifics here -- so in regards to Helms it is providing
11 energy and ancillary services in the market so it is
12 providing regulation, it is providing spinning and
13 non-spinning reserve in the markets. Though I do want to
14 highlight that in terms of the simultaneous nature of it, it
15 is really the regulation and of course the spinning reserve
16 is the simultaneous nature -- the non-spinning really is not
17 of the simultaneous kind of nature product.

18 I also want to mention that it has the ability to
19 essentially produce or absorb bars when it is generating so
20 that's what I would consider non-market type service that it
21 is providing from a simultaneous use. I recognize we will
22 go into the non-kind of simultaneous uses later but I do
23 want to highlight that it does get exceptionally dispatched
24 for voltage support in the pump use -- so and that means
25 then the other ancillary services really aren't available

1 for market participation.

2 In regards to our Yerba Buena asset which is the
3 4 megawatt battery it has 7 hours of essentially utilization
4 and here it is also providing energy and ancillary services
5 in the market. It is predominantly regulation it has the
6 potential ability to provide also the spinning capacity in
7 there, but from a non-market perspective it provides
8 islanding services, but that is not simultaneous and I will
9 get into those details at a later part of this discussion.

10 MR. HERBERT: Troy?

11 MR. MILLER: I'm Troy Miller, the Director of
12 Grid Solutions for the S&C Electric Company. We manufacture
13 and install integrated energy storage systems, including the
14 aforementioned Yerba Buena Project for PG&E and I would like
15 to talk today in the beginning here about a project that we
16 did for the Village of Minster, it's a public power utility
17 -- small city in the middle of Ohio, 2800 people, probably
18 20 megawatts of peak load there.

19 We have installed a 7 megawatt, 3 megawatt hour
20 energy storage system that is participating in the PJM Reg B
21 frequency regulation market on a daily basis, an hourly
22 basis. And simultaneous with that it is providing voltage
23 support by providing 5 M-bar of reactive power to support
24 the voltage so they were able to basically defer the
25 purchase of large capacitor banks to get their power factor

1 up.

2 The third thing that it is doing there is
3 avoiding coincident peaks, so there is a PPA that exists
4 between our developer partner, Half Moon Ventures and the
5 Village of Minster for a 4 and megawatt portable tech and
6 we were able to modify the PPA to help them to avoid 10 or
7 12 days a year, to avoid these coincident peaks in the PLC,
8 the peak load contribution charge that they might be getting
9 from PJM and AMP.

10 So as far as what can be done simultaneously --
11 it's frequency regulation and voltage support or coincident
12 peak avoidance and voltage support and then also
13 investigating utilizing the asset for islanding one of their
14 larger customers, so that would be the fourth thing, but
15 that would be the only thing.

16 MR. HERBERT: The voltage support and peak
17 shaving is for the municipality?

18 MR. MILLER: So the voltage support is for the
19 municipality correct, yes. And so Half Moon Ventures takes
20 the frequency regulation revenue, the voltage support and
21 the coincident peak avoidance is for the Village of Minster
22 and both of those are wrapped into a PPA standard PPA, the
23 voltage or the portable tech PPA.

24 MR. HERBERT: Ted?

25 MR. KO: Ted Ko, Director of Policy with Stem.

1 We are the country's leading provider of commercial and
2 industrial battery storage. So I think just agreeing with
3 what Troy was just saying my only comment was the
4 simultaneous nature is really just a physics question so
5 these are you know so for our battery systems we are using
6 four quadrant, full four quadrant converters.

7 We don't call them inverters we call them
8 converters because they are four quadrants and so whatever
9 you can physically do with four quadrant behaviors on a
10 converter you can provide simultaneously on a physics basis.

11 In defining different simultaneous services on a
12 kind of physical action basis the finding of simultaneous
13 services on any kind of market basis then it is you know
14 whatever they are physically -- they are physically the same
15 thing alright and you can't do you know one service that
16 causes you to charge and one service that causes you to
17 discharge at the same time which just doesn't make any
18 sense.

19 So that's just the basic physics question and we
20 will get into the other kind of market rules around
21 simultaneous and multi-use which are much more economic and
22 market based than physics based.

23 MR. HERBERT: Okay we'll go to Michael and then
24 we will come back to
25 Sarah.

1 MR. KINTNER-MYER: Good afternoon my name is
2 Michael Kintner-Myer from the Pacific Northwest National
3 Laboratory which is one of the U.S. Department of Energy
4 National Laboratories and we are working on technical as
5 well as economic evaluations of energy storage system and I
6 would like to just offer something technical -- a little bit
7 more finer detailed technical discussion on the
8 simultaneity.

9 The pitfall of it is that we are just adding up
10 too many services at the same time and falling into the pit
11 of double counting. That's the challenge -- double counting
12 and so if you really look at it what can actually physically
13 be delivered simultaneously at the same time without
14 disregard of physics it is both of our control which usually
15 may not really access the DC, the direct current storage
16 medium which is more a phase angle arrangement in the
17 inverter while at the same time providing real power.

18 So those go fairly well together. We also have
19 seen in some of the construct strategies that we are
20 evaluating some simultaneous provision of balancing services
21 and energy however we still have to obey the law of physics
22 and cannot go over the rate of capacity in terms of power as
23 well as in terms of electric energy.

24 But these two can work fairly well together as
25 well. As far as provision of capacity value for adequacy is

1 concerned of the transmission level that too can actually
2 coincident with some more local deferment opportunities in
3 the distribution system. Again if the local peak is
4 simultaneous to the system peak then I think we can deserve
5 -- I think that the machine can deserve to be counted both
6 for deferment of distribution system assets as well as
7 contributing to what system adequacy.

8 So those are -- a few pairs there, the challenge
9 really is how you maximize that value at all times and so
10 this is one of the current state of the research to look at
11 controlled strategies, to look at all of the provisions and
12 then optimize the code of value.

13 MS. VAN CLEVE: Sarah Van Cleve, I manage energy
14 storage policy at Tesla. So I agree with the comments that
15 have been made so far on providing services from storage
16 simultaneously so I wanted to address a different issue --
17 take a step back before we get too into the weaves of these
18 questions.

19 And that's on exactly what we are talking about
20 when we say multi-use storage. For example in the initial
21 notice for this workshop it referred to multi-use storage as
22 storage that is providing transmission functions as well as
23 wholesale market functions and then customer-sided resources
24 that are also providing wholesale market functions but I
25 think it really goes beyond that.

1 So the way I look at multi-use storage it is
2 storage that is providing services across the four
3 traditional buckets of services that can be provided. So
4 those four buckets would be transmission services,
5 distribution services, wholesale market services, or
6 customer located service -- you are providing back-up power
7 or any of the arbitrage et cetera as Jeff said.

8 So any combination of two or more of those
9 services would be a multi-use storage asset and I think it
10 is really important that FERC is addressing this and thank
11 you for doing so because every single one of those
12 combinations with the exception of distribution service,
13 combined with customer service, do fall under your purview
14 so really it is important that FERC help clarify how we can
15 cross these traditional asset classes you know -- of
16 transmission distribution wholesale market and customer
17 located, so I just wanted to put that out there as a high
18 level to help set the rest of the conversation.

19 Thank you again for having me.

20 MR. HERBERT: Yeah I think that's kind of what we
21 had in mind as well. We might not have defined it as
22 clearly in our Notice but it is -- sort of any time those
23 resources providing any services, I mean it could be
24 multiple services to the same entity even -- but I think as
25 all-encompassing as we can be for this conversation would be

1 helpful.

2 So let's move to the next question and so -- oh
3 Lorenzo, I didn't mean to leave you out.

4 MR. KRISTOV: Thanks Michael and thank you all
5 for inviting me to participate in the panel. I think it is
6 excellent that FERC is taking these questions up. I wanted
7 to 1 -- affirm what a number of panelists have said already
8 that there are numerous possibilities for multiple use
9 applications of storage devices.

10 And also pick up on Sarah's sort of expansion of
11 the scope and just mention a little bit about how the ISO is
12 looking at this because several years ago we created the NGR
13 model, non-generator resource specifically thinking about
14 storage. That is a device that sometimes consumes and
15 sometimes produces.

16 And picking up on Commissioner LaFleur's comment
17 this morning that storage doesn't fit nicely into the GET or
18 D-buckets it is a fourth bucket because it is something that
19 consumes sometimes and produces sometimes and does a lot of
20 variations on that.

21 Our sense is that that model is going to become
22 more and more prevalent in the coming years and that notion
23 of consuming sometimes and producing sometimes can also
24 apply to a micro-grid, to a smart building, to an individual
25 end use customer so storage-like resources on the grid we

1 think have the potential to really multiple in their volume
2 and variations and scope.

3 Many of the questions you are asking here will
4 apply even if it is not strictly a battery storage device
5 but it is some combination of things that at its points of
6 interconnection sometimes consumes and sometimes produces.
7 And what that does is it throw into question the old duality
8 between a resource and a load because now all loads can
9 become resources by putting stuff behind the meter and
10 having this storage-like behavior.

11 So I just wanted to frame things out a little
12 broadly that way and say again within that context there are
13 lots of possibilities for multiple use applications.

14 MR. HERBERT: Yeah I think that's right and I
15 think that is consistent with how we have defined storage in
16 sort of the proceedings we have had here at the Commission,
17 basically anything that can receive electricity or inject it
18 back to the grid would be of a storage technology so that is
19 helpful.

20 So the next question is if two or more services
21 can be provided by the same storage capacity at different
22 times what, if any are the technical implications of making
23 simultaneous sales of those services from the same capacity?
24 Manal let's start with you.

25 MS. YAMOUT: Alright good morning everyone. I'm

1 Manal Yamout, Vice President of Policy and Markets with
2 Advanced Microgrid Solutions. AMS specializes in
3 aggregating fleets of behind the meter storage for a variety
4 of services. And what I was hoping to do is actually give
5 another example because I know that you all are very keen on
6 projects that are actually doing this.

7 I think we have some of the few, probably along
8 with Stem, examples of projects that are actually in the
9 ground doing multiple services across the four buckets that
10 Sarah mentioned today. And there's one in particular that I
11 think will be helpful context for this conversation and it
12 is a project that we are doing with Southern California
13 Edison.

14 We currently have 120 megawatts under development
15 in California. 90 megawatts and 360 megawatt hours of those
16 are the contracts that provide resource adequacy with
17 Southern California Edison in the West LA Basin.

18 So what I wanted to do is give an example of a
19 project that provides in addition to resource adequacy and
20 customer services is also providing some distribution
21 services to SCE as part of a collaboration we are pursuing
22 with DOE. So 1 megawatt, 6 megawatt hour system at a water
23 treatment facility in Southern California -- it is part of a
24 50 megawatt, 200 megawatt hour resource adequacy commitment
25 that we have at SCE.

1 So the primary function of the system is to
2 provide resource adequacy to the utility as often as they
3 would like it. In addition to that we use the system to
4 manage the customer's energy bill. We lower their demand
5 charges using the system when we are not otherwise using it
6 for utility capacity. So that is an example of simultaneous
7 -- multiple use of the battery but not simultaneous use of
8 the battery which is an important distinction.

9 In addition to that in this case at this
10 particular site we are going to be providing full bar
11 optimization and powerful optimization for Southern
12 California Edison. And then on top of that as soon as the
13 ISO is done with its -- Phase 2 process and proxy demand
14 resources are able to bid into the reg-up, reg-down market
15 we will be able to use that same system to provide reg-up,
16 and reg-down with an ISO market.

17 And then in addition to that there are other
18 services that SCE is interested in using it for like a
19 virtual microgrid being able to dispatch it within seconds
20 to help with local feeder problems. So it is not a direct
21 answer to your question Michael so I was kind of hoping you
22 would call me third, but I do think it is a really helpful
23 example to frame up this discussion because as far as I know
24 this is the only project that is under construction that is
25 doing -- well it is not doing them yet, but is going to be

1 doing all of these things.

2 And as we found with many of our projects along
3 with many of our developer colleagues around the table, it
4 is often once we start putting projects like this in the
5 ground that we run into a lot of challenges that you know we
6 didn't anticipate two or three years ago and we signed
7 contracts so I'll stop there and I'm happy to weigh in again
8 later.

9 MR. HERBERT: Thanks Manal, let's go ahead and
10 let Jeff go next since SCE was mentioned already.

11 MR. NELSON: So multiple use not simultaneous --
12 you have to start with what services are being provided here
13 and to the extent -- let's imagine it's a distribution
14 located resource that is some time providing ancillary
15 services to the ISO. The first and the premise of the issue
16 here is safety and liability and the source of distribution
17 operator when people are interconnecting they go through an
18 interconnection process and the interconnection is designed
19 to allow them to safely operate.

20 But as they start providing multiple types of
21 uses there may be restrictions or limitations that happen
22 that prevent them from participating in the wholesale market
23 in order to maintain a safe and reliable distribution grid.
24 So the number one principle of multiple uses has to be
25 safety and reliability.

1 We view that there is sort of a premise argument
2 that depending on where the resources connected the
3 distribution side, the transmission side, the direct
4 connector in these types of premises they need to have the
5 ultimate say in what is safe and not safe to operate.

6 Then when you are starting to mix wholesale and
7 retail participation across time we think it is important
8 that there is a clear accounting or delineation of energy
9 that is being let's just say consumed at wholesale, it needs
10 to then be returned back to the wholesale market. We run
11 into very hairy issues if parties are allowed to consume at
12 wholesale and then serve that to retail load so it is
13 another sort of principle that we think is important.

14 Now with that said we think it is possible -- we
15 are not quite there yet, things are under development to do
16 with metering and accounting the ability to sometimes you
17 are charging at wholesale and selling at wholesale.
18 Sometimes you are buying at retail and selling at retail
19 from the same device.

20 We are not there yet, we think it is possible and
21 we would like to see that happen. So those are more
22 regulatory and safety considerations rather than sort of
23 technical considerations of the battery strip. But those
24 should apply to any technology or any resource like Lorenzo
25 was say, or Dr. Kristov was saying.

1 MR. HERBERT: Aparna do you want to go ahead?

2 MS. NARANG: So actually kind of segwaying over
3 from Jeff's comments over he touched upon the multi-use not
4 simultaneous concept, he also touched upon prioritization
5 which I will touch on with the two resources that we have.

6 So for Helms what's interesting is that it is a
7 multi-day type utilization resource -- it can actually -- it
8 has a really large upper and lower reservoir so you are
9 actually optimizing the "state of charge" for this hydro
10 asset over not just within a day but over multiple days,
11 months, over the year.

12 So when we are providing essentially
13 non-simultaneous communalization of the resource whether it
14 is through kind of an exceptional dispatch with the
15 California ISO -- essentially it might not have been
16 planned, it is unpredictable and so then it can impact of
17 course it's really a state of charge.

18 But there essentially because they have such
19 large reservoirs it is actually fairly reasonable to manage.
20 We can manage that day over day over day. So that can be
21 done. It's also you know interconnected to the transmission
22 system so the services -- not necessarily sow the services
23 but the services it is providing both in the market and
24 through the kind of voltage control from an exceptional
25 dispatch perspective are really all within the ISO kind of

1 footprint. They are really watching that, they are managing
2 it so they recognize what is happening in terms of what
3 Helms can provide at different periods of time.

4 Kind of on a different note going to the Yerba
5 Buena battery it is interconnected at the distribution
6 system and with 50% of its -- approximately 50% of its
7 capacity over a two year period was actually reserved for
8 customer islanding and 50% was actually in the market.

9 So because we had a commitment to provide these
10 islanding services and we didn't know when that was going to
11 happen we always had to maintain that 50% state of charge
12 and not enable -- not have that participate in the markets
13 so that the other 50% was in the market.

14 But then when the islanding occurred the entire
15 resource was essentially separated from the grid because you
16 are actually -- you're islanding right? So in those cases
17 what that means is then okay we are participating in the ISO
18 markets but then what that can result in is exposure
19 potentially to deviations or potential risks associated with
20 the ability to provide essentially future, ancillary
21 services products that were planned for it for the rest of
22 the day.

23 And because it is a 7 hour battery, 4 megawatts,
24 unless you do the 4 megawatts kind of the 7 hour kind of
25 duration you are not managing this intraday kind of resource

1 and at a much more granular level than you would let's say a
2 resource like Helms, so that's just a little bit more
3 complicated.

4 MR. HERBERT: Troy do you want to go ahead?

5 MR. MILLER: Yes I was just going to make the
6 same point that if you are going to do multiple uses with a
7 single asset it is a matter of prioritization which should
8 come first, second and third and those can change on a
9 daily, seasonally, monthly basis -- it doesn't have to be
10 the same forever so you could -- islanding in the case of
11 Yerba Buena, you can take islanding as always the most
12 prioritized asset.

13 If something comes up there's a net reliability
14 event it islands automatically no matter what. There is
15 demand management, voltage support, you can do frequency
16 regulation, fast frequency response, there are all different
17 things that you can do. So it is prioritization as frequent
18 a basis as you would like to have it done that's the first
19 thing and then the second thing is reserving these pieces of
20 energy state of charge to be able to do your number one
21 priority whatever that might be.

22 If it's transmission support, reliability at the
23 retail level or you know resource adequacy at the
24 distribution level, if you are going to do other things then
25 you need to have a large enough energy capacity and hold

1 some back for whatever your primary prioritization might be.

2 MR. HERBERT: Lorenzo go ahead.

3 MR. KRISTOV: Yeah I'll pick up on the state of
4 charge question that was mentioned because that becomes
5 especially important with the battery and we are looking at
6 it from the ISO perspective to provide a certain function
7 for us. And I think what a lot of this will come down to is
8 specifying the terms under which performance is measured and
9 the consequences for non-performance.

10 That that would be part of the calculation that a
11 resource operator is providing multiple services -- we'll
12 say, "Well what happens if I bid and balance energy into the
13 ISO market and then I don't deliver it?" Well that's not
14 such a big deal if it is a tiny resource and it has to buy
15 back the energy.

16 But if it is providing a more vital function then
17 we may need to define non-performance penalties of
18 incentives in some way that insure or maybe capture the
19 priorities that Troy was talking about and the priorities
20 could change at different times. So I think that question
21 really needs -- and then also around state of state I would
22 mention that in our NGR model we have made modifications to
23 allow options for how the resource operator can do that --
24 whether they bid the state of charge to us as a perimeter
25 and we take their word for it then it is their

1 responsibility to have the capability to deliver what they
2 are offering.

3 Or, the ISO has actually got telemetry to monitor
4 state of charge and we are optimizing over a long time
5 horizon. So I think allowing options for how to manage that
6 and then thinking about well how serious is the impact of
7 non-performance and how strong are the incentives we need to
8 have?

9 MR. KO: I'd like to add to what the panelists
10 have said starting with the example of a project and thanks
11 to Manal for calling us out -- actually doing this. The
12 example that is actually in operation today in California is
13 the behind the meter customer services with wholesale market
14 participation bidding into the wholesale market multiple use
15 case -- that's the one that is actually being operated
16 today.

17 And we have systems and a couple of other
18 developers have systems in the California Demand Response
19 Auction Mechanism is the one that was in pilot before now we
20 are actually in more full operation and we have been doing
21 -- getting into the wholesale market with Cali ISO for about
22 2 years now and in the real-time market in the Cali for
23 about a year.

24 So that's a huge case that is actually being
25 operated right now and to what Manal said we are -- you

1 learn a lot when you actually start operating these things,
2 then you start actually bidding in and looking at the prices
3 and deciding what your bids are and actually dispatching
4 when they are getting awards.

5 And to kind of pull up what everyone here just
6 previously said there's this idea multi-use we talk about
7 value stacking -- so we are stacking different value streams
8 of the same battery and the same storage system can do.
9 Then the privatization is what we might call an obligation
10 stack.

11 So you the storage operator are managing both.
12 You are managing the value side where you can monetize and
13 you are managing your obligation stack. And to what Lorenzo
14 was saying it is about what's the contractual you know --
15 cost benefit. What's the penalty if you don't provide,
16 what's the level of performance requirements you have based
17 on your contract or based on the market rules and so I think
18 it's ultimately the storage operator's job to manage those,
19 to figure those out and not have the market determine what
20 those necessarily are.

21 The most extreme case in the -- say a liability
22 function that has to show up and you set very, very high
23 penalties and one of the things -- and this came up in our
24 conversation on multi-use in California and the California
25 CPC proceeding is what levels of kind of performance

1 penalties do you need?

2 Are there different levels at the dissipation
3 level? Is it all -- you have to show up or are there
4 certain situations, certain parts of the grid where it is
5 okay, you know -- we have alternatives if you don't show up,
6 these kinds of things. So all of that has to be captured in
7 the obligations and then it becomes an economic risk
8 calculation for every hour of the day for the battery to
9 decide what to do about it.

10 And I just wanted to add on the one thing we
11 didn't talk about -- capacity and reserving capacity in your
12 battery, one thing in the rules you have to understand is
13 the rules for a fleet of batteries is going to be different
14 than the rules for a single sect, right. So you are
15 managing the state of charge of a single site is a whole
16 different idea than managing the state of charge of a fleet
17 of 50 sites.

18 And so the rules will likely be a little bit
19 different for those two things and then with the state of
20 charge management and like Lorenzo called out with the NGR
21 and the state of charge if the grid operator is directly
22 managing your state of charge, then you have pretty much
23 eliminated your ability to do multi-use. Because unless the
24 grid operator can know all the different things that you
25 want to use the battery for, this just came up on the first

1 panel I think about whether the grid operator can put you in
2 the market or not, but if it is behind the meter storage
3 then the grid operator is not going to know what to do that
4 is going to be best for the end customer.

5 So -- direct management of state of charge
6 doesn't really allow multi-use in that scenario.

7 MR. HERBERT: That's a good segway to another
8 question that we have and that is staying on the
9 prioritization theme. There is sort of this apparent
10 uncertainty if there are services that are being dispatched
11 and you don't know when that is going to be necessary so you
12 know, how can that prioritization be meaningfully
13 accomplished without knowing when the higher priority
14 service would be dispatched relative to the lower priority
15 service, and how could the storage resource insure it was
16 maintaining sufficient state of charge to serve the higher
17 priority service? Sarah?

18 MS. VAN CLEVE: Thanks Michael that's a really
19 good question and one that we have been thinking about a lot
20 and we think that over time as our forecast gains
21 confidence in both of these resources as well as the needs
22 get better, we will be able to get more granular. But just
23 now for at the forefront I think we can all agree that it is
24 possible to switch resources in and out of say market
25 function and reliability function widely.

1 And the CFIST version of that that you could
2 start with is if you are using a storage resource say for
3 distribution reliability off-setting the peaks in summer you
4 could say, "I really need to have this resource here so for
5 the four months of summer it is not going to play in markets
6 at all, it is just going to sit there and be ready to
7 discharge when we need it for the liability on the grid."

8 However, we know that we don't have any of those
9 peaks in winter so the other 8 months of the year that's
10 when we are using it in the market. Then we go when we are
11 confident and we say, "We have a pretty good day ahead
12 predictions, we'll know when we are going to have a peak
13 day." So that's when we decide on the day-by-day basis.
14 Okay tomorrow we are going to need this for reliability
15 let's not bid it in the market at all tomorrow.

16 And then especially as we get more visibility
17 down on the distribution system in particular, hopefully, we
18 can do an hour ahead or even real-time optimization of
19 should I play this resource in wholesale markets or keep it
20 for reliability, so I think that that's still a question we
21 need to work through but certainly there are ways to have
22 multi-use resources that we can absolutely insure provide
23 reliability and hopefully as we move along we can even more
24 closely optimize and efficiently use those resources.

25 MR. HERBERT: Thanks, Manal do you want to go

1 ahead?

2 MS. YAMOUT: Sure, Sarah gave a great example. I
3 guess my question is the point of prioritization -- I guess
4 I'm not sure what the point of prioritization is right so if
5 prioritization changes to Sarah's point from season to
6 season or from site to site or from hour to hour, so in our
7 case we have a 50 megawatt fleet operating, we have 100
8 buildings in that fleet.

9 There might be a day when I use 100% of that
10 battery for utility capacity and another day where I'm
11 behind on my demand charge management obligation and I
12 decide to use the whole battery for demand charge management
13 obligation. I let other buildings in the fleet step up and
14 meet that obligation.

15 So I think the point made by others on the panel
16 about setting the rules right and getting the penalties
17 right is really, really critical. So if we focus on the
18 service being provided and we insure that that service is
19 distinct and incremental from other services to avoid you
20 know perception or actual double counting.

21 And in addition to that we make it very clear
22 what the penalties are and they should be commensurate with
23 severity situation. If we are at the end of a line and if
24 we are not available for capacity if we are called, it
25 should be a very, very high penalty versus other situations

1 where the ISO might have a back-up.

2 And if those rules are set right and the
3 obligations are clear and the services are distinct and
4 incremental, I'm not sure why we would want to determine or
5 state what a priority of a particular building is or a
6 particular fleet because it changes all the time and you
7 know part of the reason I am sensitive is this is in the
8 California PUC discussions there has been a big focus on you
9 know what is the primary function of the system. And I
10 guess from a developer perspective I am not so sure that it
11 should matter to the market as long as we are there when you
12 need us and if we are not you are able to hold us
13 accountable.

14 MR. HERBERT: Jeff go ahead.

15 MR. NELSON: Well I want to combine sort of both
16 of those themes, the points that I wanted to talk through.
17 I am imagining first it depends on what applications you are
18 committing to do -- if you are just making you know
19 voluntary energy, ancillary service sales, not such a big
20 deal if you make one or the other. But imagine a
21 hypothetical where someone has been selected and we are
22 doing this right now for distribution deferment, rather than
23 building traditional wires for the RFOs to say that there
24 needs to be specific performance under specific conditions,
25 and without that we don't have a reliable distribution

1 system.

2 And that type of agreement, there needs to be a
3 clear understanding of what the terms and conditions, what
4 the expectations are and people need to live within those
5 expectations. Now outside of those -- right -- there may be
6 flexibility.

7 Something Sarah said, we've learned through some
8 of our market demonstrations that the better visibility, the
9 better control, the more direct knowledge and situational
10 awareness we have with what's happening on our grid lets us
11 be more flexible with resources, let's us really say you
12 know we thought this was going to be a problem today but the
13 telemetry is saying it is not so that can allow us to free
14 up and get extra value out of the resource.

15 So hand in hand of premisy and who does what
16 should be a discussion of are we trying to get the most
17 efficiency out of the resources from the get-go or are we on
18 a big grid modernization sort of philosophy now to do that,
19 to be able to extract more value and actually provide more
20 flexibility to the resources so it is only in pre-targeted
21 situations in this example.

22 It would be a red light that day, that you have
23 to do exactly what we say and maybe it is just a couple of
24 hours on that day and the rest optimized.

25 MR. QUINN: So Jeff I think what I heard you say

1 at the very end there is there might be a small set of hours
2 where there is no penalty that you would say is big enough
3 to kind of measure the value that the resource is providing
4 to the grid and so there would be maybe a cut-off at which
5 you would say -- because infinite penalty isn't available to
6 you.

7 You, as the grid operator for the distribution
8 system would say penalty structure very good for most
9 situations but for these -- defined set of situations we are
10 not going to rely on a penalty situation and I am going to
11 require that the distribution system has first priority.
12 Was that what you said?

13 MR. NELSON: I think that would go back into
14 earlier principles. The number one principle has to be
15 safety and right after that reliability. So to the extent
16 that we have an issue that we believe is going to create a
17 safety or reliability issue financial incentives may not be
18 sufficient and may require direct command and control under
19 those situations. I hope that answered the question.

20 MR. QUINN: Yes that answered. I would be
21 interested to know if PG and CAISO have the same point of
22 view on that because I think connect the dots to the first
23 panel today I heard a lot of discussion in the first panel
24 from the grid operators as if I'm a give-something cost
25 recovery through the transmission rate base, whether or not

1 I give that resource -- the grid operator wants operational
2 control and that's how we think about transmission
3 facilities in the ISO context.

4 MR. NELSON: And as a distribution operator I
5 think there's a spectrum. I think there may be some assets
6 that are so integral and so constantly used that they will
7 be treated just as a traditional distribution asset and be
8 in sort of full control of the distribution operator. And
9 then there may be these others that really this is a
10 two-hour a year problem and I think those will be treated
11 differently.

12 MR. KO: To follow-up, to add on to what he was
13 just saying -- this came up in the discussions at the CPC
14 exactly you have the gradations of types of service you are
15 trying to go for right and so even in SEU territory like the
16 contracts that Manal referred to and Stem also has with that
17 in that grid were essentially local capacity and for
18 reliability on the west LA Basin but it was at such a large
19 enough grid area that there wasn't a requirement in those
20 contracts for them to take to get control of those things,
21 right.

22 So you define the service by how much the need
23 is. If there are certain hours, then we the developers will
24 then decide if they want to take on that risk.

25 MS. NARANG: I was going to try to help answer

1 Arnie's request for us to comment which is a general
2 agreement here with SCE but recognizing everything is on a
3 case-by-case basis really in terms of what utilization of
4 the asset is and what services it really needs to provide.

5 But coming back to safe and reliable operations
6 is being really a number one priority.

7 MR. HERBERT: I think Rahim had a quick follow-up
8 as well.

9 MR. AMERKHAIL: So I think several of you
10 mentioned this. Sarah for example mentioned that as you get
11 more and more experience with the asset you may be able to
12 predict some things like when the peak may come along and so
13 that you can avoid it and I guess Troy's Minster project
14 does the same thing.

15 But then there are -- so that's -- I can
16 understand that very well but do any of these projects seek
17 to be -- to have some of their, one of their services be
18 contingency reserve where almost by definition you can't
19 predict when the contingency happens at the same time as
20 they are doing other things and how does that impact the
21 calculation list, I'll start with you Jim.

22 MR. NELSON: Well we are exploring the many uses
23 of storage on the grid. One of them is handling in M minus
24 1 condition and that would be a classic example of it has to
25 -- almost like a -- it has to stand ready in the event that

1 the M minus 1 happens and that might put severe limitations
2 on what else it can do.

3 MR. HERBERT: Okay thank you.

4 MR. KRISTOV: Given CAISO perspective some of the
5 things that are just being raised now and both Rahim's
6 question and Arnie's and Jeff's point about safety and
7 reliability may arise even without multiple services being
8 provided. In other words once you start getting these
9 devices on the distribution system something that we really
10 need to think about and we are in California about the
11 future is what's the new coordination framework between
12 distribution operators and the ISO?

13 We issue a dispatch instruction and it could be
14 that instantaneous conditions on a distribution circuit may
15 make it impossible for that resource to respond to our
16 instruction or it may cause a problem if it tries to respond
17 or it may be providing multiple services and this question
18 of prioritization is a real-time instantaneous decision.

19 And these circumstances right now, what do I need
20 to do for the next five or ten minutes -- so we can't spell
21 all of these things out in advance but I think a piece of
22 what needs to happen if we really want to see the expansion
23 of storage devices, much of which will be on the
24 distribution side of the system and participating in
25 wholesale markets, then this question of how do ISOs and

1 distribution companies coordinate?

2 What information do they need to exchange? How
3 do we get current information about grid conditions that may
4 affect the capability of a resource to respond? Who needs
5 to know that? When do they need to know it and if it is a
6 constraint on distribution that prevents the resource from
7 responding, well how do we treat that in settlement? How do
8 we use our outage notification process?

9 These are a lot of the questions that we are
10 asking but I think the central notion of coordination is a
11 big part of this whole inquiry.

12 MR. KAPADIA: So since we are on the topic of
13 kind of dispatching where you get the dispatch signal but
14 you are not being able to do it as Lorenzo said but with
15 your -- the PG&E application where you have the islanding
16 thing where you have 50% of islanding and 50% for something
17 else and as you mentioned when you are called upon and if
18 you have an island and the CAISO calls upon you, how did you
19 plan that?

20 MS. NARANG: I wish it could be planned but such
21 is not the case. So what we do is we do participate in the
22 markets at all times for that 50% capacity that is not
23 reserved for islanding just because we just don't know when
24 the islanding needs are going to happen and the frequency of
25 those islanding events is about like two times a month over

1 the course of that two year period so in the event that
2 islanding happens, what happens is then we are essentially
3 at risk for deviations where we are typically providing
4 let's see a regulation product.

5 So now we are not able to provide that product
6 and then also the question is will the battery be at the
7 right kind of state and position in order to provide then
8 the residual ancillary services needed kind of for the rest
9 of the day or post islanding condition?

10 So these are some of the challenges that we face
11 with managing it and I think you know to Lorenzo's point a
12 lot of it is going to hinge on kind of that coordination in
13 terms of that team D kind of coordination and efforts with
14 visibility and understanding across the distribution and
15 transmission systems.

16 But that is how we are handling it today because
17 of the unpredictability nature of it we do want to make sure
18 that it is available for market use when it is available.

19 MR. HERBERT: Troy you have had your tent up for
20 a while so maybe you'll let us know what issue you are
21 responding to.

22 MR. MILLER: No problem. So just to the point
23 that everybody has been making about if the rules are
24 defined properly and the penalties for not -- so in the case
25 of the Yerba Buena project taking a penalty for deviation

1 that works into the pro forma. We have got a project in the
2 U.K. that's for -- the primary use was to avoid the build of
3 another transmission line so it was 20 kilometers at 400 KB
4 transmission for winter peak and during that time, actually
5 there is about 6 to 8 weeks where it is doing nothing else
6 but doing peak shaving to provide these services for that.

7 But in the other times there are enhanced
8 frequency response and FFR that they are also providing and
9 all that gets baked into the pro forma. If the rules are
10 known well and the energy storage is allowed to cross these
11 asset classes because the most efficient use of the system
12 is for it to be providing like all four buckets that we
13 talked about previously.

14 If all of those are known you don't have to worry
15 about prioritization because it works in the pro forma and
16 we are constantly reordering on a daily or hourly basis,
17 based on our interpretation of the rules and the penalties.
18 So defining those markets tightly and then coordinating
19 across all the four classes is huge, so.

20 MR. KO: Just summing up a lot of this -- if you
21 think about the risk calculation that we make as developers
22 -- if we have say a 50 megawatt come in, we are going to put
23 a fleet out there, probably 60-75 megawatts if we want to
24 use multi-use. Because we are doing a calculation of risk
25 about times when there is need versus when the customer is

1 going to need us and how much do we need to keep in the
2 tank.

3 The more the risk is in the markets like the more
4 the risk is the more we have to overbuild. So the extreme
5 cases -- the one which Rahim was just saying is like if you
6 have to be at any moment you have to have your full capacity
7 available, then you have to overbuild by that much. You
8 just have to have that available and that is what you have
9 to have that reserved right?

10 But if you -- if the rules aren't set up that way
11 so that you can you know, gauge your fleet, see what's
12 available and you don't have that much risk, then you don't
13 have to overbuild as much. And so it is really just that
14 whole risk calculation along that spectrum and then to what
15 Sarah was saying -- the smarter your software is, the
16 smarter your software is about predicting and anticipating
17 risk, figuring out what times -- the smaller the overbuilt
18 can be.

19 So it is kind of what we say, more brains less
20 batteries. Like the smarter your system is the less you
21 know hardware you have to put in place to actually provide
22 those services.

23 MR. HERBERT: I'm going to try and summarize what
24 we heard here really quick and maybe you guys can fill in
25 any gaps but it sounds like as far as prioritization of

1 multiple use applications you have to -- sometimes there are
2 sort of contractual arrangements that you can't get out of.

3 If it's resource adequacy, if it is islanding,
4 those sorts of things come first and that is sort of
5 established what you will execute that contract with. And
6 then after that it is sort of a condition of economics,
7 what's the most valuable service that I can provide at a
8 particular time and then sort of part of that economic
9 calculus is also penalties and you know what penalties am I
10 going to incur for not showing up to provide this other
11 service.

12 And then as Lorenzo talked about a little bit to
13 the extent there can be coordination between multiple
14 entities then we can potentially avoid those penalties and
15 better optimize those systems so that they can provide sort
16 of all of the services that they are most capable of doing.
17 Is that kind of a good summary of what we have heard or
18 would anybody like to add to that, Manal go ahead.

19 MS. YAMOUT: I think that's a great summary.
20 Just a point of clarification you mentioned resource
21 adequacy as a use case example where you were going to
22 dedicate the resource and I would just say that that is not
23 always the case, especially at a fleet level, so someone
24 made the point earlier about a distinct set of rules for an
25 individual project versus an aggregated fleet.

1 So in the case of an aggregated fleet where we
2 have a 200 megawatt hour resource adequate obligation SCE
3 half of that -- not half of that, 10% of that fleet at any
4 given time could be providing zero resource adequacy and
5 that might change every single day.

6 So just a point of clarification there it is
7 different for hundreds and hundreds of sites versus one.

8 MR. HERBERT: Thank you, go ahead Jeff.

9 MR. NELSON: And for the sake of sounding like a
10 broken record I think I didn't hear the safety issue on that
11 and I think there really is when it comes down to a safety
12 issue that the economics have to be put to the side and
13 safety has to be maintained.

14 MR. HERBERT: Would that be captured -- I mean is
15 that why you would -- is that the sort of thing that would
16 be captured in a contract you know, a contract between AMS
17 and STE to provide resource adequacy? Do those kind of
18 contractual obligations insure the safe operation of that
19 resource?

20 MR. NELSON: I think it shows up in potentially
21 multiple places. For example in the ISO's tariff generators
22 that are interconnected to the transmission levels have a
23 PGA and the PGA obligates them to follow dispatch
24 instructions basically for this whole safety reason.
25 Similarly in our interconnection to our distribution grid

1 there are certain requirements that they have to follow the
2 instructions of the distribution operator.

3 And then above and beyond that specific contracts
4 may have specific terms on top of it.

5 MR. HERBERT: Lorenzo?

6 MR. KIRISTOV: Yeah I would just pick up on what
7 Jeff said, I think that's right the PGA -- it's not just
8 what the market dispatches but it also allows the grid
9 operator to give an emergency operating instruction and the
10 resource has to follow that. So that's the kind of
11 prioritization that happens instantaneously and I think some
12 of the problem to work out will be where you have an
13 aggregation of resources or -- say a fleet that creates a
14 virtual resource, one of the different responsibilities
15 between say the entity that is receiving the service, the
16 ISO or the distribution operator -- and then the aggregator
17 who is the visible entity that the ISO sees and gives a
18 dispatch to.

19 And then the relationship is down to those
20 individual resources which they could be say dispatched to
21 give 10 megawatts but depending on the geographic pattern of
22 that dispatch it may or may not cause a distribution system
23 problem. So how does that level of coordination happen and
24 I think for you know -- we drew a map of existing
25 information and coordination activities between the various

1 components of the utility and the ISO and scheduling
2 coordinators.

3 And what you see in today's world is the
4 distribution operator has almost no interaction with the
5 ISO. And I think -- and that's something that we are
6 starting to talk about how to remedy, how to fill that gap.
7 I think in the future that's going to be hugely important.

8 MR. HERBERT: Thanks guys. Let's change gears a
9 little bit and we are going to take a step back to
10 simultaneous use of the same capacity. So assuming that it
11 is technically feasible, we have heard some examples of how
12 it is technically feasible -- how could or should the costs
13 of that electric storage resource capacity be shared among
14 those services that are being provided simultaneously?

15 And do those cost sharing arrangements only
16 matter if one or more of the simultaneous services are
17 provided under cost-based rates to captive customers -- that
18 is to say basically alleviating -- if it is all market based
19 do you alleviate the potential for cross subsidization.

20 MR. KO: I think I would say that knowing that
21 some of the discussions that we had earlier. If it is all
22 market based and again I am using the example that I am
23 familiar with which is the behind the meter resource, also
24 bidding into the wholesale market. There isn't a
25 cost-sharing question there -- it is more just how you are

1 getting compensated right?

2 So if you are getting compensated for what Manal
3 was saying, incremental distinct services and you know how
4 to measure and count those incremental distinct services,
5 then there isn't really a cross subsidization problem there.

6 MR. KRISTOV: Yeah and I would add as an example
7 I think going back to Manal's case as well -- that last year
8 in Asder 1 we created a Commission approved using meter
9 generator output as a measure of demand response so that we
10 were participating as a PDR resource. We are measuring the
11 demand response actually at the storage devices, not at the
12 customer meter.

13 But we are comparing that response against
14 baseline measurements which look at similar hours in which
15 the resource was not dispatched for demand response. So
16 whatever services the batteries are providing the customers
17 on an ongoing basis are essentially captured on this
18 baseline and subtracted out and I think you know that's at
19 least one useful way to approach this.

20 On the other -- on a related question if the
21 performance of a resource simultaneously satisfied two
22 performance requirements that are services to two different
23 entities. I don't know whether we care about that. I guess
24 I would question well they are doing the same thing and they
25 are getting paid by two people but they are satisfying their

1 obligations for what they are providing to those two
2 entities so maybe that's okay.

3 MR. HERBERT: Jeff do you want to go ahead?

4 MR. NELSON: Yeah I'm not aware and Lorenzo might
5 be able to correct me, of the ISO sort of entering into any
6 sort of cost-based contracts at this stage for these type of
7 items. I know that was an earlier panel discussion as Stem
8 was talking about. We do a lot of -- hey will buy resource
9 adequacy tags from you, this is how much money we are going
10 to give you, we are done.

11 If it is not sufficient we will find money
12 somewhere else or there is no deal but we are done. We do a
13 lot of contracts like that. Something Lorenzo did talk on
14 -- we should try to minimize uplifts or cost-shifting in the
15 wholesale designs. We are working on -- I'm not sure where
16 it is in the FERC process but I will just say that in
17 general our design of markets should not result in uplifts
18 to implemental use.

19 MR. HERBERT: Sarah?

20 MS. VAN CLEVE: So I think that the cost
21 allocation question you are getting at really is only
22 relevant when you have a device that is providing both
23 services that are attritionally some cost-based rates as
24 well as services that are in market services, whether that
25 be getting revenues from the wholesale markets or from

1 individual customers that they are serving.

2 In those cases I think there are a few models, a
3 few of which were discussed this morning, in particular the
4 two models that were discussed this morning -- one was
5 where the system operator operates the device and when it is
6 not using the device for reliability needs it participates
7 in wholesale markets, it dispatches the resource and then
8 any of those revenues get credited towards the cost of the
9 resource.

10 Another model that was mentioned was sort of the
11 opposite where there was a contact where it is a merchant
12 storage device that basically contracts out the reliability
13 service to the ISO. I think there's one more model that
14 wasn't discussed in detail that could also be very useful
15 and that's sort of a combination of the two.

16 Where the device could be owned by the network
17 operator, there's the distribution operator, transmission
18 operator and then the wholesale portion is then contracted
19 it out. So it is different than just having the wholesale
20 market operator dispatch in the market -- we are talking
21 about as a price seeker earlier because there would be a
22 long-term contract for use of that capacity with a third
23 party participant.

24 So the transmission operator/owner wouldn't
25 actually be participating in wholesale markets they would

1 simply set times you can use this storage device you know,
2 during winter months or whatever else. And I know this is
3 getting a little bit in the weeds but I would suggest if
4 folks are interested in this issue that they look at the
5 Brattle study that was done in Texas, I think it's called
6 the Value of Distributed Storage in Texas.

7 And it is a pretty long report -- 70 pages or so
8 released last March of 2015 I think but the last 10 pages
9 gets into these different types of models where you do have
10 this competitive concern when the resources are also
11 providing services by cost-base rates. So I think there are
12 a few models that are worthy of discussion, particularly
13 with FERC.

14 I think this is going to be one of the main
15 issues that we need you all to weigh in on to make it clear
16 to transmission distribution operators throughout the
17 country how they can make these multi-use resources that are
18 clearly efficient work from a regulatory perspective.

19 MR. KO: Yes and to give some specific examples
20 of what the models that Sarah just mentioned is one -- where
21 the revenues get credited back is actually in our contracts
22 where they -- it is not where the cost recovery is under
23 kind of a DR demerits cost recovery but the cost recovery is
24 that Edison gets is the cost of the contract with us minus
25 whatever revenues they get from the wholesale market because

1 they bid our resources into the wholesale market.

2 So that's one model that is actually in contract
3 right now and we are building out at the moment. The other
4 one -- the one, the hybrid model is actually one that we
5 have been in discussions with one of the utilities about and
6 it didn't result in an actual contract yet but it is exactly
7 that idea.

8 Even where the utility would actually own even
9 the behind the meter storage resource in this case and would
10 you know contract and own it for specific additional
11 reliability function with a specific defined set of
12 obligations for distribution and liability but then would
13 contract with a third party like us to actually operate the
14 battery into the wholesale market.

15 And where we the operator could actually get the
16 wholesale market revenues separate from the distribution,
17 the sale of the asset. So these models are out there and
18 they are being discussed right now.

19 MR. HERBERT: Anybody else on that question? I
20 want to do a little time check, we are running over but we
21 also started this panel a little late. We can go another 10
22 minutes -- 15 minutes or so if everyone is okay with that,
23 okay. So the next question and this one might pick on you a
24 little Lorenzo but what concerns do the RTOs and ISOs and
25 other grid operators have about allowing electric storage

1 resource to sell services to other entities with the
2 capacity that is already participating in their markets or
3 providing a transmission service, or grid support service?

4 MR. KRISTOV: Well I think it comes down to
5 things that we have talked about already. One is that we
6 need this degree of coordination between us on the
7 distribution system operator particularly -- I mean
8 specifically for resources that are below the ISO grid
9 level. I think spelling out the performance requirements
10 and the penalties for failing to provide them and then the
11 ability say under emergency conditions to be able to give an
12 instruction and have a physical requirement that they have
13 to follow it.

14 I think those are the main things. And we have
15 you know right now we just basically have imbalanced energy.
16 If you are providing balanced energy or no pay if you fail
17 to provide AS but we do have to deal with those situations
18 where it is an emergency and we need you to do this right
19 now.

20 And that again may still involve a degree of
21 coordination with the distribution operator because
22 conditions on that system may be in the way. So that's kind
23 of a summary but I think you know that's the things we are
24 working on.

25 MR. HERBERT: Any other thoughts on that -- ways

1 to alleviate these concerns?

2 MR. KO: I just wanted to echo what was said
3 before about this idea that if you know if we are providing
4 services in a multi-use situation and we are providing
5 services to them -- the wholesale operator, and we are
6 providing it to another entity, maybe the distribution
7 operator and we are providing the performance that we are
8 being compensated for -- they almost don't care about you
9 know, double counting of these kinds of questions.

10 It's like it should be and it is more of a high
11 level principle of the market -- they should design the
12 markets and the products around what it needs and then let
13 the developers you know figure out how to work it.

14 MR. HERBERT: So I think we are going to skip
15 ahead and talk about sort of the segregation of storage
16 capacity a little bit and so as an alternative to
17 simultaneous use, what issues may arise in connection with
18 segregation of storage capacity for different services that
19 would be separately compensated?

20 So as an example could a transmission connected
21 electric storage resource be capable of providing multiple
22 services using different portions of the capacity and if so
23 would any special metering or telemetry requirements be
24 necessary in order to allow tracking of the portion of the
25 storage capacity that was used for each service.

1 MS. YAMOUT: I'd like to answer the question more
2 broadly and then talk a little bit about behind the meter
3 resources specifically if that's okay because that's
4 essentially what we do. But I think that at the highest
5 level the main consequence of segregation, especially for a
6 customer-sited resource that can do several things is that
7 it is extremely inefficient.

8 And it is very expensive and you get to the point
9 where you are not putting in these systems at all, certainly
10 not at this point of the market's development. And so from
11 the AMS perspective where we need multiple revenue streams
12 in order for us to install battery systems -- so if we
13 aren't able to use the same system for more than one thing
14 in most cases we don't build it.

15 That said, we do have situations where we do have
16 separate battery packs, battery cells, we test the batteries
17 and we share an inverter. So in some cases on certain
18 customer sites we do separate out the energy that we have
19 set aside for the utility versus what we have set aside for
20 the customer's use, but they share an inverter.

21 But those are decisions that we have made for
22 business reasons but generally speaking I think Ted said --
23 what did you say, more brains less battery -- I think that's
24 really the goal and what we are seeing -- what most of us on
25 the developer side started out as developers but ended up as

1 software companies for a reason. There's a lot we can do
2 with the proprietary algorithms that everyone in this space
3 has developed that allow us to meet all the obligations with
4 less battery.

5 And the less battery is the single most expensive
6 piece of this whole thing so if you can put in less and meet
7 everyone's obligation, you have a much more efficient
8 system.

9 MR. HERBERT: Go ahead Jeff.

10 MR. NELSON: So my technical folks say
11 technically you can do it, it is an issue of costs. But
12 something that's related that is turning out to be
13 interesting and economic, they are calling it enhanced GT's
14 or enhanced combustion turbines where you can have an
15 existing generation resource that is already interconnected
16 and pair it with storage and depending on how the
17 interconnection is arranged you can put restrictions that
18 the two can never simultaneously output or you could put
19 restrictions such that the combined output of the generator
20 plus the storage doesn't exceed what was interconnected
21 before.

22 And this provides some additional flexibility to
23 the generation of -- for example that stone cold CT can now
24 sell spinning reserve because the battery that is paired
25 with it is synchronized to the grid. There's also ways you

1 can manage emissions and start up and shut downs with that
2 sort of enhanced GT scenario.

3 So it is not directly at your issue but these are
4 transmission interconnected -- you have sort of got two
5 devices, you can separately meter both devices and have a
6 single meter in the front. So we are seeing some
7 interesting flexibility the batteries are creating for
8 existing generation.

9 MR. HERBERT: And so -- go ahead.

10 MS. VAN CLEVE: I was just going to add that I
11 think the reason that you heard silence from the group is
12 because the metering solutions are absolutely there. It's
13 something that we need to be cognizant of in particular with
14 the question about you know the difference between retail
15 services and wholesale services. Obviously we have to meter
16 that appropriately but the metering capability is there --
17 we want to make sure it is cost effective, especially when
18 participating in ISOs but it is not a barrier at this point.

19 MR. MILLER: It is just a matter of market design
20 and if you are rate-basing a product and you want it to be
21 credible -- like was being talked about with Encore they are
22 a wires company they can't really you know participate in
23 ancillary services markets, it is not the most efficient use
24 of those resources.

25 The market really hasn't caught up on the rates,

1 hasn't caught up on what we could do with it so the metering
2 does exist and you can segregate the assets and have them
3 flow to different areas it is just a lot of times they are
4 not allowed to currently.

5 MR. HERBERT: That's helpful. And so one final
6 question and this is you know the further downstream the
7 storage asset gets the more complicated this issue becomes.
8 And so the last question is you know if you do have a
9 battery or storage asset on the distribution grid or behind
10 the customer meter that is also providing multiple services
11 to multiple entities -- how if at all can you sort of
12 segregate the energy that is discharged to sell wholesale
13 electric service from the energy that is discharged to serve
14 and end use load.

15 I know Jeff you kind of eluded to this concern
16 earlier but practically speaking is that possible and how is
17 that possible if so?

18 MR. KO: One of the issues we came up with in the
19 double counting discussion in California was well -- let me
20 step back a minute. In the -- Phase 2 proceeding that we
21 have been talking about the discussion came up around being
22 paid to charge. So this idea that we can -- there's a
23 market where we do demeris except you are charging instead
24 of discharging and you know are there kind of retail rate,
25 wholesale rate implications or jurisdictional questions that

1 you have to deal with.

2 And it turns out that actually for most cases
3 there aren't any actual issues because the retail meter
4 pretty much takes care of what the retail meter is going to
5 take care of and you can directly meter the battery like
6 Lorenzo was saying -- for the wholesale, whatever the
7 wholesale market participation was at the time and it would
8 be, you know, they have that approval earlier this year.

9 So there isn't actually -- there doesn't have to
10 be any kind of reconciliation against the retail meter in
11 that case because we are going to -- we'll get paid to
12 charge but we are also going to pay the retail rate for that
13 energy at the retail meter, which is fine because we are
14 going to discharge later and we will offset that at some
15 other point.

16 So we will lose a little about in the round trip
17 efficiency but from a market participation point of view
18 there doesn't need to be any kind of accounting to unwind
19 that later.

20 MR. HERBERT: Jeff go ahead.

21 MR. NELSON: Yes, so we kind of crossed into some
22 of the principles of concern here -- the concept of charging
23 at wholesale and discharging at retail. That's something we
24 think is just not allowable for multiple dimensions, the
25 lock-in part of it. But technically we think there are --

1 you know we haven't done that but the concept is sort of
2 inventorying -- keeping account, the time of use metering,
3 we need to know what's happening, when it is happening and
4 they need to know more of the actual reason why someone is
5 doing something.

6 But the concept of being able to inventory with
7 time of use so that wholesale is charged in and then
8 wholesale is returned is conceptually possible.

9 MR. KO: I do want to point out that in the --
10 meter case we would never be charging at wholesale, we would
11 be charging at retail yes.

12 MR. NELSON: There are charging issues with
13 baselining and some of those baselining issues get into
14 whether you trade up flux or not so it is doable you need to
15 be very careful, you need to work the math from a couple of
16 different angles to make sure that you end up with you know
17 credits and debits equaling each other at the end of the day
18 but we think it is doable.

19 MS. NARANG: Yeah it just raises the complexity
20 of settlements quite frankly in terms of compensation and
21 payments and what not so but yeah it's just all part of the
22 process I think.

23 MR. HERBERT: Great anyone else? I think I'll
24 hand it over to Rahim for some short closing remarks then.

25 MR. AMERKHAIL: Thank you Michael and thank you

1 to all the panelists. I was going to try and summarize what
2 we heard but I think it is beyond me at this moment and the
3 three panels. Staff is going to think about what we have
4 heard. We plan to issue a Supplemental Notice -- if we come
5 up with additional questions they will be in that
6 Supplemental Notice, if we don't the Notice will just ask
7 for comments.

8 And we hope that the panelists and anyone else
9 who is interested will submit written comments and help us
10 decide where if anywhere, to go with the information we have
11 heard today. Again I want to thank everyone. I think we
12 had some very interesting discussions. We learned how
13 difficult some of these issues are in some cases and maybe
14 in a few cases saw our way forward.

15 But with that unless anyone else has anything to
16 say I think we will adjourn this Technical Conference, thank
17 you.

18 (Whereupon the meeting was adjourned on November
19 9, 2016 at 3:22 p.m.)

20

21

22

23

24

25

1 CERTIFICATE OF OFFICIAL REPORTER

2

3 This is to certify that the attached proceeding
4 before the FEDERAL ENERGY REGULATORY COMMISSION in the
5 Matter of:

6 Name of Proceeding:

7 UTILIZATION IN THE ORGANIZED MARKETS

8 OF ELECTRIC STORAGE

9

10

11

12

13

14 Docket No.: AD16-25-000

15 Place: WASHINGTON, DC

16 Date: NOVEMBER 9, 2016

17 were held as herein appears, and that this is the original
18 transcript thereof for the file of the Federal Energy
19 Regulatory Commission, and is a full correct transcription
20 of the proceedings.

21

22

23

24 Gaynell Catherine

25 Official Reporter