

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
FEDERAL ENERGY REGULATORY COMMISSION

- - - - - x  
IN THE MATTER OF: : Docket Number  
STATE OF THE NATURAL GAS : PL04-17-000  
INDUSTRY CONFERENCE :  
STAFF REPORT ON NATURAL GAS : AD04-11-000  
STORAGE :  
- - - - - x

Hearing Room 2C  
Federal Energy Regulatory  
Commission  
888 First Street, NE  
Washington, D.C.

Thursday, October 21, 2004

The above-entitled matter came on for hearing,  
pursuant to notice, at 9:10 a.m.

PRESIDING:  
BERNE MOSLEY, OEP, presiding

1 P R O C E E D I N G S

2 (9:10 a.m.)

3 MR. MOSLEY: If we should start taking our seats.  
4 The panelists should probably wait until after the keynote  
5 speaker to come up to the panel.

6 Good morning, Chairman Wood, Commissioners, and  
7 the public. I'd like to welcome everyone to today's State  
8 of the Natural Gas Industry Conference. My name is Berne  
9 Mosley, Director of Pipeline Certificates in FERC's Office  
10 of Energy Projects. This is the third annual event that we  
11 had for the State of the Gas Industry, and the purpose of  
12 today's event is to engage industry members and the public  
13 in a dialogue about policy issues facing the natural gas  
14 industry today and the Commission's regulation in the  
15 industry of the future.

16 Today we'll hear from very wise and interesting  
17 people, raising different issues on different aspects of the  
18 industry. What we would like to do is start with our  
19 keynote speaker, and then follow it up by the panelists, the  
20 first panel.

21 We'll have three panel sessions. In each  
22 session, at the end, there will be an opportunity for the  
23 staff, the Commissioners, and the panelists to talk to each  
24 other and question each other. Then there will be a public  
25 Q&A session. I would ask that you step up to the

1 microphone, introduce yourself and your organization, and  
2 proceed with your question. At the very end, after the  
3 third panel, there will be an open public forum for anyone  
4 who has signed up. I encourage you if you have not done so  
5 so far. This is only for the public forum session to go and  
6 sign up at the front door. I believe the sign-up sheet is.  
7 And you'll have an opportunity in the public forum session  
8 to speak.

9 Before I introduce the speaker, Chairman or  
10 Commissioners would you like to make any statements?

11 CHAIRMAN WOOD: Thank you, Berne. I appreciate  
12 your setting this up. I appreciate the parties that have  
13 shown up. Just to put in context, this is the Third Annual  
14 State of the Gas Industry Conference that we've held. Each  
15 year, we have picked an item or two of interest. In past  
16 years, we've talked about open access on LNG import  
17 terminals, gathering policy, pipeline rate issues. Last  
18 year, we talked about gas quality and the National Petroleum  
19 Council Report. This year, I think based on really what the  
20 Commissioners have been hearing from within the industry,  
21 out on the road and here in our offices and what staff have  
22 picked up, is that the storage issues are really ripe for  
23 further discussion. We have found these forums to be very  
24 helpful ways of having policy discussions that may or may  
25 not lead to changes in the Commission's direction, but it's

1 a much more expedited method to deal with that than some of  
2 the more traditional APA methods we've used in the past.  
3 So, I would encourage parties to be real frank and open  
4 about their advocacy for their position and encourage  
5 parties to be very frank about the views of the other  
6 panelists that they may agree with or may not agree with.  
7 That really helps us ascertain some directions that we may  
8 want to move forward on in this real important industry.

9 As you know, it's been under a lot of stress  
10 lately, both on price and on deliverability, because it's  
11 such an attractive product to customers. So, we want to  
12 make sure that as the regulators we're keeping pace with the  
13 changes that we need to make. So, please know that our  
14 minds are open. We've tried to set up panels that are very  
15 diverse, and represent some views. And I think as staff  
16 appropriately ask some nicely provocative questions setting  
17 up this conference that I hope everybody will tee off today.

18 We're here. We're very interested. Suedeen will  
19 be here in just a second. We look forward to a very  
20 enjoyable and informative day. Thanks, Berne.

21 MR. MOSLEY: Thank you, Chairman.

22 COMMISSIONER KELLIHER: I just wanted to follow  
23 up on what Chairman Woods said: that these meetings, the  
24 State of the Gas Meetings, are not just gabfests. They have  
25 resulted in concrete policy changes in the past, and that's

1 going to be the case today. The Commission is concerned  
2 about price volatility and promoting expanded storage  
3 capacity and more efficient use of capacity will help. So,  
4 some of our policies goes back. The equitable policy goes  
5 back to 1986, and its origins go back to the '70s. It seems  
6 storage is being used differently, and it is appropriate to  
7 look at changes in policy to reflect the different use of  
8 gas storage capacity. So, I look forward to the conference.  
9 Thank you.

10 MR. MOSLEY: Thank you. To introduce our keynote  
11 speaker, I'm sure most of you know him. He was appointed to  
12 the Public Utilities Commission of Ohio in February 1998 and  
13 reappointed in March 2003. He was appointed by the U.S.  
14 Secretary of Energy, Spencer Abraham, to serve on the  
15 National Petroleum Council you heard about earlier. He  
16 serves on the State of Ohio Security Task Force, and was the  
17 coordinator for the Ohio Y2K Reliability efforts. He's  
18 chairman of the National Association of Regulatory  
19 Commissioners' Gas Committee, and serves on the NARU Ad Hoc  
20 Committee on Electric Restructuring and the Ad Hoc Committee  
21 on Critical Infrastructure. He serves on the Gas Technology  
22 Institute's Public Interest Advisory Council. He's also the  
23 official representative for Ohio to the Interstate Oil and  
24 Gas Compact Commission, where he serves as vice chairman.  
25 Chairman of Energy Resources Research and Technology

1 Committee. Chairman of the Pipeline Infrastructure Task  
2 Force, and vice chairman of the Legal and Regulatory Affairs  
3 Committee. Please welcome Commissioner Donald Mason.

4 KEYNOTE REMARKS

5 COMMISSIONER MASON: Good morning. It's a  
6 pleasure to speak to everyone this morning. As I indicated,  
7 my name is Don Mason, Commissioner of the Public Utilities  
8 Commission of Ohio, and Chairman of the Gas Committee of  
9 NARUC.

10 NARUC appreciates the opportunity to provide  
11 comment to this technical conference, as we have at other  
12 conferences.

13 As Chairman of the NARUC Committee on Gas, I wish  
14 to thank the Commission for the opportunity to make these  
15 remarks on important natural gas issues. NARUC appreciates  
16 the Commission's endeavors to highlight the importance of a  
17 robust natural gas market through its initiatives regarding  
18 enhancing reliable gas price reporting, enhanced storage  
19 reporting, as examined by the technical conference two weeks  
20 ago, and continued investment in the infrastructure,  
21 particularly storage, which is the focus of today's  
22 conference.

23 First, I would like to begin with the observation  
24 that there should be recognition of the importance of a  
25 healthy natural gas market, particularly in light of the

1 increasing interdependence of natural gas and electricity  
2 markets, including potential impacts of higher natural gas  
3 prices on electricity rates. There has been an increasing  
4 gap between natural gas demand and domestic production,  
5 resulting in American natural gas prices being among the  
6 highest in the world. The recent rise in natural gas prices  
7 raises concerns for all industry participants--producers,  
8 suppliers, marketers, and especially consumers.

9 In addition to high prices, volatility is another  
10 significant challenge facing the natural gas industry and  
11 its customers. Market pressure will continue because of  
12 continued growth in natural demand and limited growth in  
13 natural gas supply.

14 Government policies that foster increased  
15 supplies of natural gas could benefit consumers by exerting  
16 downward pressure on natural gas prices. Those government  
17 policies that foster the development of a balanced natural  
18 gas portfolio could benefit consumers by providing greater  
19 price certainty. Such a balanced portfolio should include  
20 and could include elements of on system and off system gas  
21 storage.

22 Another key challenge to energy availability is  
23 an adequate natural gas pipeline and distribution system to  
24 provide for the ever-increasing demand across the country.  
25 Increased storage and pipeline development as part of a

1 total energy plan are positive response to these challenges.  
2 Federal and state regulators can help in this regard by  
3 promoting initiatives for the development of gas storage and  
4 pipeline facilities. As this Commission's underground  
5 natural gas storage for pipe found, the market's method for  
6 evaluations of storage and the relation to the cost of new  
7 development is a factor hindering development of natural gas  
8 projects. The reports concludes long-term market price  
9 signals appear to be weak for new storage development. I  
10 would add that the development of gas storage is hindered,  
11 in part, by the marketplace, because some of its  
12 participants dislike long-term capital investments without  
13 large returns. I believe the Federal Government should  
14 study the incentives necessary to create investment in  
15 storage fields, whether it is in salt caverns or facilities  
16 closer to the end user.

17 We have discussed incentives to construct  
18 pipelines in the past. Future discussions will focus on the  
19 type of incentives necessary to encourage investments in  
20 storage and pipeline facilities necessary for future  
21 development.

22 In addition, unnecessary regulatory burdens  
23 should be examined and eliminated.

24 Finally, for the use of creative approaches to  
25 encourage storage development, such as alternative price

1 methods that recognize the levels of risk. In my work as  
2 the outgoing Chairman, we have supported gas regulation by  
3 the states. Differences in geology, climate, and economic  
4 factors can be adequately considered at the state level. In  
5 this regard, the one size fits all nature of some Federal  
6 laws and regulations cannot efficiently deal with the  
7 diversity of individual states and will act to discourage  
8 domestic production.

9 I encourage the various state governments to  
10 support natural gas production in their respective states.  
11 For example, according to the Energy Information Agency,  
12 EIA, the northern and central Appalachian region, which  
13 includes Kentucky, Maryland, New York, Ohio, Pennsylvania,  
14 Virginia, West Virginia, offer just over 10 TCF of proven  
15 conventional gas reserves. Yet, EIA and the U.S. Geological  
16 Survey indicate that there's another 13 TCF of additional  
17 recoverable reserve in this area dual to coal bed methane  
18 alone. It should be recognized, by the way, that coal bed  
19 methane is important because it provides eight to 10 percent  
20 of our nation's domestic supply production.

21 Another 20 plus TCF may be recoverable from the  
22 black shales of this region. I'm referring to the  
23 Appalachians. These estimates do not include the deeper  
24 potential of risk base for recent discoveries in the Trenton  
25 Black River have shown huge reserves, and these huge

1 reserves lie very close to the ports of consumption, the  
2 northeast.

3 Support for research may help delineate and fully  
4 characterize these resources as needed, as well as  
5 incentives for bringing production to market. In my  
6 capacity as NARUC's Gas Committee Chair and as a state  
7 regulator, I encourage state commissions and other policy  
8 makers to export the expansion of gas storage and pipeline  
9 facilities in their regions. Wide support of gas storage  
10 and pipeline development is the best -- what is the best  
11 approach will certainly depend on regional and local issues,  
12 preferences, and conditions in order to tailor them to each  
13 specific state goal and needs. As states and regions adopt  
14 these initiatives, regulators and industry together can  
15 combat high natural gas prices and gas price volatility in  
16 their respective regions, resulting in benefits for our  
17 industry and especially to the consumers.

18 In conclusion, both Federal and state treasuries  
19 benefit substantially from helping the natural gas industry;  
20 thereby, the government's share of developing and  
21 implementing incentive programs to encourage domestic gas  
22 exploration and production, as well as worthy infrastructure  
23 development.

24 I want to thank you again for this opportunity to  
25 represent the regulators across our country.

1                   MR. MOSLEY: Thank you, Don. I really appreciate  
2 your remarks. Mr. Chairman, Commissioners, do you have any  
3 questions for Commissioner Mason?

4                   (No response.)

5                   COMMENTS ON STAFF REPORT AND STORAGE DEVELOPMENT POLICY

6                   MR. MOSLEY: Thank you very much.

7                   Now, we're beginning to move to the first panel  
8 session. I should probably quickly introduce staff here, so  
9 you'll know who we are when we speak. We all have name  
10 tents but some of you in the back can't quite see. Start it  
11 with Rich Foley, N.G. Schall, Tom Pinkston from OMOI,  
12 Jacqueline Holmes from OGC Projects, Ed Murrell from OMTR,  
13 Steve Harvey from OMOI. As I mentioned, I'm Berne Mosley,  
14 Director of Pipeline Certificates. We have John Carlson,  
15 OMTRA's West, Bob Flanders, OMOI Energy, Paula Crunkilton,  
16 and had some representatives from the Chairman and  
17 Commissioner's Office. We have Andrew Soto. We have Miles  
18 Nichols. We have Maria Vouras.

19                   Just a quick note. Before we call this panel, I  
20 would like to remind everyone, both in the Q&A session and  
21 in the panel discussions, not to, of course, discuss any  
22 pending cases that we have here at the Commission. If the  
23 first panel can please come up to the table.

24                   (Pause.)

25                   I'd like to introduce the panel. I'm ready to

1 introduce them in the order in which they will speak. I'll  
2 begin with Richard Daniel, President of EnCana Gas Storage.  
3 Matt Morrow, President of ENSTOR. Ryan O'Neal, Vice  
4 President for Development, Sempra Energy. Jim Bow, from  
5 Dewey Ballantine and Red Lake Gas Storage. Mark Cooke,  
6 Principal from SGR Holdings. Don Zinko, Vice President of  
7 Business Development of Western Pipelines and EP&G Marketing  
8 and substituting for Carl Levander. Sharon Wika.

9 Mr. Daniel, if you'd like to start.

10 MR. DANIEL: Thank you. My name is Rick Daniel,  
11 President of EnCana Gas Storage, Inc., a subsidiary. Our  
12 interest in that session is obviously that of an independent  
13 gas storage operator and development, but also that of one  
14 of North America's largest gas producers, which has a vital  
15 interest in a growing and efficient gas market and a  
16 dependable infrastructure. It was almost exactly one year  
17 ago today I think that I was in this room with the National  
18 Petroleum Council presenting to the Commission the  
19 conclusions of the storage section of the 2002 NTC report.  
20 I think the quality of the discussion on storage issues  
21 within the industry has improved quite a bit in the 12  
22 months since then. Certainly, the Commission's staff report  
23 are further positive steps in the process. Hopefully, we'll  
24 all leave here today with more additional insights on this  
25 already complex part of the gas industry.

1                   For my part, I want to use my few minutes at the  
2                   mike to try to expand a little bit on the concept of  
3                   effective storage capacity, which we addressed in our  
4                   written remarks. I've also just a few very brief comments  
5                   on some policy issues. How much storage capacity or working  
6                   gas capacity do we have in the U.S.? That's the really  
7                   difficult question. It sounds like a simple question that  
8                   should have a simple answer. But it isn't. As the staff  
9                   report clearly outlines not only is there no agreement on  
10                  the correct answer, but there's an astonishing range of  
11                  answers given the EIA estimates 4.4 to 4.7 TCF. The Office  
12                  of Fossil Energy, about 3.9 TCF of working gas capacity, and  
13                  the staff report says they estimate 3.5 TCF of a practical  
14                  working gas capacity and another 200 to 500 BCF of potential  
15                  that could be reengineered and used.

16                  What does the 3.5 TCF of practical capacity  
17                  really mean? Perhaps it's intended to be the same as what I  
18                  define as effective working gas capacity in our written  
19                  summation. I define that as the amount of gas inventory  
20                  that can be practically built up during an injection season  
21                  and depleted during one withdrawal season. That's what I'm  
22                  defining as effective working gas capacity. To be  
23                  effective, it has to be accessible under reasonably  
24                  foreseeable market conditions, so capacity, which is in the  
25                  wrong location or which can only be fully utilized under

1 implausible assumptions on the timing of the market's demand  
2 for injection and withdrawal capability, does not really  
3 affect the capacity.

4           When the staff reports says there's three and  
5 one-half TCF of working gas capacity, what does it really  
6 entail? Is it simply saying that we can build stated  
7 working gas or inventory levels to 3.5 TCF? That seems like  
8 a reasonable estimate after all. It looks like we've built  
9 over 3.3 TCF this year. And, although getting another 200  
10 BCF in might have been a challenge, it is not unreasonable  
11 to assume that it can be done. But to meet my definition of  
12 effective working gas capacity, we would also need to be  
13 able to draw inventories down to zero to say that you had  
14 working gas capacity of 3.5 TCF to draw down to zero if  
15 required by winter demand.

16           To put things in perspective, it wasn't until the  
17 mid 1990's that we demonstrated an ability to cycle even  
18 more than two TCF in a year. And it's only been in two  
19 years very recently, the year 2001 and the year 2002 to '3,  
20 that we approached two and one-half TCF injected and  
21 withdrawn. Two and a half TCF. And those two years extreme  
22 seasonal price differentials that occurred as, of course,  
23 the end of the injection season and again at the end of the  
24 withdrawal season suggested that there was an unmet demand  
25 to store and withdrawal more gas. There would certainly be

1 price incentives to store more gas in more of the areas if  
2 you could have. So, the price variability in those years,  
3 combined with anecdotal evidence from discussions of other  
4 storage operators, leads us at least to conclude that the  
5 growth in the gas market and the growing seasonality and  
6 weather sensitivity of the market are pushing us closer to  
7 the limitations of the current infrastructure, even in  
8 trying to store and withdraw two and half TFF.

9 Unfortunately, there is no easy way to estimate what I'm  
10 calling effective capacity for one facility, let alone for  
11 the industry as a whole, because it is based not just on the  
12 physical capabilities of the facilities, but on how these  
13 facilities relate to the market. All we can do is observe  
14 how the market reacts for the next few years as we try to  
15 store and withdraw larger quantities of gas. I freely admit  
16 that there are plausible alternative interpretations of this  
17 data which could lead to higher estimates of effective  
18 working gas capacity and which might suggest that we can  
19 handle significantly more than the two and a half TCF we  
20 have cycled in recent years.

21                   Unfortunately, we may not get a better handle on  
22 this until the system is severely tested.

23                   In the meantime, in the face of these  
24 uncertainties, it would be prudent regulatory policy to  
25 encourage, but not to mandate, the development of additional

1 capacity to ensure that there are no unnecessary obstacles  
2 to the development of new capacity and to the optimization  
3 of the capacity already in place, while allowing the  
4 decisions on when, where, and how much capacity is developed  
5 to be made by the market actions of storage customers and  
6 storage developers. In particular, one proposal put forward  
7 in the notice for this conference that of allowing regulated  
8 cost recovery for the creation of an uncommitted reserve  
9 margin should be rejected as counterproductive. I know that  
10 this will be the subject of more detailed discussion by the  
11 next panel, but allow me to just very briefly state EnCana's  
12 reasons for opposing the concept.

13 I know, from years of developing storage capacity  
14 and marketing storage capacity, just how difficult it is to  
15 determine where to build capacity and what injection and  
16 withdrawal profiles to build that will meet the needs of  
17 customers now and in the future, capacity which the  
18 customers can access in a manner that meets their load  
19 profiles. It's a complexity that can best be resolved  
20 through detailed discussions between customers and  
21 developers, leading to some combination of customer  
22 commitments to a multi-year contract and or a degree of at-  
23 risk capital committed by a developer. Trying to decide  
24 these issues through the regulatory process in the absence  
25 of that sort of market discipline is likely to result in the

1 construction of capacity that meets nobody's needs,  
2 essentially stranded capacity. What the market needs is  
3 more effective capacity, not more capacity on paper. You  
4 might ask why not do it all? Why not encourage at-risk  
5 independent storage development, encourage approval, approve  
6 the expansions of customer service capacity, supported by  
7 market commitments, and approve construction of uncommitted  
8 reserve capacity. Why not do it all?

9           Unfortunately, you can't have it both ways. The  
10 first way to kill incentives for storage customers and  
11 storage developers that meet commitments to developing new  
12 capacity is to see just that once they have built the new  
13 capacity, you may encourage a competitor, perhaps the  
14 pipeline to which your facility is connected, to build  
15 excess capacity at no shareholder risk. You can't ride  
16 these two horses at the same time.

17           We encourage the Commission to clearly from a  
18 pro-market policy on storage development, and then as an  
19 industry we can get on with developing and optimizing  
20 facilities to increase our effective working gas capacity.  
21 Thank you.

22           MR. MOSLEY: Thank you, Rick. I would like  
23 everyone to save their questions for Rick until after we've  
24 gone through all of the panel members. Then, you can ask a  
25 particular panel member a question about his or her

1 presentation.

2 Next we have Matt Morrow from ENSTOR.

3 MR. MORROW: Good morning. I'm Matt Morrow, the  
4 President of ENSTOR Operating Company.

5 I'd like to start by thanking the Commission for  
6 scheduling this conference and giving us the opportunity to  
7 speak on several topics, including the development and  
8 ongoing commercial operations of natural gas storage. For  
9 those unfamiliar with ENSTOR, we're an independent natural  
10 gas storage company. We have operating facilities in  
11 Alberta, Canada, and Cady, Texas, one of which, Cady, was  
12 actually granted market-based rates this past year.

13 In addition to these facilities, we're currently  
14 considering development of several regions across North  
15 America, and planning to triple the size of this business  
16 over the next 10 years. ENSTOR has -- got a power company --  
17 -- our business model is based on the idea of creating a hub  
18 by offering services that facilitate the trading of natural  
19 gas and develop liquidity in the market. ENSTOR offers  
20 several services, from storage parking, loaning, wheeling,  
21 title tracking, all of which are designed to help create  
22 liquidity. The one thing we do not do is engage in the  
23 buying and selling of natural gas. We believe the service  
24 providers should only provide services.

25 I plan to discuss three topics this morning: the

1 role of the independent storage operator plays in the  
2 marketplace and the regulatory obstacles they face; the role  
3 Cana (sp?) should play in helping to promote creative  
4 storage services and additional storage development; and why  
5 first traditional tests are authorizing market-based rates  
6 may no longer be appropriate for storage providers generally  
7 and for independent gas storage providers specifically.

8           Independent storage developers have played a key  
9 role over the last decade, adding over 75 percent of the  
10 incremental storage capacity to the system. They have  
11 developed new and innovative services, have risked their  
12 capital. They've stepped up to satisfy the customer. Price  
13 volatility concerns, as the FERC staff report correctly  
14 noted, the need for additional gas storage is becoming more  
15 evident, with long-term natural gas prices hitting all-time  
16 highs, volatility increasing, and North America, for the  
17 first time, becoming more reliant on foreign services of  
18 supply such as LNG. An estimate 35 to 50 BCF of new storage  
19 capacity need to be added per year to keep pace with the  
20 fluctuating demand for natural gas.

21           It appears that independent storage operators  
22 will continue to be needed to accommodate the forecasted  
23 increases in the future. When evaluating the list of  
24 proposed projects, independents make up an overwhelming  
25 majority.

1                   ENSTOR and other independent developers face  
2 significant obstacles. We have increased development costs,  
3 a lack of long-term contractual commitments, and other  
4 regulatory constraints.

5                   Unless and until such policies are changed or  
6 market risks are otherwise mitigated, customers will be  
7 continually and unnecessarily denied the benefits of natural  
8 gas storage. I mentioned increased development costs.  
9 Costs are on the rise with natural gas prices being above \$6  
10 for the summertime. The cost of cushion gas has  
11 skyrocketed. To exacerbate that problem, the price of steel  
12 has gone up over 150 percent over the last six months alone.  
13 That, in turn, has increased the cost of line pipe  
14 compressors, valves, tubulars, all of which are very  
15 important for the development of storage. I understand this  
16 is out of the Commission's control, but I wanted to at least  
17 identify it as an issue that we're facing.

18                   Lack of long-term contractual commitments. This  
19 issue has been around for a long time for independent  
20 natural gas storage developers. It's been around for really  
21 over a decade. It's really been accentuated with the  
22 collapse of the mega marketer. Independent storage  
23 operators like ENSTOR have managed to mitigate such risks  
24 with one- to three-year contracts, and with the availability  
25 of market-based rates. As the value of storage has varied

1 widely, it's gone from \$0.20 to over a dollar and back forth  
2 over the last 10 years. The need for market-based rates has  
3 proven itself time and time again.

4 Operators like ENSTOR must have the rate  
5 flexibility to charge higher rates at periods of high demand  
6 and lower rates in periods of low demand in order to justify  
7 the project's long-term economics. Otherwise, investment  
8 capital will be redeployed.

9 ENSTOR and other independents also face  
10 significant hurdles in development due to their dependence  
11 on connecting pipelines. Storage customers are rarely  
12 located near the facility itself. An effective storage  
13 service depends on the availability of adequate  
14 transportation.

15 As I mentioned, we as a storage operator do not  
16 buy the gas. We do not sell the gas. Thus, we do not have  
17 title to the gas. Unfortunately, the Commission's open  
18 access requirements would not apply to the independent  
19 storage operator due to the shipper must have title rule,  
20 which many times precludes us from being able to provide  
21 services to a customer where they're most needed. This  
22 makes the independent operator dependent on interstate  
23 pipelines and puts us at a disadvantage.

24 Moving on to the second topic of hub services.  
25 Natural gas storage facilities are storage hubs that have

1       been helping create liquidity since their inception in the  
2       early '90s. They provided services that I mentioned, like  
3       parking, loaning, wheeling, title tracking, all the time to  
4       bring as many counter parties to the table and to make  
5       trading as easy to do as possible. So, and still we'd like  
6       to see the hub services model expanded that meets for its  
7       support to make this happen.

8               Specifically, we'd like the Commission to  
9       consider granting storage operators the ability to enter  
10      into transportation and storage arrangements with third-  
11      party pipeline and storage companies so that entities like  
12      ENSTOR can compete fairly with larger interstates and with  
13      the natural gas marketers and traders who compete with us in  
14      the grey market. These types of services are unprecedented  
15      and would likely require waivers of the Commission's shipper  
16      must have title and the capacity release rules. However, by  
17      leveling the playing field and eliminating the advantages of  
18      affiliated storage operators have, adoption of such a pro-  
19      market policy will allow independents to begin introducing  
20      innovative services and will clearly make the transportation  
21      grid more efficient and more responsive to the needs of  
22      customers.

23              ENSTOR offers two such products, both of which  
24      are described a bit more fully on a slide. The first  
25      requires storage capacity with interconnected pipelines that

1 utilize that capacity in junction with stored facilities to  
2 offer the services to LDCs, power plants, industrials at  
3 their location.

4 The second hub-to-hub transfers would allow  
5 customers to inject ES in storage facility A and withdraw it  
6 from a different one. For example, inject gas in Texas and  
7 pour it out in Ohio. The storage rights at both locations  
8 and with minimal transportation required, the operator can  
9 move gas from point A to point B on a continual basis but  
10 offer the services to customers on an as needed basis.

11 Finally, concerning the market based rates. The  
12 proper assessment of market power for natural gas storage,  
13 ENSTOR would assert that new natural gas storage facilities  
14 are not able to exercise market power for two reasons. One,  
15 adding flexibility via adding a new storage facility  
16 decreases the likelihood that any party could exercise  
17 market power in the area. Number two and more importantly,  
18 the natural gas storage business precludes the operator from  
19 the ability to manipulate price. The first point which was  
20 mentioned in the Commission's staff report is that it seems  
21 counter intuitive that a party, particularly an independent,  
22 that gets customers more service choices and better gas pipe  
23 mitigation tools and new storage facilities could exercise  
24 market power, especially in regions that are already  
25 operating in an efficient manner. When considering that

1 point and adding to the fact that a natural gas storage  
2 business is by nature an optional service for the customer,  
3 and once the customer holds that option, to make delivery it  
4 seems unlikely that the storage facility itself could move  
5 prices upward. The fundamental differences between natural  
6 gas storage and transportation help to illustrate the point.  
7 Gas pipelines are designed to give a gas from point A to  
8 point B and withholding that capacity from the market has  
9 proven to drive prices up. Natural gas storage facilities  
10 to not have that same power. Storage is designed to hold  
11 gas and move it from one time period to another. A storage  
12 facility cannot hold back delivery of gas because the  
13 operator does not own the gas. If the capacity is unsold,  
14 the facility has no gas in it to make deliveries during peak  
15 times.

16 As noted above, pricing schemes short of market-  
17 based rates provide too little flexibility and shift too  
18 much risk to independent storage operators. For this  
19 reason, ENSTOR or just the Commission to seriously consider  
20 granting independent storage operators blanket market-based  
21 rate authorization subject to periodic review. The idea  
22 that cost-based rates are a necessary safeguard against the  
23 exercise of market power and market manipulations by natural  
24 gas storage operators is not well taken, and we believe not  
25 supported by the realities of the independent storage

1 business.

2 In closing, I'd like to reiterate the three  
3 points. ENSTOR believes the United States needs additional  
4 storage development to manage its natural gas system and its  
5 growing reliance on foreign supply. We believe to ensure  
6 the commercial viability of storage, FERC should allow and  
7 encourage innovative services and waive to no pools (sp?),  
8 like shipper must have title that are preventing independent  
9 storage operators from offering customers value-added  
10 products and from competing with larger interstate  
11 pipelines.

12 And finally to promote natural gas storage, FERC  
13 should endorse a general waiver for independent storage  
14 developers to be granted market-based rates.

15 Thank you for the chance to contribute. We look  
16 forward to working with you in the future.

17 MR. MOSLEY: Thank you, Matt. Next up is Ryan  
18 O'Neal from Sempra.

19 MR. O'NEAL: Thanks very much. Again, I want to  
20 just reiterate what I've heard previously. We appreciate  
21 the Commission's taking the time and interest in natural gas  
22 storage to take input from the market. This is the kind of  
23 event that actually helps foster sort of the growing  
24 business we're all trying to achieve.

25 Sempra Energy is a Fortune 500 energy service

1 company. In '03, we had about \$8 billion in revenue.  
2 Sempra Energy, International, one of the subsidiaries that I  
3 work for, is involved with transportation, storage, and  
4 distribution of natural gas throughout North America and  
5 Latin America. At Sempra, we have several pipeline storage  
6 projects. Here in the U.S., as well as in Mexico, we have  
7 one operating facility--one on permitting and one that we  
8 hope to file soon. And we've looked at storage throughout  
9 the U.S. in areas where there is active storage, and where  
10 there's actually none at the moment.

11 One of the things that's driving us as we look at  
12 the market is with the coming LNG wave, if you will, we  
13 believe that storage is going to be in higher demand, and we  
14 think that storage opportunities are going to increase.  
15 That's one of the reasons that we're so bullish on the  
16 market itself.

17 Looking at some of the background that's gotten  
18 us to where we are today. One of the things that we've  
19 looked at is that FERC has been using the pipeline model and  
20 trying to apply that to the storage concept, and I really  
21 don't think it's a fit. We're talking about a paradigm  
22 shift that's occurring where a new approach is going to be  
23 needed in order to try to regulate if you want to go down  
24 that path, regulate the storage market. As we say,  
25 pipelines are contracting on a long-term basis as the owner

1 of assets and the pipeline market. It's quite different to  
2 look at 10 to 20, 25-year contracts, as opposed to the  
3 storage market where we're looking anywhere from one to five  
4 years. And on average, maybe you're looking at three-year  
5 terms. So the risk profile that a storage project has is  
6 inherently different and much riskier than a pipeline.

7 Another thing you have is that the traditional  
8 cost of service rate mechanism does not allow a risk  
9 adjusted return that would warrant spending the kind of  
10 money if you were again given cost of service rates. And I  
11 think that the uncertainty that that has on storage  
12 developers in itself may drive developers not to look at  
13 storage in certain areas because why would you risk all of  
14 your capital in turn to be granted cost of service rates and  
15 the risks associated with doing that and not being able to  
16 actually earn the return that's commensurate with the risk.

17 The challenge all of us have is that storage  
18 operators need to be able to realize the value of the assets  
19 that they own in markets where there may be volatility. And  
20 without stating the obvious here, storage is very region  
21 specific. There are certain areas where there's a great  
22 deal storage competing today and there's others where  
23 there's a lot less. But the dynamics that drive the  
24 individual decision are very specific to the individual area  
25 or the area that's being evaluated.

1           I want to state that Sempra fully supports  
2 market-based rates and believes this is the best option for  
3 both the customer and the storage owner and developer. This  
4 provides customers with more options that exist today, and  
5 it provides them the ability to chose whether they want to  
6 take that storage service. On face value, new storage must  
7 be priced at or under the alternatives in the market in  
8 order to attract any new customers. It is a choice. As  
9 we've heard, customers have the option, this is not a  
10 required service. This is an ability for them to select or  
11 elect to take that service in areas where FERC may look at  
12 it and say there isn't existing storage in the market; and,  
13 therefore, you'll be able to exert market power. We had a  
14 hard time with that concept. I know we'll probably hear a  
15 little bit more about that coming up.

16           FERC ought to be able to apply a discretionary  
17 analysis in this example. Why would new storage available  
18 to the market be deemed to have power when the market's  
19 existing and functioning today without it. Then you take  
20 the next step is where there's a market that has a little  
21 bit of storage: maybe it has two or three facilities, and  
22 you want to introduce a fourth. How is it that that  
23 introduction would then fall under the HHI analysis that you  
24 had market power and not be able to charge market-based  
25 rates.

1           Again, I think there's a discretionary analysis  
2 that might have to be looked. But if you're introducing  
3 options to the market, I don't understand how that would be  
4 exercising control. I think the fallback to that is you  
5 still have ability to exercise or look at customers' rates  
6 and complaints on a just and reasonable basis going forward.

7           We really believe that there's almost no  
8 circumstance that you could come across where market-based  
9 rates would not apply. But in light of the uncertainty, and  
10 I know that the amount of Commission change that needs to be  
11 done in order to reach that goal. We'd like to at least  
12 talk about what options might be reasonable for the FERC to  
13 decide that market-based rates are not an option.

14           Specifically, in certain areas where that may be  
15 the case, we think the Commission's idea of increasing the  
16 return on equity, accelerated depreciation, are actually  
17 lengthening the time between review of the revenue studies  
18 and cost studies is a good start. That is certainly going  
19 to help incent the market at least with the idea of moving  
20 forward and looking at alternatives where you might actually  
21 end up with a cost of service rate. Looking at term  
22 differentiated rates or off-peak, as they're described here  
23 today, under the revenue rate cap, I don't think those on  
24 their own really do that much. I think you're sifting the  
25 way the money is made, and I think indirectly you may end up

1 kind of getting to the same point.

2 I do believe there's an alternative in between  
3 there which allows you to take some of the best of the term  
4 differentiated rate as well as the peak off peak concept and  
5 apply it in a slightly different manner. By doing that,  
6 what you could do is offer a storage service provider that's  
7 looking at signing a term contract. It's where someone  
8 wants to sign a contract under a one-year term to have  
9 market-based rates. For those that want to sign something  
10 longer term, the option's available. No one is making the  
11 customer sign a short-term contract. No one is forcing to  
12 sign up for any service at all. But it allows the storage  
13 operator to charge market-based rates when the market  
14 allows. And if it's something that the marketer or the  
15 person trying to buy the storage isn't desiring, where would  
16 be the harm?

17 In particular, these short-term contracts do not  
18 offer the long-term support for project fundamentals. They  
19 are also not going to probably be looked at by financiers as  
20 being reliable sources of income. Therefore, they'd be more  
21 speculative in nature. Short-term contracts, by nature, are  
22 probably looking to capture a spread basis that it's just  
23 like there's in the market today of \$1.80. For all these  
24 reasons, we believe, this is a kind of approach that could  
25 sort of shift the way things are looked at, provide an

1 alternative where cost of service may be necessary, because  
2 the Commission can't get around sort of its own rules, but  
3 give incentives to the market to actually go after it. We  
4 believe it provides long-term customers with little to no  
5 storage, and a viable alternative where you're still  
6 allowing the developer the opportunity to earn additional  
7 revenue.

8 In summary, we feel that storage projects have  
9 inherently more risk than is probably being granted in the  
10 cost of service rates, and the way it's being laid out. We  
11 believe market-based rates are the most desirable outcome  
12 for all involved. Remember: storage is a choice. It's an  
13 option for parties. It's not a requirement, as we've heard.  
14 We also believe where market-based rates are not granted, we  
15 should be increasing a return on equity or we should allow  
16 some flexibility in the way that shorter-term contracts are  
17 actually signed and negotiated. Also, just in sort of  
18 summary, while I'm sitting here, for Sempra International,  
19 and I do not represent SoCal Gas, and I don't represent San  
20 Diego Gas and Electric, so I have nothing to do with the  
21 utilities inside of California, but I do appreciate the  
22 opportunity to speak with you here today.

23 MR. MOSLEY: Thank you. Jim Bowe? Good morning.  
24 Jim Bowe with Dewey Ballantine, LLP, representing on this  
25 panel Red Lake Gas Storage Limited Partnership.

1                   MR. BOWE: I'd like to thank the Chairman,  
2                   Commissioners, and all the staff members for putting this  
3                   program together, and especially -- Red Lake Gas Storage is  
4                   a project that's probably better known than most projects,  
5                   but that have not yet come to fruition. It is, as I think  
6                   most people here know, a project company whose application  
7                   for a certificate was denied or dismissed I should say upon  
8                   FERC's denial of market-based rate authorization to the  
9                   project. This, despite a preliminary determination, that  
10                  the project would serve a market need and otherwise would be  
11                  consistent with the public convenience and necessity. With  
12                  two FERC orders denying market-based rate authority, plus  
13                  the difficulties in the market that are well known to  
14                  everyone here, including difficulties that have affected  
15                  Aquila, Red Lake's current owner, you might say that Red  
16                  Lake is down three games at this point.

17                                 (Laughter.)

18                  MR. BOWE: But I'm here to say that being down  
19                  three games is no longer outcome determinant.

20                                 (Laughter.)

21                  MR. BOWE: And Red Lakes' year may be here, if  
22                  not this year, then next year, depending on what the  
23                  Commission does as a result of this conference. This really  
24                  takes me to my first point, which will also be my last  
25                  point. We need action to come out of this conference. I

1 was pleased to hear Chairman Wood and Commissioner Kelliher  
2 mention that these sorts of proceedings can sometimes result  
3 in Commission policy changes. I was particularly pleased to  
4 hear Commissioner Kelliher say that perhaps it should result  
5 in a policy change, and I urge the Commission to come away  
6 from this conference and the aftermath, which will  
7 undoubtedly involve lots of paper, with a real resolution to  
8 move forward on any policy that provides some certainty in a  
9 market which desperately needs it. I will come back to that  
10 point at the conclusion of my comments.

11 My second point is not a surprise. It's going to  
12 be violently agreed by everyone I think on this panel and  
13 that is that FERC must adopt more flexible procedures for  
14 evaluating requests for market-based rates put forward at  
15 least by independent or what I would call merchant gas  
16 storage providers who are going to be new entrants into the  
17 storage markets.

18 As we have said in written comments that we  
19 submitted in this proceeding, the Commission needs to  
20 conclude that, as a matter of general policy, new merchant  
21 gas storage entrants should be permitted to charge market-  
22 based rates. The Commission has legal authority to do that.  
23 I'm, I guess, the lawyer on the panel, the one that gets  
24 paid for being a lawyer on the panel, and I will come back  
25 to that point and provide some legal authority for that

1 proposition. But subject to a periodic review, perhaps some  
2 information filing requirements, and, of course, always  
3 subject to FERC's power to entertain complaints under  
4 Section 5 of the Natural Gas Act.

5 The Commission has the legal authority to permit  
6 the market to work. The staff report recognizes I think  
7 clearly that market-based rates are essential for merchant  
8 gas storage developers. And I think we've heard that from  
9 each of the panelists thus far. I know we'll hear it from  
10 the panels yet to come. I won't belabor the point. But  
11 storage operators need the ability to capture value as the  
12 market reflects value from time to time. Without this, few  
13 to zero developers will take on the enormous risks in a  
14 higher cost environment, such as Mr. Morrow mentioned of  
15 developing gas storage that is needed, whether you buy the  
16 Natural Petroleum Council Study, the INGAA study or  
17 something even more modest, such as the staff report. There  
18 is consensus across the board that additional storage is  
19 needed. Without the ability to capture the value that the  
20 market permits storage providers to capture from time to  
21 time through market-based rates, this development will be  
22 stunted if it happens at all. It's highly unlikely that  
23 without market-based rates, despite what I've said about  
24 being down three games, but with perhaps four to go, Red  
25 Lake will rise again. Red Lake must have market-based rates

1 for the opportunity for its developer to realize value that  
2 the market will permit from time to time in order to justify  
3 the enormous risk involved.

4 As matters now stand, FERC's somewhat mechanical  
5 assessment of market power is a major impediment certainly  
6 for projects in the position of Red Lake to move forward.  
7 That's true of any projects that might be proposed for areas  
8 where there's a concentrated storage market or where there  
9 is not much storage.

10 These days, performing the market power analysis  
11 that the Commission has adopted for gas storage is a pretty  
12 mechanical exercise. We already know what the answer is  
13 going to be in the production area. We know what the answer  
14 is going to be in initial development. We know probably  
15 that tests will be passed for new independent, relatively  
16 small storage developers in the Northeast. Why go through  
17 the exercise? We know what the outcome is going to be. We  
18 also know that no one is going to pass the market-based  
19 rates screen adopted from the merger guidelines in the West  
20 or the Southwest. The Commission needs to move beyond that.

21 The irony is that the market power screen that  
22 the Commission currently uses is easily passed where there's  
23 plenty of storage, arguably where there's diversity of  
24 storage and perhaps where there's no need for storage, and  
25 easily flunked where there is the greatest need for new

1 market entries. That strikes me as kind of intuitive, and  
2 it's now really a barrier to entry. It doesn't have to be  
3 this way. The current standards for evaluating applications  
4 for market-based rate authority based on the anti-trust  
5 merger guidelines are not inscribed on stone tablets. They  
6 were not brought down from the mountain. They are not the  
7 only means by which the Commission can lawfully look at the  
8 question of whether a base storage operator should be  
9 permitted to charge market-based rates. So, as a legal  
10 matter, the Commission is not bound to using the approach  
11 it's used so far. The Courts have recognized right up to  
12 the U.S. Supreme Court that the Commission is not obligated  
13 to follow any particular rate making formula. The Courts  
14 have affirmed that the Commission may approve market-based  
15 rates and may conclude that the market will operate to  
16 maintain rates at just at reasonable levels. It is entitled  
17 to engage in predictions that that is indeed going to be the  
18 case under the cases, and the Commission enjoys latitude in  
19 determining how to assure that rates will be limited to just  
20 and reasonable levels by market forces. I think the staff  
21 report recognizes this sort of common sense proposition. A  
22 new entrant, particularly one that does not control the  
23 existing transmission in a given market, clearly by its  
24 entry on day one increases competitive alternatives. Its  
25 entry is pro-competitive, and, as I think Mr. Neal has

1 already said on that day, a new entrant cannot have market  
2 power. Hell, we're looking for a market. How can we have  
3 power at the point at which we're begging customers to come  
4 sign up for us for our paltry one, two, three, five years,  
5 which is about as far as the market will go at this point.

6 On day one, there is no such thing as market  
7 power for a new independent market entrant in the storage  
8 business. Over time, could market power be developed?  
9 Maybe. I'm not clear that it could happen because, as has  
10 been pointed out, storage is an option. In the situations  
11 that we're describing, new independent market entrants not  
12 connected to an interstate pipeline, not controlling  
13 interstate pipeline capacity is an option, not a  
14 requirement. Let's assume for a moment that the Commission,  
15 as it must, has to watch for the possibility of the  
16 development of market power that could reduce the confidence  
17 that the Commission must have that the market will constrain  
18 rates. The Commission can take a number of routes toward  
19 assuring that the market-based rates continue to be  
20 constrained by the market to just and reasonable levels. As  
21 the 9th Circuit said in the California vs. FERC decision  
22 just recently, a periodic reporting requirement is an  
23 essential adjunct to the approval of market-based rates.  
24 This is true in the Federal Power Act, equally so in the  
25 Natural Gas Act. I take that as good news. The Commission

1 needs to be vigilant. If it is vigilant, though, as the  
2 Courts have held, the Commission is within its rights to  
3 allow a market to operate. Perhaps the Commission ought to  
4 require periodic reports as to level of contractual  
5 commitment at a gas storage facility. Up until the point at  
6 which it's fully contracted, I defy anyone, on a commonsense  
7 basis, to demonstrate that the facility has market power.  
8 There's still uncontracted capacity in the facility. That  
9 means that the market, not the storage provider, is going to  
10 determine what the prices for the services are going to be.  
11 Perhaps the Commission would look at the duration of  
12 contracts when a facility is fully contracted to ensure that  
13 the facility has not obtained the ability to dictate prices  
14 or terms. Perhaps the Commission ought to give credit to  
15 its own programs. The capacity-reduced program allow  
16 storage capacity to be sold in the secondary market.  
17 Reduced capacity can be a viable alternative to primary, if  
18 you will, capacity available in a storage facility. And the  
19 Commission, of course, always has the power under Section 5  
20 of the Natural Gas Act to entertain complaints where a  
21 market participant detects the possibility that a facility  
22 has market power. This has been established as far back as  
23 the Elizabethtown vs. FERC decision on market-based or  
24 pipeline merchant purchases on the electric side in  
25 Louisiana Energy and Power vs. FERC decision. The complaint

1 mechanism is a legally sufficient way to ensure that rates  
2 are held to just and reasonable levels by market forces.  
3 FERC needs to act now for the same reason it needed to act  
4 two years ago to sweep away some of the regulatory  
5 underbrush that was impeding the development of new LNG  
6 terminals. The decision in the Hackberry proceeding made it  
7 a whole lot easier for LNG terminal developers which the  
8 Commission may not regret given that there are now, what, 40  
9 proposals before it to move forward with the project.  
10 Merchant storage facilities look in a lot of ways like an  
11 LNG terminal. Perhaps they look more like an LNG terminal  
12 than they look like a long-line pipeline. For reasons that  
13 are outlined in the comments we filed, perhaps it's  
14 appropriate to look at merchant storage facilities in the  
15 same way as the Commission has looked at LNG facilities:  
16 look at them as new market entrants, providing additional  
17 options to customers. No customers are obligated to sign up  
18 for service with these facilities. So, the Commission  
19 should, as it decided in the Hackberry decision, take steps  
20 to ensure that its policy is not impeding investment.

21 My second point, very briefly, is that if for  
22 some reason, the Commission doesn't agree with me, and I  
23 can't think of a reason right now why it should not--

24 (Laughter.)

25 MR. BOWE: And cannot approve market-based rates

1 for that occasional poor storage facility that cannot show  
2 the market will constrain its rates to just and reasonable  
3 levels, I again can't imagine what that would be. But if  
4 the Commission cannot see its way clear to approving market-  
5 based rates, it needs to make clear that its negotiated rate  
6 policy does not preclude the use of commodity pricing in gas  
7 storage negotiated rates. That is to say, the Commission  
8 must step back from the implication that was left in its  
9 modification of the negotiated rates policy that it's just  
10 plain no good to reference commodity prices in the pricing  
11 of gas storage facilities. After all, storage exists really  
12 primarily for the purpose of delayed delivery of the  
13 commodity. The price of the gas going in and the price of  
14 the gas coming out are the fundamental determinants of how  
15 valuable the storage is. The Commission's policy needs to  
16 be clarified so that no one comes away with the impression  
17 that it is not permissible for a storage provider providing  
18 negotiated rate services to base the pricing of those  
19 services on the pricing of gas at various points, at  
20 different times.

21 My final point is the Commission needs to act.  
22 Coming out of this proceeding, we need a policy statement  
23 yesterday, but certainly by the end of the year or so, so  
24 that projects like the Red Lake project can have some  
25 certainty as to what is going to happen going down the line.

1 So I fervently hope that the comment that the Chairman and  
2 Commissioner Kelliher made at the outset are, indeed,  
3 indicative of the Commission's interest in moving forward.  
4 In light of the uncertainties in the market, and certainly  
5 the Red Gas Storage project desperately needs.

6 MR. MOSLEY: Will you file for Red Sox Lake  
7 Storage?

8 (Laughter.)

9 MR. BOWE: Mr. Chairman, I was tempted to make  
10 that pun, but I resisted. Thank you for doing it for me.  
11 The answer to that question, of course, as I said before, it  
12 depends upon you.

13 MR. MOSLEY: Thank you, Jim. Next up is Mark  
14 Cook from SGR Holdings.

15 MR. COOK: Thank you. My name is Mark Cook. I  
16 work with SGR Holdings, developing a permit for Southern  
17 Pines Energy Center in Green County, Mississippi, that will  
18 be a new storage entrant into the marketplace. I'd like to  
19 take the opportunity to thank the FERC for allowing us to  
20 come speak here today, and comment on the storage policy  
21 review, and I'd also tell you that we recognize and  
22 appreciate the effort put into the report that was produced  
23 and the work that pulled these people together and had this  
24 meeting.

25 SGR believes that the current permitting process

1 that's involved in and that you asked for comment on works  
2 well, and doesn't present any unreasonable impediments to  
3 gas storage development. SGR also believes that market-  
4 based rates treatment should be the standard for all truly  
5 independent storage development, whether there are many,  
6 few, or none in a particular area. A lot of the points that  
7 support that have been made already. By allowing market-  
8 based rates to develop, you'll allow them access to a  
9 greater pool of debt and equity providers that will be  
10 allowed to earn the rate of return reflective of the true  
11 value of that storage facility, be it high or be it low, and  
12 it will encourage development where it's most needed in the  
13 country and most highly valued.

14 We also believe that some of the things may slow  
15 the development of storage in light of the total agreement  
16 and must industry for more storage that some markets or  
17 would-be storage customers are still receiving fairly  
18 locurious (sp?) balancing overruns, flexibility, waivers of  
19 penalties, receiving things from the pipelines on which they  
20 hold equity. The pipelines are still being very friendly  
21 for the most part today to their storage customers that paid  
22 them monthly for the demand charges. I think a lot of those  
23 services are beginning to dry up with the electric  
24 generation. The need for the short-term balancing that's  
25 occurring at points on the pipeline, but so far pipelines

1 have been very helpful to the customers that paid their  
2 costs to operate. And the true cost of providing these  
3 services to the customers is not clearly defined or  
4 identified or known or possibly even recovered. These type  
5 of entitlements tend to muddy the water in determining who  
6 should step up and provide storage contracts to further  
7 support storage development that will increase reliability  
8 and reduce volatility.

9 I think the utilities know these things, and  
10 they're reluctant to approach the PUC's request of new  
11 demand charges for storage if they can still work with the  
12 OBA's, work with pipelines, and the system that's currently  
13 in place has worked well, especially where there's not been  
14 storage before. They buy gas during peak times and pay  
15 whatever it needs to make sure that the burner tips stay on.  
16 When they've bought gas that's in excess of the demand they  
17 have, and they're able to dump it into the marketplace,  
18 somebody will take it a price. The status quo, as it exists  
19 today, has been an impediment to further storage development  
20 because that's the way have been. People are comfortable  
21 working within an environment that has been a servant for  
22 storage at its costs associated with it. I think that has  
23 also become an impediment to further development for people  
24 to step up and take contracts that support development of  
25 storage that would actually take the place more responsibly

1 by itself.

2 SGR believes that existing rate designs and rate  
3 levels based on outdated determinants are masking the true  
4 cost of maintaining reliability and flexibility. Shippers  
5 are reluctant to commit to storage service agreements that  
6 include incremental costs that they do not see explicitly in  
7 their current rates or may put them at risk for a full  
8 recovery within their states. SGR believes the most  
9 significant issue impeding storage development today on some  
10 pipelines is their rate design that discourages commitment  
11 to storage. Some examples are zone batteries that put  
12 storage facilities interconnecting a certain point at a  
13 competitive disadvantage with the pipelines on services  
14 rates for back whole segmented capacity, postage stamp  
15 rates, double dips on pools, and segments within the  
16 pipelines.

17 The rates for these service are either not  
18 available or excessive related to the costs actually  
19 associated with the provision of service. SGR has looked at  
20 places where pipelines have benefitted greatly from the  
21 interconnecting storage facility and injection withdrawals  
22 that can be made at those points and compressor fuel savings  
23 on the pipelines are to reduce the cost of maintenance of  
24 operating those pipelines and those compressors. But the  
25 rates that have been quoted for those areas are normally the

1 max rate for those zones. Also, storage can better serve  
2 the whole pipeline system more so than just the pipelines  
3 it's connected to. If pipelines can move gas on a short-  
4 haul basis and not through zone rates, for pipelines to  
5 interconnect with one another, you'd have to pay to get it  
6 there. You pay the full zone rate to go into storage.  
7 Sometimes you'll pay to come back out again to go to the  
8 market area in ways of creating or looking at the tariffs  
9 and pipelines work with the storage marketplace and the  
10 storage operators and the customers for those that could be  
11 creative in finding ways to making the storage more readily  
12 available to more of the marketplace and make it more market  
13 sensitive to the costs associated with doing that. Some  
14 zones are 500 or 600 miles long, and you may only move 30 or  
15 40 miles within that zone to go from a pipeline to a storage  
16 facility and back. We think the rates should reflect the  
17 actual usage of those instead of paying the full zone rate.  
18 Gas supplies tightening and LNG imports growing, the FERC  
19 needs to promote flexible design for pipelines that would  
20 encourage them to offer short-haul pipelines. Such short-  
21 haul service is needed to reduce the price or making  
22 deliveries of regasified LNG to and from storage facilities  
23 to levels more reflective of the relatively minor costs  
24 associated with the service involved. A more flexible  
25 approach to sustain short-haul transmission rates, including

1 short-haul back haul rates, would encourage the use of  
2 underutilized short-haul pipeline capacity and could  
3 discourage the duplication of facilities currently governing  
4 short-haul rates to encourage them admits to storage.  
5 Modifying these rate designs would promote efficiency in the  
6 pipeline grid to enhance competition in the marketplace.  
7 When I talked to Mr. Foley about coming to this meeting, he  
8 asked me to keep my comments to those items where the FERC  
9 really has jurisdiction, where the FERC really works, and,  
10 in closing, the two points where I think the FERC can be  
11 most beneficial the quickest is at approving market-based  
12 rates as a standard for truly independent natural gas  
13 storage facilities and new entrants and to -- that the FERC  
14 do further study and act within the pipeline tariff and the  
15 pipeline markets to encourage the pipeline industry and the  
16 tariffs to support further storage development in the  
17 marketplace.

18 Thank you.

19 MR. MOSLEY: Thank you, Mark. Next up is Don  
20 Zinko from El Paso.

21 MR. ZINKO: Thank you. I'd like to echo the  
22 other panelists in thanking the Commission for setting up  
23 this conference and allowing El Paso the opportunity to  
24 express its views on this important topic.

25 My discussion, you all should have a handout and

1 I'm going to follow it fairly specifically, but my  
2 discussion is more specific to some siting issues that we  
3 ran into on a particular project in Arizona. The project's  
4 name, and most of you have probably heard it, is Copper  
5 Eagle. I'd like to just discuss briefly what impediments we  
6 encountered in trying to develop this project and what the  
7 Commission might do to help us get these important projects  
8 developed. There's a map that shows storage of the United  
9 States, the various storage projects. In fact, this is a  
10 FERC map that was put out, but as you can see, especially in  
11 the more concentrated areas, there's more storage, most of  
12 the storage fields in the country are depleted oil and gas  
13 fields. There are some aquifer storage, and it's about  
14 seven percent I think, and there's probably seven or eight  
15 percent that are salt caverns. If you notice in Arizona,  
16 there's no storage at all in the state. One of the primary  
17 reasons is there's not much gas fields that can used as  
18 storage. There's some oil and gas production in the  
19 northern part of the state, but if you look at the Phoenix  
20 area, the high growth area that we're dealing with, there's  
21 just no depleted oil field or gas field to deal with.

22 If you flip to the next map, this is a map  
23 showing around the Phoenix area in Arizona the various salt  
24 domes which would be the primary geological structure for  
25 natural gas storage in that state. Of all of the known salt

1 areas shown on the map, I'd like to walk through why we  
2 picked Copper Eagle through the process of elimination. If  
3 you take away, the cross-hatched salts that we don't know  
4 much about and really we want to use. There's two types of  
5 salts: domal and bedded. The domal salts are much thicker,  
6 much higher strength for storage development. When you take  
7 away the bedded salts, you end up with two. One is the Red  
8 Lake Storage and the Lupe (sp?) Salt, which is right outside  
9 of Phoenix, to the west there, which is Copper Eagle,  
10 labeled on the map. What we need, though, is market area  
11 storage. What happens on a passive system? There's  
12 considerable power generation that's been added to the  
13 system over the last five years. We have considerable LDC  
14 load that swings. The power generators have a significant  
15 demand swing on the system. And although we have four to  
16 five pipelines depending on the area that run by the Phoenix  
17 area, it's line pack that basically meets these swings. And  
18 it's difficult to put gas on the system 600 miles away and  
19 get it there.

20 What we're looking at is storage that's very  
21 close to the market area, so when the line pack starts to be  
22 drawing down, we can instantaneously or very quickly replace  
23 that line pack. Likewise, when the load goes off and the  
24 line pack starts to build, we have a place for that gas to  
25 go that's not very far away. That's why we picked Copper

1 Eagle. The problem with it, it's right in the middle of the  
2 metropolitan Phoenix area or very close to it. We purchased  
3 this. It was under development. We have 455 acres of land  
4 on top of this. The next page I think gives you a better  
5 idea of why we put this particular salt dome. It's 10,000  
6 feet thick. How we would develop the cavern is shown on  
7 there, but as the note says, if this were drawn to scale,  
8 you couldn't see this. We would be 3,500 feet below the  
9 surface. We're looking at three caverns that would be about  
10 1,500 feet tall and about 200 feet in diameter.

11 Going on to just kind of some of the safety  
12 features that we're trying to develop in this. We're  
13 looking at 24 hours a day monitoring. The normal things  
14 that we would do under VO2 regulations, but we really went  
15 to some other areas because of the metropolitan area and the  
16 density around -- the populated density. We're looking at  
17 heavier wall pipe. We're looking at putting concrete.  
18 We're talking to Luke (sp?) Air Force Base about covering  
19 the pipe with concrete, installation of down hole safety  
20 valves, burying the pipe deeper. I'll show you diagrams  
21 later on. Putting the well heads in bunkers. But we're  
22 willing to work with the public in any way we could to make  
23 this safe.

24 The problems we ran into was misinformation  
25 coming out of the public which we couldn't counter. The

1 press would not pick up our side of it. Just to give you an  
2 example of some of the misconceptions that were out there,  
3 somebody said they did a gas dispersion model, and made the  
4 comment that if we had a leak in this storage field, in the  
5 pipeline, the dispersion of the gas would cover 2.8 miles.  
6 We did our own modeling just to give you the idea of the  
7 magnitude of this exaggeration that after three seconds, the  
8 gas is 300 feet high and it would cover the area of the  
9 shadow if you want to call it that. The gas plume would  
10 only be I think 2,500 feet, not miles. It's in feet. The  
11 other question that came up in the press was that if there  
12 was a temperature inversion, and a temperature inversion  
13 could hold the natural gas down at ground level. Our  
14 modeling showed that the temperature inversion would have to  
15 be 350 degrees Fahrenheit. The difference in the  
16 temperature, and we tried to explain these. We tried to  
17 deal with effects. We would make the storage field as safe  
18 as it could be made, and you can't guarantee that there will  
19 never be an incident. We can't guarantee we won't get hit  
20 with a meteor either.

21 We need market area storage. The problem before  
22 the Commission is we would like to see the Commission help  
23 us in developing a policy in educating the public like we've  
24 done with LNG. Chairman Wood, if I could read a quote from  
25 you, at least the way you were quoted in the trade journals

1       sometime back in May--

2                       (Laughter.)

3                       I think it was regarding LNG, and it says, the  
4       Commission is examining safety and environmental issues on  
5       how to deal with the anxiety about such projects,  
6       referencing LNG, because they're critical. We think market  
7       area storage, particularly in the Phoenix area is critical.  
8       If the Commission was out helping us, looking at the  
9       projects, you obviously have to approve any project we  
10      build, but just educating the public, you have much more  
11      credibility in that area than we as an energy company could  
12      have. That's I guess what I would like to ask the  
13      Commission to help us with. There are some addendums I'll  
14      leave with you. I'm not going to belabor them, but it shows  
15      our wellhead design. We have restraints submitted to the  
16      surface. There's one that shows how we would propose to  
17      build the wellheads in bunkers. Part of this came about  
18      because of the field's proximity to Luke Air Force Base,  
19      which is an Air Force training base, and the concern about  
20      if a fighter crashed. So, these were some of the things  
21      we're trying to work with the public and to make us feel  
22      safe. We couldn't get past a bad public press. That kind  
23      of ends my discussion. But we could really use your help in  
24      educating the public.

25                      MR. MOSLEY: Thank you, Don. Finally, we have

1 Carl Levander.

2 MR. LEVANDER: Thank you. My name is Carl  
3 Levander with Columbia Gas Transmission Corporation.  
4 Columbia is one of the pipeline subsidiaries of NiSource  
5 Corporation. I'm here perhaps in a slightly different  
6 perspective than the other members of the members that are  
7 here.

8 Columbia obviously operates a large pipeline and  
9 storage operation and serves predominantly LDC load. It has  
10 perhaps a different perspective on the market than the new  
11 entities you've been hearing from this morning.

12 Just a couple of quick statistics: Columbia  
13 operates 39 storage fields in West Virginia, New York,  
14 Pennsylvania, and Ohio containing about 246 BCF of working  
15 gas. That translates into about four and one-half BCF a day  
16 at peak day deliveries. What that does for us is really  
17 comprises about two-thirds of the peak day deliveries that  
18 Columbia makes to its market in the mid-Atlantic region. By  
19 and large, this sort of service is contracted by our LDC  
20 customers. What this does it essentially comprises the  
21 backbone of our service. The ability to deliver storage on  
22 demand is what makes no-notice work in the Columbia system.  
23 That's a fairly traditional cost-based service, offered to  
24 what you might call traditional sensitive types of markets.  
25 With that perspective, I do want to also bring forward the

1 point that our perspective on storage markets is  
2 predominantly looking at depleted rates for storage. You  
3 heard a lot about salt. That certainly is an active area of  
4 the market. But just to keep in mind, 86 percent of the  
5 storage in this country today is reflected in depleted  
6 reservoirs. That, in many cases, as ours, is contracted  
7 under a long-term or perhaps not as long-term as they used  
8 to be contracts with LDCs. And thank God, 73 percent of the  
9 capacity under contract to the pipelines is held by LDCs.

10 So, the perspective we bring to the market is  
11 serving the needs of heat sensitive loads by customers who  
12 are by and large regulated at the state level, and using us  
13 to provide their peak day delivery requirements for the  
14 market.

15 We echo what has been brought forward in many of  
16 the recent studies, including the staff paper, that there  
17 does need to be a significant amount of storage capacity  
18 added in this country. Certainly, quite a bit of it in the  
19 area in which we operate. One of the things we need to keep  
20 in mind is that storage doesn't equate to market delivery.  
21 Obviously, storage is a key component of serving markets,  
22 but you've got to look at where the market needs are. And  
23 there's all -- so the associated pipeline to get there, so a  
24 peak-day addition for us is really a combination of storage  
25 as well as building pipelines in the more traditional sense.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Getting to a couple of the areas of need for expanding storage. The staff paper accurately pointed out that the easiest way to expand storage is to optimize the existing assets and obviously if there's a reservoir that's there with the technologies that are -- drilling techniques and perhaps fairly minor changes in operations, it is possible to increase the deliverability of existing storage assets to serve market growth; and that certainly is the best place to start in terms of providing an economical product to the customers. We have done that in Columbia. In the late '90s, we had a market expansion project which added about \$400,000 a day in deliverability and added 23 BCF of working gas capacity without developing new storage fields. Effectively, it was looking at a way of enhancing the ability to use the storage assets that are out there. I would note at least from our perspective that while we still look at ways to create additional services and out of storage assets that we have, our experience is, and perhaps those of others who have historic storage, is a lot of that has been done at least at a major level. So, to get the significant levels of expansion projected to be needed, we're going to need to be building new storage assets. That's really the place we are right now.

In that regard, Columbia is in the process of

1 developing a storage project in the eastern panhandle of  
2 West Virginia referred to as the Hardy Storage Project.  
3 That would accomplish about 176,000 a day of additional  
4 deliveries into this market and add about 12 BCF of storage  
5 capacity. We're working through the FERC's process on that.  
6 We're taking advantage of the NEPA pre-filing process, and  
7 I'd like to echo points that have already been made by  
8 others that we do think that the permitting side of things  
9 from FERC's perspective is working well. We think that is  
10 enabling us to help bring this to market when we need it.

11 The other side of the equation, though, is  
12 looking at providing the commercial support for projects.  
13 And I think we have been fortunate in Hardy to be able to  
14 find customers willing to step up for a relatively long-term  
15 commitment. But I think the point that needs to be brought  
16 forward is in talking about the types of services that we're  
17 looking at. This isn't obviously something that limited to  
18 storage. There needs to be commitments, contractual  
19 commitments, that are made for sufficiently long-term in  
20 order to underpin the capital that's being employed to bring  
21 the project to market. And that needs to be with  
22 credibility customers obviously it's going to be there fore  
23 -- need to be there for the long run. That historically has  
24 been the LDCs from our standpoint, and a point that always  
25 bears mentioning is something that was brought up in the NPC

1 report: the fact that our customers need a regulatory  
2 environment in which they can enter into those sorts of  
3 commitments because that's what's going to be needed to  
4 actually bring more assets to the market at least for the  
5 products we are offering.

6 I would like to take the opportunity to comment  
7 on some of the proposals in the staff report. We thought  
8 there was some very useful items in there, and looking at  
9 the world through the cost of a service lens. I would like  
10 to speak to a couple of the rate-related issues that were in  
11 the staff's report.

12 The first item is rate of return. There were I  
13 think some helpful comments or questions of whether  
14 providing some enhancements in the ROE on regulated storage  
15 projects would provide financial incentives to develop  
16 additional storage. Obviously, the answer, from my  
17 perspective, is yes. You had to ask the question.

18 (Laughter.)

19 MR. LEVANDER: I do think in developing storage,  
20 there is an inherent risk in storage development that is not  
21 there in a pipeline. You put a 30-inch pipe in the ground.  
22 You put a certain pressure on it. You know what you're  
23 going to get out the other side of it. In developing  
24 reservoir storage, particularly, you don't really know  
25 what's down there until you get there. At best, you may

1 have some well records that give you a sense of what is  
2 within a few feet of whatever wells were out there in the  
3 original production phase of a project. Once you get beyond  
4 that, it is a little bit of an article of faith. Certainly,  
5 the development of additional seismic technology has taken  
6 some of the guesswork out of it, but there is an additional  
7 risk in terms of determining what truly the porosity,  
8 permeability, water content, the thickness of the  
9 formations, and all those sort of things are that I think do  
10 inject an element of risk in storage development that may  
11 not be in other types of projects.

12 One other issue related to the rate of return I  
13 did want to bring up at least briefly: it isn't a storage  
14 specific issue, but it does go to the ability to develop  
15 large capital projects. A lot of us in the industry are  
16 looking with interest at the issue of the applicability of  
17 income tax allowances in rates. Where there are projects  
18 being developed by either MLPs or LLCs, obviously the Court  
19 of Appeals has sent that issue back to FERC. I can't speak  
20 to that case. I don't know anything about it, but as  
21 somebody who's trying to put a project together, I know that  
22 is something that has certainly caught our eye. The only  
23 point I would make is that taken at face value, the Court's  
24 opinion would seem to suggest that in order to develop a  
25 project as a joint entity, one would need to incorporate

1 that in order to ensure that there is an ability to get  
2 income tax allowance on rates which introduces an additional  
3 level of taxation when the earnings are given up to the  
4 ultimate parent. That, in our view, is essentially the same  
5 as saying that the actual rate of return earned on that  
6 project is being eroded because the two bites at the taxes  
7 are going to reduce the earnings below what had otherwise  
8 had been anticipated. And that just factors into the whole  
9 issue of capital allocation, and what level of return is  
10 being earned for the risk. That is something I'm sure that  
11 is being looked at in other contexts, but I wanted to note  
12 that as an item of specific concern.

13 A couple of other specific issues that do or one  
14 issue that does get go storage development. Looking at the  
15 issue of base gas, as the report accurately notes,  
16 particularly in a world of high gas prices, the cost of base  
17 gas becomes a very significant piece of the cost structure  
18 of a new storage entity. One of the issues that we wrestle  
19 with as well as others who are developing old depleted  
20 storage formations is pointing at the way to get the  
21 appropriate level of recognition in rates for native gas  
22 which may be left in the ground, but which may not be  
23 capitalized as such in the company's books. I just wanted  
24 to note that as an issue. There is I think an efficiency to  
25 be gained by being able to utilize existing reserves in

1 place as opposed to providing a sentence to effectively pull  
2 that gas out of the ground because it's worth more as  
3 production gas than it is as base gas.

4 Just a couple of other points on the rate side.  
5 We did look with interest at the question of elimination of  
6 modification of the rate review. Obviously, if we go into  
7 developing a project and projecting the returns over time,  
8 discounting the earnings stream for what future rate  
9 activity is out there, it becomes a significant concern.  
10 That's a fact of life, and that, then, becomes a significant  
11 concern for those who are allocating capital. Anything that  
12 gives the developer the opportunity to rely upon the initial  
13 rate at a project obviously does provide greater certainty.  
14 We would encourage the Commission, if not limiting it  
15 entirely, perhaps looking at extending that time in which  
16 the initial rates can be counted upon. And maybe as a step  
17 back from that, if that were not done, I think something  
18 that would be helpful is to the extent there's an adjustment  
19 to rates of return in projects that suffered at the front  
20 end of it that some recognition that that rate of return  
21 would remain in effect for some period of time would have  
22 the same effect of providing some level of certainty.

23 As it stands now, once you come into the next  
24 rate case, it's kind of whatever the BCF analyses throw  
25 down, and you're back into having to make risk arguments all

1 over again. Again, anything that gives the opportunity to  
2 look at and count on the financial incentives that were  
3 provided in the certificate I think would be viewed as a  
4 positive from the developer's point of view.

5 On negotiated rates, I do want to agree with one  
6 thing that Jim said: it's not the first time, and it may  
7 not be the last. I thought Jim's comment on the negotiated  
8 rates angle was something that also had occurred to us.  
9 While we are looking at things based on the current  
10 environment as being in a cost of service role, I think the  
11 opportunity that having negotiated rates based upon  
12 commodity indices is something that could be beneficial, as  
13 I appreciate the Commission's current policy. That would be  
14 suspect, if not prohibited. I think if you look at storage  
15 and look at what an indexed-based rate would look like in a  
16 storage environment, that is very difficult than it what it  
17 looks like in a basis differential for a transportation  
18 transaction. And while they may not agree with the holding  
19 on the transportation side, I think that storage is a  
20 separate question that could be addressed separately.

21 I won't go into a lot of detail here. We can put  
22 these in our post-conference comments, but on the blanket  
23 certificate side, there are a couple of modifications that I  
24 think would be useful from the perspective of someone who is  
25 developing storage currently regulated by the Commission,

1 particularly looking at the requirements under the blanket  
2 certificate for when replacement wells can be drilled.  
3 There are provisions under the blanket certificate that  
4 provides some authority to do that. I think there are  
5 questions of how far that goes. We would like to propose a  
6 modification to the blanket certificate that would give a  
7 little more flexibility in drilling those replacement wells.  
8 There may be some other things we could look at in terms of  
9 how test wells are drilled and under what regulatory  
10 authority that would be provided. We do appreciate the  
11 opportunity to be here today and look forward to any  
12 questions you all might have. Thank you.

13 MR. MOSLEY: Thank you, Carl. Before we open  
14 this up to the Chairman and Commissioners and the panelists,  
15 I would like to give the panelists an opportunity to either  
16 make questions or comments based on your presentations. One  
17 of the things we were trying to get here is a diversity of  
18 presentations, and I guess I'd like to thank Don Zinko for  
19 not letting the words market-based rates come out of this  
20 mouth.

21 (Laughter.)

22 MR. MOSLEY: We seem to have general agreement on  
23 that. We should be looking for market-based rates for  
24 storage. So, with that said, would someone like to get  
25 started?

1                   MR. BOWE: I wouldn't want you to think the  
2 consensus on that point is anything other than an indication  
3 of the truth of the proposition that people have been  
4 asserting here. Market-based really are critically  
5 important. I'm sure Mr. Zinko would agree. If you had the  
6 opportunity, you would prefer to have market-based rates for  
7 the Copper Eagle Project.

8                   MR. MOSLEY: Anyone else? Chairman,  
9 Commissioners?

10                  MR. KELLY: I'm interested in your thoughts.  
11 Start with the assumption that you have market-based rates  
12 for storage. What constrains your pricing? What -- How  
13 would you price? What do you take into account when you  
14 price at some point? It's an optional service, as you said,  
15 and so if you're looking at a customer who hasn't had this  
16 service, you're going to provide it for them, and they have  
17 other options. So, how would you price your service? What  
18 alternatives do they have?

19                  MR. MORROW: I think it's important to note that  
20 we can't make the mistake that actual gas storage is a price  
21 taker and not a price maker. The thing that defines the  
22 price that we can do as a hub service, like parking only or  
23 firm storage in NYMEX, the New York Mercantile Exchange  
24 pretty much sets what our prices are, based upon the prices  
25 in the summer and the prices in the winter.

1                   MR. KELLY: Who's currently capturing that  
2 spread? The purchaser of gas or is it not being captured?

3                   MR. MORROW: There's two ways to try to capture  
4 the spread. You could do it financially and just go out,  
5 and customers do do that. They go out and just buy summer  
6 gas, sell winter gas, and are able to look at that spread.  
7 The customers with more physical needs want to do the same  
8 thing, and typically go to a storage facility to do that.  
9 So, they end up contracting with the storage facility,  
10 looking at those same pricing mechanisms and trying to hedge  
11 out the value of the storage to help cover the costs that  
12 they're paying to the storage operator.

13                   MR. KELLY: Would you anticipate that new  
14 customers for storage would use that as a replacement for  
15 what they're doing otherwise in the financial markets, or is  
16 it going to be a new service for them?

17                   MR. MORROW: I'd like to say yes and no. It  
18 depends on the customer. We have LDCs who have certain  
19 needs, and they're typically wanting physical delivery when  
20 the time comes. You have trading companies out there that,  
21 yes, they look at both. They can either go out and  
22 financially hedge certain prices, and they're really just  
23 trying to make money off the difference in those spreads,  
24 and then you have storage for that as well. So, they have a  
25 completely different need. Most of our customers, other

1 than trading entities, are wanting storage because it does  
2 guarantee physical delivery when they need that gas on a  
3 peak day or in the wintertime.

4 MR. KELLY: Who talked about -- I think maybe you  
5 did. The shipper takes title rule, and why that was an  
6 impediment. Can you or maybe other members on the panel  
7 explain to me what the policy was behind that rule, which,  
8 of course, was adopted before my time here, and why we  
9 shouldn't worry about that?

10 MR. BOWE: I can speak to the reasons behind the  
11 development of the shipper must hold title rule. That was  
12 to prohibit so-called capacity brokering through pipeline  
13 capacity rights would be traded essentially off market. It  
14 was intended, as part of the overall effort, to transform  
15 the gas stream, the one in which open access transportation  
16 was the dominant way in which business was conducted. So,  
17 the shipper must hold title rule essentially said that only  
18 those shippers who actually hold title to the gas are  
19 entitled to use particular capacity. And it was intended to  
20 drive all capacity transactions into the secondary market,  
21 into the capacity use program.

22 The difficulty with that is the storage facility  
23 might well have a market that would like delivered gas  
24 storage services. The storage facility in most situations  
25 will not own the gas that would be delivered as part of that

1 delivered storage service. As Matt was suggesting, under  
2 the current rules the storage facility essentially cannot be  
3 the shipper even though the market may well want it to  
4 provide the service of delivered gas at its city gate  
5 without a waiver of the shipper must hold title rule. This  
6 is a problem that I can say is one that a number of storage  
7 projects have encountered, in particular four clients of  
8 mine who have tried to deal with the question of how do you  
9 provide what the market wants, given the shipper must hold  
10 title rule.

11 MR. MORROW: To put it shortly, it was originally  
12 designed to prevent trading companies from gaming the  
13 system. We're not trading companies. We're storage  
14 operators. We're trying to offer a service. All we want to  
15 do is be able to compete with the larger interstates who  
16 have storage and then can make deliveries off their entire  
17 pipeline grid as opposed to an independent storage operator  
18 who is typically just connecting to one or two pipes. Our  
19 customers have to come to us. This would allow us to take  
20 on transportation and deliver the service to where they're  
21 at.

22 MR. KELLY: So, if there was an exception made  
23 for independent storage providers, from that rule, does it  
24 undercut the policy or anyway in which the rule was  
25 developed in the first place?

1                   MR. MORROW: In my opinion, it doesn't at all.  
2                   It was designed to focus on the trading entities, the people  
3                   who are out there trading gas and not service providers.

4                   MR. KELLY: Would you agree, Jim Bowe?

5                   MR. BOWE: Yes.

6                   COMMISSIONER KELLY: Carl, you talked about a  
7                   storage project that you're considering developing. I was  
8                   just wondering what kind of capital we're looking at?

9                   MR. LEVANDER: The project we're looking would be  
10                  on the order of \$100,000,000 expenditure to develop 12 BCF  
11                  of storage.

12                  COMMISSIONER KELLY: Is there a range -- a  
13                  generally accepted range of costs to develop storage  
14                  projects in the United States or do they vary wildly? Is  
15                  there a typical cost to develop a storage project?

16                  MR. LEVANDER: In that instance, what I'm gauging  
17                  is the cost of drilling the wells and developing the  
18                  infrastructure needed to move the gas out. And basically,  
19                  that gets you to the edge of the field. If additional costs  
20                  are needed to actually move the gas to market, that would be  
21                  a separate project. I can't speak to whether that's in line  
22                  or not. What we're doing is consistent with industry  
23                  standards. I suspect the drilling costs and all that are  
24                  going to be fairly standard.

25                  COMMISSIONER KELLY: How about Red Lake or the

1 Red Sox; right?

2 (Laughter.)

3 MR. BOWE: I wish I had a good current estimate,  
4 but as has been pointed out, the cost of essentially every  
5 input to the process of developing a project have gone up  
6 dramatically. I know I have not done an evaluation of the  
7 costs.

8 COMMISSIONER KELLY: Do you remember what they  
9 were a couple of years ago?

10 MR. COOK: It was originally \$174,000,000 to  
11 build this pipeline south to the southern (sp?) of El Paso,  
12 which was going to be \$240,000,000 total cost.

13 MR. O'NEAL: I'd like to echo the staff's report.  
14 I think it was a good sort of basis to look at for the  
15 different types of storage you had. An estimated for salt.  
16 An estimate for reservoir. That was a decent basis to sort  
17 of use as a starting point. They can obviously vary in and  
18 out of there.

19 MR. MOSLEY: On page 18 of the staff report,  
20 there's a chart which goes to that.

21 MR. ZINKO: I might just add on Copper Eagle, the  
22 question I think depends on the size of the field that  
23 you're developing. But we're looking at Copper Eagle, and  
24 this is -- we've put \$250,000,000. We've put many millions  
25 in there already. And, you know, developing storage fields

1 are much more -- we're looking right around for a BCF  
2 storage, and the salt cavern is \$250,000,000.

3 COMMISSIONER KELLY: Is there a minimum volume of  
4 storage that is economic?

5 MR. ZINKO: I'm sure there is, but I'm just  
6 thinking Colorado Interstate's System, for instance,  
7 probably the minimum we have is a hundred million a day of  
8 deliverability. That was developed some time ago. On that  
9 system, we have higher deliverabilities. Obviously, the  
10 higher deliverability, when you're developing the field, the  
11 better your economics.

12 MR. LEVANDER: If I could follow up on that.  
13 Obviously, economies of scale become very significant within  
14 a project of this type. I do think the project, though,  
15 brought out in the staff paper about optimizing existing  
16 assets those provide. If it's a relatively smaller scale  
17 project, there may be a way of reworking a couple of wells  
18 and getting a little additional performance out of existing  
19 fields that would provide an economical solution.

20 COMMISSIONER KELLY: Thanks. I can't remember  
21 who talked about the increasing need for storage being  
22 linked to more LNG in ports and would you anticipate that  
23 the storage associated with that would be at the LNG  
24 facility or do you think that there's a ripple out effect.

25 MR. O'NEAL: I don't think the storage

1 necessarily needs to be located at the LNG terminal. You  
2 don't have to have the LNG or the storage sitting right on  
3 top of the LNG or vice versa actually. But I think you need  
4 to be within some proximity to allow it to have the  
5 efficiencies that you would want. If you get too far away,  
6 then you're really not getting there. But within, you know,  
7 say, a hundred miles, I don't see why you don't have the  
8 efficiencies that it would create. I think there's cost  
9 efficiencies associated with using storage as well.

10 MR. MORROW: I would say there's two ways to look  
11 at it, and I think Ryan took one, which is how to make LNG  
12 delivery efficient. When we said that in the comments that  
13 I made, it was really on the other side. What happens when  
14 a shipment is diverted somewhere else and that gas just goes  
15 somewhere else. Our country is going to need more storage  
16 in the ground throughout the United States to be able to  
17 make the deliveries to meet the demands we have. So,  
18 there's one to make LNG delivery efficient. There's another  
19 making sure we have enough capacity to meet it when ships  
20 get diverted or can't come in for one reason or another.  
21 And it will happen. Even this summer, we saw quite a few  
22 LNG tankers heading off to China.

23 COMMISSIONER KELLY: I was surprised at the  
24 comment that on average customers entered into three-year  
25 contracts. Is that correct? I guess I would have thought

1 that it would have been a shorter term than that. Not that  
2 it's incorrect.

3 MR. BOWE: I would say that if you averaged all  
4 the panelists here, you might get to three years, because of  
5 Carl's long-term agreements pulling the average up. And, of  
6 course, I'm on the other end of the spectrum, with zero,  
7 which pulls it down.

8 COMMISSIONER KELLY: But there's hope.

9 (Laughter.)

10 MR. BOWE: There is always hope, and after last  
11 night we know that hope will be rewarded. The reality is  
12 that the marketplace is still generally speaking, with the  
13 exception of LDCs not stepping up for long-term capacity  
14 commitments. I would say that a lot of us we'd think we've  
15 died and gone to heaven if we got a five-year agreement  
16 right now for gas storage for one of these new salt cavern  
17 facilities, for example.

18 COMMISSIONER KELLY: Why is that? Volatility of  
19 prices?

20 MR. BOWE: Everybody here will have a view on  
21 this. I think one of the major reasons we're not seeing  
22 longer term commitments is, as Mark has suggested to some  
23 degree, the market is getting away without making those  
24 commitments. And obviously, if you can get away without  
25 making a long-term commitment that may end up showing up on

1 your balance sheet if you do that. If you can ride on the  
2 pipeline for essentially three-year will do that until the  
3 day when your power generators go offline, because you've  
4 drained the line pack. In Florida, for example, to pick a  
5 hypothetical state, or Arizona. The reality is as well is  
6 that at this point we don't really know what we want to be  
7 as an energy industry. It's well known that the people who  
8 used to take positions in these markets are no longer doing  
9 so. Some of them are coming out of Chapter 11. Some of  
10 them just barely avoided it. There is a new breed of player  
11 coming in--hedge funds, commodity traders, financial  
12 institutions. I am aware of several of them that are  
13 actively looking at making long-term commitments to storage.  
14 But they're not quite there yet. We're in sort of an  
15 interregnum right now, as we try to find out what we're  
16 going to do.

17 What's going to I'm afraid happen is that we're  
18 going to find we've drained a couple of these pipelines'  
19 line pack down to dangerously low levels, and have to  
20 curtail deliveries to power generators, as nearly happened  
21 in New England last year, and then realize we really need to  
22 make some long-term commitments in construction.

23 MR. DANIEL: If I could maybe add to that. It is  
24 a very constantly changing situation in terms of this issue  
25 of the length of term of commitments. Just a few years ago,

1 I think our average length of term in our storage contracts  
2 at all of our facilities was as high as seven years. For  
3 the last years, that has come down markedly because most new  
4 contracts, as contracts expire, tend to be more like one-  
5 year deals. So, the average has certainly come down a lot.  
6 I sense that may be starting to change in the other  
7 direction. Again, we have certainly over the course of the  
8 last few months or even the last year started to see more  
9 interest in multi-year contracts again, and I think it is a  
10 function of a growing perception in the market that we may  
11 be starting to approach the point of being somewhat  
12 constrained with our pipeline capacity. It's also I think  
13 being reflected a little bit in some much higher summer-  
14 winter price differentials. We're at the early stages, but  
15 I think it's all beginning to build to greater interest long  
16 term.

17 COMMISSIONER KELLY: Thank you.

18 MR. ZINKO: I'd like to make a comment. I have  
19 to mention market-based rates.

20 (Laughter.)

21 MR. ZINKO: We would propose a cost of service  
22 based rates for Copper Eagle, but that's because with the  
23 problem we're trying to solve with the swings on the  
24 pipeline, that has to be integrated with the operation of  
25 the pipeline, and I think -- but to get to the question on

1 term of contracts. It's a risk-reward relationship. I  
2 don't think you can expect companies to develop new storage  
3 fields and put in, in our case, \$250,000,000 on a whim. And  
4 if you can ask the companies to take that risk, I think you  
5 have to have the rewards of market-based rates. If they're  
6 going to not take that risk on cost-based rates, the  
7 companies will look for long-term contracts. In my view,  
8 the term of the contract, the shorter the term of the  
9 contract, the more it will push new development of market-  
10 based rates.

11           Would, Mr. Daniel, you mentioned, we've met  
12 before actually, and I should probably give you credit here  
13 and some of our colleagues about the meeting Mr. Daniel and  
14 I had six months ago, which kind of helped give rise to this  
15 conference, much in the way that a meeting we had with a  
16 number of LNG developers, you know, two did the same thing.  
17 So, hope does spring eternal.

18           Mr. Daniel, you mentioned in passing here, the  
19 California independent storage policy on page 11 of your  
20 written comments. Tell me more about that. What are the  
21 parameters the states have used? What's the name of the  
22 facility there?

23           MR. DANIEL: The Wild Goose Storage Facility, the  
24 first independent storage facility developed in California.  
25 Yes, it is a good reference point I think because California

1 did recognize a number of years ago back in I guess the mid  
2 '90s the need to define a separate category of storage  
3 player essentially as an independent storage developer, and  
4 developed specific regulations around that. An independent  
5 storage developer essentially being somebody who's  
6 developing storage on a pipeline that they don't have an  
7 interest in, that they're not affiliated with. At the time  
8 that we developed Wild Goose, the only parties providing  
9 storage service within the State of California were the  
10 major gas utilities. Not only did we develop and then do a  
11 major expansion of Wild Goose, but now there's another  
12 independent storage facility up and running in California.  
13 All of that happened within the space of a few years, really  
14 spurred by this recognition of the need to regulate  
15 independent storage differently from the way traditional  
16 pipeline or LDC storage is regulated. I think it is a good  
17 model and has been very successful in California in  
18 achieving significant storage development.

19 CHAIRMAN WOOD: All right.

20 MR. BOWE: Mr. Chairman, I might note that the  
21 California policy, which essentially says we can't determine  
22 whether and at what point there might be market power, but  
23 we have decided that the value of introducing new storage in  
24 the market is pro-competitive overall is a fairly  
25 straightforward policy. You're taking a similar line, and

1 perhaps giving credit to the CPUC. It might have certain  
2 political benefits.

3 (Laughter.)

4 MR. BOWE: To point out that they came up with a  
5 great idea before you did.

6 COMMISSIONER WOOD: In what year was that policy  
7 adopted?

8 MR. BOWE: It was earlier than some of the recent  
9 unpleasantness, but not a lot. 1996, '97, I'm thinking.

10 MR. DANIEL: 1993?

11 MR. BOWE: Was it that early?

12 COMMISSIONER WOOD: Question, Matt, for you. One  
13 of the things you mentioned and followed up on the shipper  
14 must have title. You also mentioned what I think was needed  
15 for you to do that hub-to-hub. One of the things you said  
16 right when you started was we don't own gas. We don't sell  
17 gas.

18 MR. MORROW: Thus, we don't have title of gas.

19 COMMISSIONER WOOD: Got that. But you do want  
20 the ability to get contracts for transportation and storage  
21 on non-affiliated pipelines.

22 MR. MORROW: The thing that basically prevents us  
23 from being able to do that right now is the shipper must  
24 have title. We have our storage facility, and we move our  
25 customers' gas to the end use where it's needed. We'd be

1 moving gas to a pipeline and not having title. Currently,  
2 we're precluded from it. Also, if we were to try to go down  
3 that route, we'd have to be trained to go through these  
4 capacity release rules, which are fairly burdensome. We're  
5 not releasing. Our point is we're not releasing the service  
6 that we bought. It's been melded with our storage facility  
7 into a completely new service. So, we want the flexibility  
8 just to be treated like a customer, any customer in the  
9 pipeline.

10 The other idea was the idea of a hub-to-hub  
11 service. We really would need waivers for the exact two  
12 same things: the shipper must have title and capacity  
13 release rules, but the idea there is the storage facility at  
14 two locations can take a minimal amount of transportation to  
15 move that gas over on a continual basis or even at off-peak  
16 times when pipelines aren't being fully utilized. But then  
17 when it's really needed, you have gas stored up that you  
18 could deliver in a location that it's needed.

19 COMMISSIONER WOOD: I would love to hear from  
20 particularly people that may not agree if the Commission  
21 were to decide to do that. I just would like to say that  
22 certainly is an interesting concept for me and probably for  
23 a number of us around here. We'd like to hear from folks in  
24 the comment period that follows this, either today in later  
25 panels or we'll have time for written responses, probably 21

1 days or so.

2 MR. MOSLEY: November 15th.

3 COMMISSIONER WOOD: After this conference, it  
4 would be very helpful if the people who may not agree with  
5 that why they think that granting such flexibility to  
6 independent storage would be a bad thing, because I would  
7 like to really fully understand.

8 Mr. Daniel, back to you. One more question. You  
9 mentioned in your opening comments some obstacles--actually,  
10 let me see if that was you. I'm pretty sure it was you.  
11 Some obstacles you were having. No, it wasn't. Which one  
12 of you were talking about obstacles with interconnections?  
13 Who was that? Interconnections with the incumbent pipeline?  
14 You were having trouble with interconnections there?

15 MR. COOK: Several parts of that just negotiating  
16 interconnections rather than storage with incumbent  
17 pipelines can be a tedious long-term process. Some of the  
18 ones we had worked on in the last year or so: we had one  
19 basic interconnect agreement for gas to go through a  
20 pipeline that took over a year, just a negotiated agreement  
21 at the gas end, and one that was completed in probably 60  
22 days. So, just a different perspective on how to do that;  
23 how to force the issue to get done, and then where you  
24 connect where zones are chosen within the pipelines we're  
25 finding in some of these projects, in some of the projects

1 I've been involved with that you could be pretty close to a  
2 zone or pretty close to a zone change or you just have to  
3 cross over it, because that's where the geology is located,  
4 where your point would be, and may be more difficult around  
5 a city or somewhere else to get further from that zone. So,  
6 your customers, when they look at valuing your storage and  
7 adopting your rate or return on your storage project and the  
8 risk you've taken, the cost of the storage gets prohibitive.  
9 I mean the cost of the transportation gets prohibitive.  
10 It's difficult to appropriately value the storage in that  
11 perspective.

12 COMMISSIONER KELLIHER: I wanted to caution Mr.  
13 Bowe about the analogies he's been throwing. I'm a Yankee  
14 fan by birth.

15 (Laughter.)

16 MR. BOWE: I had taken that possibility into  
17 account, and I thought that it was something that even a  
18 Yankee fan could sort of appreciate if only on kind of an  
19 abstract basis.

20 (Laughter.)

21 COMMISSIONER KELLIHER: I almost wore a black  
22 suit today, and if you do rename the project, I might have  
23 to recuse myself.

24 (Laughter.)

25 COMMISSIONER KELLIHER: I have some suggestions.

1 You could name it the Bill Buckner Project or the Bucky Dent  
2 Project.

3 (Laughter.)

4 COMMISSIONER KELLIHER: Those would be good  
5 names.

6 MR. BOWE: Johnny Damon wouldn't.

7 COMMISSIONER KELLIHER: I had one question  
8 directed toward Commission staff about market-based rate  
9 approvals in the past. Have they been limited to  
10 independent projects? My impression is it isn't.

11 MR. CARLSON: They are not.

12 COMMISSIONER KELLIHER: Okay. Now, some of the  
13 proposals by the independents that we should be more  
14 flexible with respect to market-based rates. Are you  
15 proposing that we, in fact, pick a date, a future date, and  
16 say all independent projects after that date should be  
17 granted market-based rate authorization?

18 MR. BOWE: It doesn't need to be a future date.

19 (Laughter.)

20 COMMISSIONER KELLIHER: But it should be limited  
21 to independent storage projects.

22 MR. BOWE: I don't know that I would necessarily  
23 take that position. But because my client is an independent  
24 storage project, I'm perfectly comfortable saying that at a  
25 minimum, you ought to grant that for an independent storage

1 project. The question you'd have to worry about is whether,  
2 by virtue of ownership, not just of a specific storage  
3 facility, but also the delivery system that links that  
4 facility with multiple markets. You are getting into a  
5 different question in terms of market power than you have  
6 with a standalone hole in the ground, so to speak. I'm not  
7 prepared to say that you couldn't find market-based rates.  
8 In fact, the Commission has found market-based rates  
9 appropriate. In the case of Gulf South's storage facility -  
10 - Bisinet (sp?) Storage Facility and its Magnolia Storage  
11 Facility -- those are two I'm aware of off hand. I don't  
12 see why the Commission couldn't make the appropriate  
13 findings. It's just a whole lot easier to do it when you  
14 don't have not only the hole in the ground, but also the  
15 super highway that gets to the markets on to the same  
16 ownership.

17 MR. LEVANDER: Can I respond to that? We're not  
18 advocating something that's necessary for our business  
19 model. If the Commission were to go down that path, I think  
20 in a situation where it's a new entrant, there are no  
21 captive customers or the capital is being put effectively at  
22 risk to the market, and especially if it is separate from  
23 the tariff services or the pipeline. I'm not sure there's  
24 legitimate distinction to say that it should be only  
25 independent operators that would qualify for this policy.

1                   COMMISSIONER KELLIHER: Under current policy,  
2 pipelines can get market-based rates. Correct.

3                   MR. LEVANDER: Under the current market power  
4 test.

5                   COMMISSIONER KELLIHER: It is available, and I  
6 thought the argument of the independents was well, we should  
7 be treated a little bit differently because we don't, in  
8 effect, control essential facilities, and we have no  
9 monopoly power. It's an optional service. It should just  
10 be easier I suppose they're saying with respect to the  
11 independents. And I had a question, too, about something  
12 that Mr. Bowe said about negotiated rates. Storage  
13 operators that are not granted market-based rate  
14 authorization should be granted a little more flexibility  
15 with respect to use of seasonal pricing differentials and  
16 negotiated rates. I wanted to see if anyone else on the  
17 panel wanted to react to that.

18                   MR. COOK: We certainly agree. Again, the  
19 greatest value in the storage for people is the pricing  
20 differentials that change. It's just within the last month.  
21 Looking at injecting in August, September, and October,  
22 we've had spreads from \$1.80, \$1.90, back down to \$0.40,  
23 \$0.50, and back up again. And those opportunities to  
24 capture that value and allow utility customers, gas  
25 consumers to take advantage of those things via storage to

1 reduce the overall rates and lock in their own prices and  
2 reduce it all clearly for them is inherent in the value that  
3 the storage facility can return to the at-risk investor. I  
4 think it's critical to the commercial success of at-risk  
5 storage facilities.

6 MR. O'NEAL: We would also agree that the concept  
7 of allowing more flexibility in negotiated rates would also  
8 be something that would allow the storage operators then to  
9 capture some of the additional value, because you're talking  
10 about the basis spread. I think we're just echoing. I just  
11 want to be sure I'm going on the record supporting that as  
12 well.

13 COMMISSIONER KELLIHER: Is it basis differentials  
14 you're trying to capture or seasonal pricing differential?

15 MR. O'NEAL: Purely temporal differentials. That  
16 is the fundamental distinction. I have my own views on the  
17 Commission's modifications of negotiated rate policy, but  
18 certainly when it comes to the question of seasonal price  
19 variations, you're dealing with an entirely different issue  
20 than you are with basis spreads, calculated on a given day.  
21 The concerns that drove the Commission's modification of  
22 negotiated rate policies really are not present in the case  
23 of storage facilities, which is dealing not with basis  
24 differentials, but temporal spreads.

25 Carl, you were with me earlier.

1                   MR. LEVANDER: I'm still there. I'm behind you  
2 all the way.

3                   COMMISSIONER KELLIHER: Thank you very much.

4                   MR. MOSLEY: Let's move on to staff here at the  
5 table. They may have questions.

6                   MR. CARLSON: So far, I've heard that we should  
7 grant market-based rates, potentially on the basis that we  
8 have players that are independent of the market  
9 participants. But also on the basis I guess that storage is  
10 a service that's not necessary. Then, on the other hand,  
11 I'm hearing we need more storage to meet demand. And Mr.  
12 Morrow needs storage to meet physical deliveries. If it's  
13 an optional service, and it's not necessary, how is it  
14 required on the other hand? And how do I take that into  
15 account if I'm trying to measure someone's market power?

16                  MR. COOK: I'll start the process. I think that  
17 staff did a good job in the report looking at exactly that  
18 issue. They talked about the rates that were there for  
19 natural gas storage, looked at the seasonal rates, looked at  
20 what there are -- there's lots of places in this country now  
21 where there's not a great deal of storage. Red Lake and  
22 Copper Eagle have been built, and people are surviving. But  
23 the fact is at what price does volatility become unbearable  
24 to the extent you would like to find mitigating  
25 circumstances, either financial or physical to cover that.

1 Right now, there are lots of markets that don't have regular  
2 access to storage, that just live with volatility. There  
3 are those that have access to storage and chose not to take  
4 it because they're willing to buy and sell to balance this  
5 as to using storage as part of that. So, the fact that  
6 storage is available to these people, it doesn't mean they  
7 do it. They can still do it. But if they chose at some  
8 point, I would rather have the physical reliability, the  
9 benefits to buy and sell low. I'll go to the benefits the  
10 storage brings to reduce that volatility, and then they  
11 could chose that path. But, you know, today there's nobody  
12 forcing them to take it. Did that answer your question?

13 MR. CARLSON: I'm not sure that it does. If  
14 there's a demand, if there's pent up demand, the pipeline  
15 just can't serve, doesn't storage potentially serve that  
16 function or step down and meet a requirement?

17 MR. CROSS: I haven't heard from the rest of the  
18 panel.

19 MR. ZINKO: I just talk about our particular  
20 situation. Storage is needed. We have to do something to  
21 solve a physical problem on the pipe the way that a man's  
22 work and the physical pipe. We need somehow to solve this  
23 problem. The storage field -- went after the storage field  
24 we thought would be best suited for this. I don't know. We  
25 need market-area storage. I don't know when it's coming,

1 but our pipeline right now. The reason we're meeting these  
2 market swings right now is that the pipeline's not running  
3 full. It's fully contracted, but the pipes are not running  
4 full, so we have enough line pack. We've been able to live  
5 through these swings. But as the growth continues, and the  
6 economy comes back, maybe it's five years. In the meantime,  
7 we develop the storage. In our particular case, in Phoenix,  
8 we have to do something. We're evaluating whatever options  
9 there are to Copper Eagle. But when you look at it at the  
10 end of decade, you know, our opinion is that it's needed,  
11 period, to serve the market. Something has to be done.

12 MR. DANIEL: There's a very important distinction  
13 to keep in mind here. When you're thinking of how essential  
14 storage is to make the distinction between existing storage  
15 capacity and any incremental storage, it's mostly been  
16 around the issues having to do with somebody wanting to  
17 introduce incremental storage, and whether or not the market  
18 can function without it. Obviously, there are entire  
19 markets that have been built up on the basis of existing  
20 storage where the markets just could not function. Without  
21 that storage in place, in that sense, existing storage  
22 capacity is a very essential feature of the total gas market  
23 as we see it today. But there are alternatives to  
24 incremental storage. If we want to build an incremental  
25 storage facility in a location. Obviously, the market

1 functions without it in a manner now. The alternatives  
2 really have to do with people's alternatives to sell gas at  
3 different times of the year, and it comes back to price  
4 differentials. With less use storage, you're likely to see  
5 somewhat greater summer-winter price differentials, reduced  
6 ability to move gas supply from summer to winter, more  
7 volatility, et cetera. Those are really kind of the  
8 alternatives. I'm not sure in a way you'll ever have enough  
9 storage capacity to eliminate summer-winter price  
10 differentials. It's just a question of how much do you want  
11 to encourage incremental storage to keep those summer-winter  
12 differentials from getting further apart or keep volatility  
13 from increasing more than it has. But clearly, the system  
14 functions without that incremental storage facility now, and  
15 the argument that has been made here is that by introducing  
16 incremental storage, you are increasing competition. You  
17 are increasing competitive alternatives to the marketplace.  
18 You are not, by definition, producing--

19 MR. MORROW: If I could use a recent example,  
20 like Red Lake. Arizona is functioning today. Every plant  
21 that's there is getting gas. They're up and running.  
22 Adding the storage facility is not going to affect that  
23 market other than give them additional tools to try to  
24 mitigate price. Storage is a tool, and we can say it's  
25 required, because people want that tool. They need the tool

1 because they don't like the price volatility. But it's not  
2 required, in that we don't have to turn a plant down because  
3 you don't have the delivery. The only thing that's going to  
4 solve that problem is more pipelines. I mean, that's why it  
5 is a little of both.

6 And the second point is even if it got to a point  
7 that it is required, the storage facility itself can't  
8 affect the price. I mean, if we look at it from the  
9 perspective of how much we sell our service for, a firm  
10 storage contract is sold way in advance. During some peak  
11 time, our customer maybe already has that service, which  
12 they paid for typically in the summertime and negotiated a  
13 year out in advance. And they had the optionality to take  
14 gas out of the ground or not that day. Our customers maybe  
15 they try to manipulate the market because they could hold  
16 back. But they have just reasons for trying to do that  
17 because they're always scared that the next day the price  
18 may be even higher, and they want to save their gas, and  
19 they want to make sure they have enough to get through each  
20 day.

21 MR. CARLSON: I heard a couple of things in there  
22 that I'm having to follow up on.

23 One is, Mr. Daniel, are you suggesting that,  
24 well, gee, perhaps I thought that you said the opposite  
25 early on, which was that if there's excess capacity, which

1 allows people to I guess do the financial deals as opposed  
2 to deals that are necessary for delivery to reduce  
3 volatility. Maybe I misunderstood, but as it gets tighter,  
4 there's potentially more opportunity for exercise of market  
5 power, which would lead me back to what Mr. Bowe was talking  
6 earlier about possibly granting market-based rates on the  
7 basis that facilities weren't fully contracted or once they  
8 became fully contracted somehow we're willing to determine  
9 some measure of market power. Can you further elaborate how  
10 we mitigate market power in those instances?

11 MR. BOWE: I'd start out by pointing out that  
12 storage is needed at the metro level, across the North  
13 American market. It's not the same as saying a specific  
14 storage provider is needed in the sense that it has market  
15 power, as Matt has suggested. At the time of contracting,  
16 particularly when you're talking about incremental storage  
17 facilities coming into a new market, there's a negotiating  
18 that takes place. The storage provider has no ability to  
19 force its service down the throat of the customer. At that  
20 time, as I've said, on day one, and for many, many days  
21 after day one, the facility is, as Matt has said, a price  
22 taker. It will negotiate with its customers. The customer  
23 will value the storage in part on the basis of the seasonal  
24 spreads we discussed, and the trading around value for those  
25 who would do trading around activities. Those would be

1 individual would have all sorts of different curves that  
2 each customer has bringing to the table. But they're not  
3 compelled to take service from a particular provider as time  
4 goes on and the facility becomes contracted.

5           Again, all of us will think we've died and gone  
6 to heaven if we get there at any time in the near future,  
7 meaning in the next five years. The question will be, as  
8 contracts roll off, what happens? Can a contract that was  
9 negotiated at a time when the facility was not fully  
10 contracted, when the facility could not have market power be  
11 removed? Are the terms under which the operator proposes to  
12 renew a contract or a company wants to roll it over  
13 reasonable? That might be something the Commission could  
14 look at. The Commission could look at the question of  
15 whether at the point at which a facility has become fully  
16 contracted on presumably a relatively long-term basis, there  
17 seems to have been any foreclosure on the part of the  
18 storage provider that a customer might complain about or is  
19 the instance of the complaint authority an adequate  
20 backstop? One of the things I'm trying to convince you of  
21 is that that is a problem we'd like to have down the road.  
22 But unless you allow market entrants, we're not even going  
23 to get to the opportunity to test the degree to which over  
24 time a facility, as it becomes fully contracted and market  
25 demand for its services increases, the facilities might

1 being to resemble something like market power. It certainly  
2 doesn't have market power on day one, and for many, many  
3 days after day one. So, I'd say monitoring the ability to  
4 entertain complaints indicated that there's been some  
5 withholding or other anti-competitive activity ought to be  
6 sufficient. I can elaborate further, but it gets pretty  
7 technical, and I think we probably want to do that in  
8 writing.

9 MR. FLANDERS: I was thinking of a question along  
10 those lines. One of the issues I see with market-based  
11 rates is the renewal entrant. The new entrant doesn't have  
12 market power. The customer has choices, but after you get  
13 used to that service. A little distribution company, in  
14 particular, might say I really need that. I need to  
15 renegotiate this, and all of a sudden the price is  
16 completely different than the initial price. Is one  
17 solution something along the lines of what Mr. O'Neal  
18 suggested? A cost of service based rate for a longer term  
19 contract, so that when the renewal opportunity came up,  
20 there would be that recourse rate, where the option would be  
21 to sign up for a longer term, at which point the customer  
22 would have some more protection than they might otherwise  
23 get under a complaint procedure.

24 MR. BOWE: I suppose that's possible, though I  
25 have to say I get very nervous when the term cost of service

1 is applied to these completely at-risk new market entrants.  
2 At what point do you essentially deprive the developer of  
3 the bargain that it thought and had entered into by putting  
4 its capital at risk? The thing you can't do if you want new  
5 entrants into these markets is truncate the opportunity for  
6 these facilities to earn returns, reflective of current  
7 market circumstances and just the point at which a facility  
8 is finally beginning to make some money. And the reality is  
9 that that would almost certainly be what would happen. In  
10 the situation like the one you've described, you've got to  
11 be very careful not to essentially leave developers with the  
12 conclusion that they will have an ample opportunity to  
13 underrecover their costs. And as soon as they begin to get  
14 the point at which they're able to take advantage of the  
15 value that the market sees in their facility, as the demand  
16 for that facility rises, they'll be capped at the cost of  
17 service level. You will not attract investment if basically  
18 what you've basically got is downside, and they cap it --  
19 which able to return, some return for the upside.

20 In terms of protecting individual customers, one  
21 message might be if as an individual customer, you're  
22 concerned over time about a facility becoming more and more  
23 essential to your operations, perhaps you want to negotiate  
24 a longer-term contract on day one when you hold more of the  
25 cards. That's a possibility. Do you want to follow up on

1 that?

2 MR. O'NEAL: I just wanted to raise -- I  
3 understand Jim's concern. I have the same one. When I hear  
4 things like relatively contract, therefore, we should take a  
5 look at all the rates. What's fully contracted? A six-  
6 month contract for the whole facility? I mean, I'm in the  
7 business of selling the service. And if I have 10 BCF, I'm  
8 not really interested in selling seven BCF and having three  
9 sitting around in my pocket just waiting for someone to show  
10 up. So, I'm liable to go in the market and sell it for  
11 whatever I can clear it at. Therefore, it's fully  
12 contracted at that point. Does that mean I'm going to have  
13 somebody coming looking at my rates and saying, okay, now  
14 let's reevaluate where we're at. There's a dynamic in all  
15 of this. I don't think either of us have the answer. We're  
16 sitting here, but I think there's a balance between the two  
17 that we're trying to sort of strike, and that's part of why  
18 we're all here talking.

19 MR. CARLSON: I guess where I'm coming from is,  
20 you asking us somewhat to depart from current Commission  
21 policy, where the applicants have actually demonstrated that  
22 they have no market power into I guess a philosophical leap  
23 of faith to you have none because you're a new entrant,  
24 therefore.

25 MR. BOWE: The Commission has done that on the

1 electric side. All new uncommitted generation coming into  
2 the market after 1997 is entitled to be sold at market-based  
3 rates. The Commission has said LNG terminals aren't going  
4 to be rate-regulated. The Commission has done what you're  
5 describing, and what we're suggesting is storage facilities.  
6 What I'm suggesting is storage facilities are more like new  
7 merchant generators or LNG terminals than they are like long  
8 pipelines that are essential facilities for the markets they  
9 serve.

10 I recognize the problem we've got. It does a  
11 require a departure from Commission policy, but it's not a  
12 departure in the context.

13 MR. MORROW: Perhaps you could give us the codes  
14 of conduct that you view as appropriate from the independent  
15 storage that we apply to electric generators.

16 MR. BOWE: I think that's a valid point.

17 MR. KELLY: John, can I ask a follow-up question.  
18 I think I get the point that cost-based rates would not be a  
19 mitigation of market power measure that would be acceptable.  
20 Is there one that would be?

21 MR. BOWE: By mitigation, I suspect what you mean  
22 is some external mechanism the Commission could insist upon  
23 to ensure that over time market power isn't accumulated?

24 MR. KELLY: Not that it isn't accumulated.

25 MR. BOWE: But that it isn't exercised.

1 MR. KELLY: It isn't abused; right.

2 MR. BOWE: One measure that has received judicial  
3 sanction is the complaints process if someone believes they  
4 have been the victim of the exercise of market power. We  
5 have that recourse, which perhaps has gotten a bad name over  
6 the years, but which has become legally sufficient. As far  
7 as other mitigation, I have some ideas as to other  
8 mechanisms that might come into play at the time of  
9 contracting. It may be that some of those measures are  
10 already essentially a part of the fabric of Commission  
11 regulation. The capacity is offered into the market through  
12 an open season process, and it's transparent. It allows all  
13 potential customers the opportunity to get some services  
14 coupled with the Commission's ability to monitor what's  
15 going on and perhaps to require, basically reporting on what  
16 happened during the open season process. That's not  
17 something the Commission currently gets into a lot of detail  
18 on, but could. And I think in a sense knowing that the  
19 Commission is going to be watching the process by which  
20 contracts are let, renewed, new capacity is being offered in  
21 the market is itself a mitigating measure.

22 MR. KELLY: Is there an external index that would  
23 exist that something could be pegged to market price or the  
24 swing differential?

25 MR. BOWE: The difficulty there is each

1 participant in the market has its own sort of intersection  
2 of supply and demand curves. It's very difficult to  
3 generalize across the entire market and come up with  
4 something reasonable that isn't wrong for some group of  
5 people.

6 MR. MORROW: Not only that, most salt facilities,  
7 specifically a lot of the value in the service is the  
8 optionality. So, what those customers use to say what is  
9 the storage facility worth is a fairly complex option model.  
10 Okay. What can I pay for this service, and what will I get  
11 out of it. So, depending upon volatility curves and futures  
12 and what happened yesterday, it would change.

13 MR. BOWE: And those option models are extremely  
14 proprietary, as in they won't let you see them without  
15 killing you.

16 MR. MORROW: I hadn't heard about that one.

17 MR. BOWE: It's important to the function--

18 MR. KELLY: Those people who heard about it  
19 aren't here to tell.

20 (Laughter.)

21 MR. O'NEAL: It changes by location. Every  
22 customers' location will change the value that they see for  
23 storage. So, if you're talking about somebody in the Gulf  
24 versus somebody in the Northeast, the value that they see  
25 for the seasonality basis will change drastically.

1                   MR. PINKSTON: I had a question I guess for the  
2                   independents. Would market-based rates really make a  
3                   difference right now? I guess the impression is the  
4                   economics are very difficult, especially for high-delivery  
5                   storage. And I guess number two to the extent there's some  
6                   value there, could you have an affiliate non-operating  
7                   company, unregulated that could hold the capacity and then  
8                   capture that value through commodity by sell?

9                   MR. BOWE: On the second point, the answer is  
10                  yes. In fact, a number of operators do have exactly that  
11                  structure in place. That is, there are storage operators  
12                  who have affiliates who hold capacity in their facilities  
13                  and who operate as marketers of the capacity separate and  
14                  apart from the operation of the facility itself. There's a  
15                  number of examples the Commission is familiar with. A  
16                  number of people in this room have things that are more or  
17                  less like that.

18                  On the first question, which is eluding me at the  
19                  moment, will it help. The answer is: if you don't do it, I  
20                  can guarantee you what the result is for a project like the  
21                  Red Lake Project. There are people I believe who are  
22                  willing to put capital at risk. They're not willing to put  
23                  it at risk if they have no opportunity for return down the  
24                  line.

25                  MR. PINKSTON: In Red Lake's case, having the

1 unregulated affiliate is not desirable or there's some  
2 reasons you can't do that.

3 MR. BOWE: I can't really speak to the question  
4 of what Red Lake would do going forward, because that would  
5 be under new and different ownership. But it would be nice  
6 to think that the affiliate has the ability to capture all  
7 the optionality that exists and be able to bring it back to  
8 the parent entity. That is an uncertain proposition, and  
9 meanwhile the developer, the hard asset owner, has to put  
10 all its money literally in the ground. So, you have a bit  
11 if a disconnect between the ability to gain the reward that  
12 you would like to gain for your investment as asset owner  
13 versus potential optimizer down the line. Putting in two  
14 different people doesn't necessarily allow you to do what  
15 having market-based rates for the asset owner would allow  
16 you to do.

17 MR. MORROW: I think market-based rates would  
18 help just for a couple of reasons. Number one, we've seen  
19 over the last 10 years, the value of storage is not the  
20 same. It varies widely from what it is today to a fourth of  
21 that amount. When we look at a cost-based rate structure,  
22 it's going to pick some point in the middle; and during the  
23 years, where we're getting less, there's no one there to  
24 make that up for us in the years that we're getting more.  
25 We're just losing it. All it's doing is effectively

1 lowering the overall rate of return of the project. The  
2 other key point is that's not what our customers want. They  
3 want the ability to pay for a service that they can actually  
4 get at that time, on a yearly basis, especially if you move  
5 into the hub services type arena--parking, loaning. Those  
6 types of services are very clear. They look at NYMEX. They  
7 look at the price of gas today. The price of gas two months  
8 from now. You can do a park deal, and they'll pay you some  
9 percentage of that fee.

10 If you try to charge more than that, they'll just  
11 say no. They would go into NYMEX or they'll find another  
12 storage operator that will allow them to do that. But NYMEX  
13 is what's setting the prices, especially in the hub services  
14 area.

15 MR. MOSLEY: Let's have a couple more questions  
16 from staff, and then we can move on to the Q&A session.

17 MR. NICHOLS: As a projects guy, I want to switch  
18 the focus of this just a little bit. It's clear from the  
19 discussion that there's no consensus about how much the  
20 storage capacity in this country. Is there a benefit to the  
21 market to customers to come into a common understanding of  
22 what we have? By analogy, I kind of look at things like the  
23 storage report that comes out on Thursday. Here, it seems  
24 like we have a situation where perhaps because of differing  
25 methodologies, we may arrive at different numbers.

1                   MR. DANIEL: I certainly think it would be of  
2 benefit to the industry as a whole to have a clearer picture  
3 on this whole issue of working gas capacity and how adequate  
4 it is relative to current demand. It is a very difficult  
5 issue to get at. To get a real good definition around the  
6 physical capability of the storage facilities, I think is  
7 challenging. I think people use different definitions when  
8 they come up with their working gas capacity estimates. But  
9 some greater commonality and some greater confidence in  
10 those numbers I think would help. It still leaves the  
11 issue, though, I think that it's much more difficult to get  
12 at of the difference between the physical capability of all  
13 of those facilities and their practical ability to handle  
14 the amount of gas that needs to be shifted from summer  
15 demand to winter demand. I just don't want to underestimate  
16 how difficult it is to get at that. As result, I really  
17 think the only way you're going to get a handle on that is  
18 by really closely watching the market, and how it responds  
19 as storage facilities as a whole start to get used. I think  
20 the market starts to tell you when it looks like you can't  
21 get any more gas into storage in September and October.  
22 Similarly, the market starts to tell you when some very high  
23 prices, when it's physical difficult to get more gas out of  
24 storage in February than what is coming out. I think that  
25 kind of closely watching the market that way is the best

1       indication of when we're approaching constraints on storage  
2       capacity.

3                   MR. BOWE:   Knowing more would be better.   But  
4       there is not a correct answer to the question how much  
5       capacity do we have and how much -- because the values are  
6       so static, the question of how much gas you can get out of a  
7       facility can only be answered under actual operating  
8       conditions at the moment.   You'd have a better idea of what  
9       our theoretical total capacity is.   You might be able to get  
10      a very clear idea of what is the maximum amount of gas you  
11      can get into every facility we have in North America.   We  
12      have a little bit of a margin for error, but knowing exactly  
13      what that translates into in terms of base versus working,  
14      which is an arbitrary distinction, and what it translates  
15      into in terms of deliverability and injectability is very  
16      difficult to nail down precisely.   The question of whether  
17      you can withdraw on a given day will have maybe more to do  
18      with your dehydration capability than it will with the  
19      number of reservoir based storage or the amount of gas  
20      you've gotten in the salt cavern storage, and that may have  
21      a lot to do with ambient temperature, which, as we know,  
22      changes from time to time.   So, it would be better to know  
23      more, but we'll never know the answer completely,  
24      accurately.

25                   MR. CARLSON:   Mr. Morrow, in your scenario where

1 you're saying you do the hub-to-hub transactions, if I've  
2 got the picture, you would be combining market-based storage  
3 with cost-based transportation. How would we price the  
4 transportation. Would you do a separate analysis for  
5 market-based transportation on pipeline?

6 MR. MORROW: We would view the transportation  
7 basically as an asset, a contract, that we could fit into  
8 our portfolio. And it's just peaking and part of our  
9 overall asset base, we'd price the service on a market-based  
10 rate, that the price of gas is at point A and point B, and  
11 would charge the customer for that service. They will  
12 inject. They will withdraw, and we'll be able to charge  
13 whatever the rate differences were at that time.

14 MR. CARLSON: You're not proposing any separate  
15 analysis?

16 MR. MORROW: The separate analysis is basically  
17 the idea of hub service is one the ability to do a deal very  
18 quickly. When the customer needs something, they want to do  
19 a deal for the next day. A lot of our customers are trading  
20 on a daily basis for tomorrow's flow. Try to go out and do  
21 a capacity release. Go out on the bulletin boards and do  
22 all those things. It just doesn't work effectively on a  
23 day-to-day basis. You have to just be able to offer a  
24 service, let them know what the price, and they get to chose  
25 if they take it or not. So, from our perspective, that's

1           how we would price it and look at it.

2                       MR. BOWE:  There's no real need to do a separate  
3           analysis.  The transportation component of this service is  
4           going to probably be a service that's capped at a cost-based  
5           rate in either the inter or intrastate markets, with maybe a  
6           few exceptions.  Perhaps the particular transportation will  
7           be priced something below the maximum rate, but that's just  
8           the cost for the storage provider of providing the hub-to-  
9           hub or bundled delivery service that the market's asking  
10          for.  It's an input to the determination of what the service  
11          is worth.  But basically, the storage provider has to try to  
12          get that rate back in the price it can charge for the  
13          service.  It's not suddenly making that cost-based --  
14          market-based piece.

15                      MR. MORROW:  Basically, we've combined three  
16          facilities.  We have one facility where the gas is going  
17          into that's taking up the injection capacity on that day.  
18          The other facility gas is coming out of, which is the other  
19          storage facility that's taking up delivery capacity on that  
20          day.  Then we have the transport that we're moving typically  
21          on a continual basis.  The day that service is offered we  
22          may not be actually moving any gas on that pipeline.  We may  
23          have done it the night before in hopes that somebody would  
24          want to do a service that day.

25                      MR. BOWE:  You may not get the cost of that

1 transport back on that day, depending upon what the price is  
2 -- that the market will pay that day.

3 MR. MORROW: I guess our idea -- what we're  
4 saying is when we integrate, we'll be able to go out and be  
5 able to contract for either storage or transportation, and  
6 integrate those contracts into our asset base, and be able  
7 to offer these services.

8 MR. CARLSON: What -- the transportation you  
9 acquire, would that be acquired separately?

10 MR. BOWE: It's available separately today. It  
11 may be that the market wants you to combine -- maybe the  
12 market doesn't want to be bothered with it.

13 MR. CARLSON: If you would sort of flesh that out  
14 in your comments. I'd appreciate it.

15 MR. MOSLEY: No more questions from staff. We'll  
16 go to the Q&A session.

17 (No response.)

18 MR. MOSLEY: We're going to move to the question  
19 and answer session for this panel and for staff. Please  
20 limit it to the issues discussed by this panel. Again, a  
21 reminder: please don't discuss any pending cases. We have  
22 volunteers here to kick off the question and answer session.  
23 We have Rex Bigler from UnoCal, followed by William Rice,  
24 from Central New York Oil and Gas and the Stage Coach  
25 Storage Project. They're going to kick off the Q&A for us,

1 after which members of the audience are invited to come up  
2 to one of the two microphones that are there. Just a  
3 reminder to state your name and what organization you  
4 represent. Rex?

5 MR. BIGLER: Thank you for the opportunity to  
6 speak today. My name is Rex Bigler. I work for UnoCal,  
7 also an independent owner-operator and developer of natural  
8 gas storage facilities in the United States. The first  
9 thing I want to do is commend the panel. Everybody had some  
10 very relevant topics that I think very well represented what  
11 the opinions are and the issues are related to natural gas  
12 storage development and the challenges to independent  
13 operators in the U.S.

14 I had a list of things I wanted to reinforce as  
15 far as points, and then I wanted to perhaps some of the  
16 questions that, John, you had asked earlier with respect to  
17 storage. One of the main things I wanted to emphasize, and  
18 I think I've heard a little bit about today from  
19 Commissioner Kelliher, is that policy is needed that  
20 recognizes that natural gas storage is a different, perhaps  
21 higher value capacity basis, and also more higher risk  
22 component of natural gas transportation service; that policy  
23 needs to recognize who the incremental developers of storage  
24 are and have a very good picture of what that representation  
25 is by the panelists today. It's mostly independent storage

1 developers, and the big distinction there is costs  
2 associated with development or failed development are borne  
3 by those developers solely. There is no rate-based to vary  
4 costs or to supplement revenues to bounce back from some of  
5 those developments. So, failed projects cost real money and  
6 have real implications to independent developers.

7           Second, storage development is a risky business.  
8 We've heard that a lot today. It certainly is exceedingly  
9 true--a high degree of geotechnical risk, particularly for  
10 the type of incremental storage facilities that are needed  
11 today. We've heard a little bit of talk about reservoir  
12 storage facilities, about some of the aquifer storage  
13 facilities that originally provided peaking and heating load  
14 service that was needed in the country. It's very difficult  
15 for an independent storage developer to go out and develop a  
16 large aquifer storage facility today. Just looking at the  
17 cost of pad gas alone, which would be 50 to 60 percent of  
18 the total capacity of the reservoir, it would be very  
19 difficult to do it under today's rate structure, rate  
20 recovery structure. So, what the industry needs today is  
21 reservoirs that can react to the volatility that's created  
22 by the increased amount of electrical generation load that's  
23 been added to the system. So, they don't necessarily all  
24 need to be salt facilities, but they need to be reservoirs  
25 that have good permeability and the ability to react real

1 time with some of the load requirements of those electrical  
2 peaking generators. We've heard a lot today about market-  
3 based rates. I don't need to I think to say -- that I need  
4 to say a whole lot more about that, although I certainly  
5 support the concept.

6 We've heard a lot of discussion today, John, on  
7 some of your questions about storage. Ultimately, storage  
8 is built to provide efficiency to the transportation  
9 systems. Part of the way Unoco goes about deciding where it  
10 wants to develop independent storage facilities is we model  
11 the transportation system of the U.S. and see where  
12 additional efficiency is required. Hence, we have  
13 developments in northeast Colorado to serve the Colorado  
14 Front Range, where we feel there's infrastructure  
15 constraints, but also that we just to Arizona, where we have  
16 an active development going on to try to solve that  
17 particular issue.

18 The value of that incremental capacity and those  
19 markets is going to vary between the stakeholders. What's  
20 the value of security of supply to an LDC? What's the value  
21 of not having gas on a peak day for an electric generator.  
22 Those values are what needs to be able to be captured by the  
23 independent storage developers that are really serving that  
24 particular need. So, we're very supportive of market-based  
25 rates for that reason. If cost of service rates continue to

1 be out there, we would certainly ask to review the  
2 methodology for determining the returns that are available  
3 to developers under cost of service, recognizing that these  
4 are not pipeline projects that are fully subscribed.  
5 There's a tremendous amount of additional risk that goes  
6 with the development of these projects.

7 One thing I wanted to hit on that Mark Cook had  
8 mentioned is the pipeline companies. In some areas where  
9 independent storage is attempting to be built, the pipeline  
10 companies are not always as receptive as they could be to  
11 it. Attaching those incremental storage facilities to their  
12 systems, it does provide, because storage provides  
13 efficiency, it also impacts the pipelines. Theoretically, a  
14 customer that has storage on a pipeline may be able to  
15 reduce its MDQ on that particular pipeline, because it's had  
16 to subscribe to a tremendous amount of firm capacity to meet  
17 a one- or two-day peak load, so we may have an entire 15  
18 percent load factor related to that particular capacity.  
19 But establishing some policies that facilitate the  
20 interconnection of those facilities, the timely interconnect  
21 agreements to get those done, and also the rate making  
22 that's established. Pressure put on those systems to get  
23 gas to and from those storage facilities is very important.  
24 The storage facility can do a lot of things, particularly  
25 high deliverability, good reservoirs, salt projects. We can

1 do just about anything you want to do as far as load  
2 following goes, but the only limitation being we can only do  
3 what the pipeline companies will physically allow us to do,  
4 so there's still that interconnection and there's still a  
5 cost associated with moving gas back and forth in those  
6 pipelines. That's all the comments I had today. Thank you.

7 MR. MOSLEY: Thank you, Rex. William Rice.

8 MR. RICE: Good morning. Thank you for the  
9 opportunity to make these comments. My name is William Rice  
10 with Dewey Ballantine. I am here today representing Central  
11 New York Oil and Gas Company. Central New York is the  
12 developer of the Stage Coach storage project in south  
13 central New York. It's been completed and in operation for  
14 a couple of years now.

15 I'd like to follow up on three issues raised by  
16 the panel this morning, all of which we agree with. The  
17 first is Central New York believes the Commission's current  
18 certificate process works very well. By cooperating with  
19 staff and others, we're able to get our certificate order in  
20 a reasonable time and to respond to challenges that came up  
21 during construction.

22 The second is the need for market-based rates.  
23 We were granted market-based rate authority as part of our  
24 certificate order. We now have a couple years of  
25 experience. The flexibility has allowed us to craft rates

1 that match the needs of the marketplace. And without  
2 market-based rates, Central New York could not have done up  
3 to the Stage Coach Storage Project.

4 My last point is that Central New York would  
5 endorse the suggestion of ENSTOR's Matt Morrow that  
6 independent storage projects should be allowed, offered  
7 delivered storage services, including the flexibility to  
8 compete with pipeline services, possibly including a waiver  
9 of the shipper must hold title rule, the ability to hold  
10 upstream-downstream capacity on pipelines, and perhaps the  
11 ability to assign or sublet storage capabilities outside of  
12 the traditional capacity release model. Thank you very  
13 much.

14 MR. MOSLEY: Thank you. Do we have any members  
15 of the audience who would like to address this panel?

16 MR. CHANCELLOR: Craig Chancellor with Calpine  
17 (sp?). I've got a question for the independent storage  
18 operators and developers. I think the staff report, and  
19 Carl echoed it as far as the customer profile and perhaps  
20 utilization. Carl, you said 75 percent that has  
21 historically been LDCs. Do you see as independent  
22 developers that same customer profile moving forward in that  
23 same ratio or do you see utilization change in the new  
24 storage being developed?

25 MR. COOK: Craig, I'll take a hand at that. The

1 services that a few years ago I was providing were primarily  
2 merchants -- almost all the merchants were taking the  
3 storage and leveraging it and providing all the peak-day,  
4 10-day delivery. All the different services that the  
5 utilities were requiring. Many of them are since are no  
6 longer as active any more. I think the market by now, and I  
7 don't know what's being sold on honestly at the moment, but  
8 I think there's kind of a stand back and wait to see if  
9 merchants develop and pick up that role. Are other people  
10 going to take the responsibility to the utilities -- do the  
11 utilities take their responsibilities themselves and change  
12 the way they pass through gas costs and the way they manage  
13 their books before. We always hear about the generators  
14 being the person that really needs the storage, the  
15 independent generators. Most of them are not storage  
16 customers, and don't hold firm transportation, a lot of  
17 them, because of the fixed costs in their recovery model. I  
18 don't know who the storage customers are going to be going  
19 forward. I think LNG people probably need the services they  
20 can provide to operate the system more efficiently and  
21 effectively, and I do think that the utilities that are  
22 currently in that marketplace will come back into that  
23 marketplace to replace the merchants that were providing  
24 those services before.

25 MR. DANIEL: I think ultimately still, the

1 biggest ultimate market for storage capacity should be the  
2 local distribution companies. It's really their very large  
3 and growing winter load requirements that put most of the  
4 demand on storage. The real issue is will they be directly  
5 customers for storage capacity to a greater extent than they  
6 have been in the past, or will we go back to the situation  
7 we were in a few years ago where we're increasingly starting  
8 to rely on merchant companies to essentially manage that for  
9 them, to go out and contract for storage, optimize it, and  
10 then deliver them the gas they needed. With what has  
11 happened with the merchant energy et cetera, I think it has  
12 forced local distribution companies to think again about the  
13 need to go out and contract for capacity. But I would tend  
14 to think as we go forward, if it does turn out that we do  
15 become somewhat more constrained in terms of storage  
16 capacity, and therefore there is the feeling of a need to  
17 have somewhat longer-term commitments to assure that you  
18 have access to adequate storage, I would think all of that  
19 ought to lead to local distribution companies becoming more  
20 interested in long-term contracts for storage. So, I expect  
21 that to be a growing market. There's an important issue  
22 there for state regulatory agencies, of course, as well, to  
23 make sure that there are no regulatory impediments at the  
24 state level to local distribution companies entering into  
25 long-term contracts, whether it's for storage capacity,

1 pipeline capacity, or just gas supply. Not requiring that  
2 they have long-term commitments, but making sure there are  
3 no long-term impediments to having that.

4 MR. BOWE: On that last point, I might note at  
5 least one state commission, the Arizona Corporation  
6 Commission, has adopted a policy of pre-approving long-term  
7 capacity commitments on the part of utilities, both gas and  
8 electric in the State of Arizona because of the concern that  
9 the Arizona Corporation Commission has with the degree to  
10 which the existing infrastructure is adequate to support  
11 over the long term deliveries of both gas and electricity in  
12 Arizona and nearby markets. So, today, you can before the  
13 Arizona Corporation Commission and seek an order pre-  
14 approving a commitment, for example, to pipeline capacity or  
15 one offer storage capacity, giving the regulated company  
16 some assurance that they will be indeed be able to recover  
17 the costs essential to those commitments.

18 MR. LEVANDER: The point made at the beginning  
19 about the market was just to make the point that really we  
20 talk about storage. Storage is an asset. Three different  
21 types of assets. The issue really is what's the product  
22 that it's offering, and what is the purpose. You've heard a  
23 little bit of the spread of the stuff here. The thing I was  
24 talking about is physical reliability to deliver storage. A  
25 lot of what you hear from the independents has to do with

1 financial, as well as physical supply kinds of issues. So,  
2 when you talk about customer base, I really think it becomes  
3 relevant to look at what is the product that's being  
4 offered.

5 MR. MORROW: Real quick, looking at the United  
6 States, the Gulf Coast is probably 75 percent trading  
7 companies for your customers as opposed to the LDCs. As you  
8 move up to the Northeast, it flip flops, and you're kind of  
9 75 percent is actually being used for delivery as opposed to  
10 the trading taking in that capacity. You've got to  
11 remember, there isn't a whole lot more storage in that area.  
12 So, a big portion of what the contract is LDCs, just because  
13 of its location.

14 MR. MOSLEY: Any more questions from the audience  
15 before we break? Yes, sir.

16 MR. MOODY: My name is Bill Moody. I work with  
17 Southwest Gas Corporation. We're dead smack in the middle  
18 of the Arizona situation. We serve Phoenix, Tucson, Las  
19 Vegas, and parts of the desert California, and the  
20 discussion of market-based rates gives me pause, and I may  
21 need security, because these guys are going to chase me out  
22 of here at lunch. But here's the pause it gives me: the  
23 essential service that I would purchase or services I would  
24 purchase from storage include the ability to park gas or  
25 take gas out and perhaps capacity services because in the

1 desert we have a very peak key environment. What I'm faced  
2 with as an LDC that ultimately we're the people you're  
3 talking about when we pay the bills, and we sign up for  
4 long-term capacity, we have to by our charge. The problem  
5 we run into in the State of Arizona we've got tightening  
6 tariffs on our pipeline, leading us all inexorably towards  
7 some sort of storage facility. But if you add up all the  
8 usage and requirement for storage, you probably are going to  
9 be able to build one. When you build one, if it has market-  
10 rate power, and I have to sign up for 10 years, that strikes  
11 me that that would be a very difficult situation from which  
12 to determine how much I should pay. It's true. We do have  
13 a pre-approval process, but it strikes me that there should  
14 be a great deal of care in that situation taken when  
15 determining. I'll make a joke here. What rate could be  
16 extorted? It's not an extortion plot, but the bottom line  
17 is precious few of us in line to purchase these services,  
18 and there isn't a lot of trading of gas going on and leading  
19 into the future when non-rateable end of LNG comes in at the  
20 California coast.

21 One of the only ways that we'll be able to take  
22 advantage of that directly would be to be able to take some  
23 LNG rateably end use storage to fill in the gaps in our LDC  
24 load profile, which is classic. Every LDC in the country  
25 has it. Thank you for the opportunity.

1 MR. MOSLEY: Thank you. Anyone else?

2 MR. HOLLIGAN: Jeff Holligan with BP. We don't  
3 have any equity positions in any storage field. Let's start  
4 with that. But I think with regard to market-based rates  
5 and market power, you can kind of have an analogy here with  
6 electric markets between tradeoffs between generation and  
7 transmission and storage is kind of an asset that can be  
8 looked at for it reflects congestion in the system. As long  
9 as there's a true tradeoff, if storage prices go high, the  
10 transmission system can be expanded to basically devalue  
11 that storage. So, I think you have a self-mitigating factor  
12 there. It's like a price signal. I'm really not concerned  
13 with market-based rates for storage as long as the storage  
14 operator and the pipeline are, in fact, competing with each  
15 other. I would have a problem if the storage operator took  
16 pipeline capacity and priced that capacity based on basis  
17 differentials because then they would be self-tied, and you  
18 wouldn't have that competition there that you need to  
19 mitigate the market-based rate storage by having the ability  
20 to expand the pipeline capacity to devalue that storage if  
21 the rates were too high.

22 MR. MOSLEY: Thank you. Did you want to respond  
23 to that? I saw you squirming over there.

24 MR. MORROW: If I could. I definitely understand  
25 his point, and I think that a pipeline should be allowed to

1 be a customer of the storage facility as well if they need  
2 storage to help mitigate the problems, like we've kind of  
3 heard from on El Paso. They could become a storage  
4 customer. Utilize that flexibility of the facility to help  
5 their system operate better and vice versa. The storage  
6 facility should be allowed to take transportation so that  
7 they can then compete. Both sides can compete with one  
8 another as long as both sides have the ability to take that  
9 transport or storage at each other's facility.

10 MR. MOSLEY: Thank you. We're running a little  
11 bit behind schedule here.

12 COMMISSIONER WOOD: One quick thing on the post  
13 conference comments. I want to ask for comments on what  
14 type of reporting requirements the Commission should impose  
15 if it decides to grant market-based rates to independent  
16 storage projects. What would be sufficient activities in  
17 addition to reporting requirements that would satisfy our  
18 need to monitor the market. If you could let us know those  
19 types of things, that would be helpful.

20 MR. MOSLEY: Thank you. We'd like to take a  
21 short break here. We are running behind. If I could have  
22 especially the panelists back at 12:15 p.m. That will be a  
23 20-minute break, and we'll kick off the second panel.  
24 Again, thank you, everyone.

25 (Recess.)

1           CONCEPT OF A PROGRAM FOR CREATING MORE UNCOMMITTED RESERVE  
2           STORAGE AND PIPELINE CAPACITY

3                       MR. MOSLEY:  If we could get our second panelists  
4           to step up to the table, please.

5                       (Pause.)

6                       MR. MOSLEY:  Let's begin the second panel.  I'd  
7           like to introduce everybody.  I'm going to introduce  
8           everyone in the order in which they will be speaking.  
9           Starting on my right, and your left, is James Wilson,  
10          Principal from LECG, LLC; John Hopper, President and CEO  
11          from Falcon Gas Storage; Jay Dickerson, Vice President,  
12          Tennessee Gas Pipeline; Tim Oaks, Manager, Federal  
13          Regulatory Affairs for UGI; and Craig Chancellor, Director  
14          for National Fuels Regulatory, Calpine, Corporation.

15                      Gentlemen, let's limit this to issues that are  
16          not currently pending before the Commission in any  
17          particular case.  With that, Mr. Wilson, will you get  
18          started?

19                      MR. WILSON:  I thank the Commission for giving me  
20          the opportunity to speak.  I'm a consultant.  I'm not  
21          speaking on behalf of any part.  So, my comments are my own  
22          views, not those of any client or LECG.

23                      The topic of this panel is would it be useful to  
24          establish a program to create more uncommitted reserves,  
25          storage, and pipeline capacity, and the notice of the

1 conference mentioned constraints during peak periods and  
2 also the increased outages anticipated as a result of  
3 inspections under the new DOT rules. The motivation to ask  
4 this question is clear: more pipeline storage capacity  
5 mitigates the likelihood of constraints and resulting price  
6 spikes and volatility in the short-term market. More  
7 capacity is better. However, the Commission's policy has  
8 long been that the when, where, what, and who of pipeline  
9 and storage expansion is determined by market participants  
10 according to their needs and willingness to bear the risk  
11 rather than by regulatory authorities or programs.  
12 Expansions occur when there is market support for them. In  
13 my opinion, the Commission's policy in this regard has  
14 worked well, and natural gas infrastructure has generally  
15 expanded in a timely and efficient manner.

16           While I don't have time to elaborate, I don't  
17 think the periods of high prices that have occurred locally  
18 in recent years, and in the west end in New England, are a  
19 contradiction of this conclusion. The key to the success of  
20 the Commission's policy is the willingness of many market  
21 participants to commit to pay the fixed costs of existing  
22 and new pipeline and storage capacity through subscription  
23 to existing new firm capacity. Other participants chose not  
24 to bear these costs, and they accept and bear the risks of  
25 high basis differentials and price volatility. Should

1 infrastructure constraints arise, when gas demand increases,  
2 and the prospects of constraints appear more likely,  
3 consumers and their agents increase their contracting or  
4 hedging to protect more of their purchases from potential  
5 high prices, and this stimulates capacity expansion.

6 This policy works well, and there are things that  
7 can be done to help it work better, such as providing  
8 developers more flexibility to match services and rates to  
9 market needs and removing barriers to contracting and  
10 hedging by loads.

11 But a program to create uncommitted reserve  
12 capacity would be incompatible with and instructive of  
13 Commission policy of market-driven expansion except when the  
14 program has some effect, and resulting in some uncommitted  
15 capacity beyond what the market chose to build. The short-  
16 term impact of the program could be to depress basis  
17 differentials and price volatility as intended.

18 Regardless of how the program might be  
19 implemented, by depressing basis differentials and  
20 volatility in this manner, it would reward and encourage  
21 those market participants who declined to support the system  
22 financially and didn't contract by providing them with  
23 protection they aren't paying for while punishing those  
24 market participants who committed to firm capacity and  
25 demand charges by diminishing the need for and the value of

1 their firm capacity holdings. The result would be to reduce  
2 the incentive to hold firm capacity or commit potential new  
3 capacity offered in LDC, exactly the opposite of the  
4 incentive the Commission's market-driven policy requires.  
5 Such a program could, therefore, cause market-driven  
6 capacity expansion to slow or come to a halt.

7 The California Commission asked very similar  
8 questions in a rule making earlier this year. All  
9 commenters criticized and opposed the concept of uncommitted  
10 reserves of storage and interstate pipeline capacity, with  
11 the exception of a few parties who were potential providers  
12 of such reserves. In responding to the rule making, the  
13 California utilities called upon to propose that  
14 specifically how such reserves could work, identified  
15 numerous issues and problems regarding how such reserves  
16 could be provided, how they would be used, how the storage  
17 would be refilled, how it would be paid for, and we were  
18 unable to find good answers to many of these questions.  
19 That was proceeding R0401025. I worked for one of the  
20 respondents on that.

21 Policy changes to encourage capacity adequacy  
22 should be designed to work within and enhance the  
23 Commission's fundamental approach of market driven expansion  
24 rather than going around and subverting this approach. As  
25 suggested by the staff report and other commenters here

1 today, affording storage developers more flexibility in  
2 designing services and rates will encourage development of  
3 new capacity and contribute to adequacy. Staff's proposal  
4 to grant market-based rates to new independent storage, even  
5 if the absence of market power cannot be definitively  
6 established, with possible mitigation measures, is an  
7 approach that should be considered. One approach if  
8 mitigation is considered necessary could be a requirement  
9 that the storage facility maintain a minimum level of  
10 contract coverage, even if some discounting of rates would  
11 be required to achieve this. For instance, it could require  
12 that they have 70 percent covered for at least one year or  
13 two years, and 40 percent for three years. Contracting  
14 transfers to control over and the benefits of the capacity  
15 to other parties; and, therefore, mitigates the ability  
16 incentive of the other to exercise market power in the  
17 short-term or long-term markets.

18 The concern was raised that upon recontracting,  
19 market conditions may have changed, and it may look like the  
20 facility has market power. I think you can imagine  
21 circumstances under which that would occur. That would  
22 likely be temporary because the market signal would be there  
23 for a new storage or a new pipeline capacity that competes  
24 with it to move in. So, I think where there's a concern, I  
25 think it would be a temporary situation. The flexibility to

1 design cost-based rates also encourages and facilitates new  
2 capacity, and I would just add one thought to what was said  
3 this morning: restrictions on storage rate design reflected  
4 in the equitable method I question whether they serve any  
5 public policy purpose and perhaps could be scrapped.  
6 Inefficient locational pricing, such as short haul and back  
7 haul tariffs that don't reflect costs, also raise the cost  
8 of a new storage facility in providing its services to  
9 customers, and addressing these problems can remove the  
10 barrier to entry. The staff report suggested that there  
11 might be something about the Southwest, such as that storage  
12 there cannot pass the Commission's market power test. I  
13 don't agree. I think that the fundamental concept in the  
14 market power test allows it to be applied in a realistic  
15 manner, and I think that, applied realistically, storage in  
16 the Southwest could pass it, if, indeed, that test is still  
17 needed.

18           With regard to pipeline capacity and potentially  
19 reserve there, the Commission might want to consider  
20 policies to provide stronger incentives for pipelines to  
21 minimize capacity reductions and their impacts on customers,  
22 especially in light of anticipated increase in inspection-  
23 related outages. One example of such incentives is included  
24 in the regulation of the United Kingdom gas pipeline system  
25 operator, Transco. Whenever Transco cannot deliver the firm

1 pipeline capacity that is sold, and its shippers intend to  
2 use, it is required to buy back the capacity in the market,  
3 and it can do it either in the short-term markets or it can  
4 do it in the forward markets. Transco faces an incentive  
5 mechanism that gives it the incentive to minimize the cost  
6 of those buy backs, and recently it's beating targets for  
7 those costs through various innovations that have minimized  
8 outage time and minimized the cost impact.

9 This approach shares a number of efficiency and  
10 incentive advantage compared to the tariff rules that  
11 provide for pro rata reductions with possible demand charge  
12 credits. To summarize, I think the Commission's market-  
13 driven for capacity expansion works well, and can be made to  
14 work better, such as providing greater flexibility to match  
15 services and need. The program to put your thumb on the  
16 scale and create uncommitted reserve storage pipeline  
17 capacity would backfire, discouraging market-driven capacity  
18 development. So, I encourage the Commission to reaffirm its  
19 commitment to its market-driven policies, and to reject the  
20 notion of a program to create uncommitted reserve capacity  
21 as incompatible with these policies. Thank you for the  
22 opportunity. I hope my comments were helpful.

23 MR. MOSLEY: Thank you, Mr. Wilson.

24 Next, we have Mr. Hopper of Falcon Gas.

25 MR. HOPPER: Thank you. John Hopper, President

1 and CEO of Falcon Gas Storage Company. I want to thank the  
2 Commissioners, the Chairmen, the Commission staff for the  
3 opportunity to speak here today.

4 Rick Daniel in a prior panel offered us a  
5 slightly different working definition, if you will, of what  
6 working gas storage capacity is, which I happen to agree  
7 with. I'd like to offer up a slightly different definition  
8 of what an independent storage developer is. In my case,  
9 what an independent storage developer is, is a storage  
10 developer that's not affiliated with an oil and gas  
11 producer, a pipeline company or a local distribution company  
12 or an electric utility, and if you look at the members of  
13 this panel, I think that narrows it down to me and Mark Cook  
14 that would fall under that definition. The reason why that  
15 is relevant to me as an independent storage developer is  
16 this. It has to do with access to capital markets, and the  
17 cost of that capital and how that relates to the development  
18 of independent storage projects. My cost of capital is  
19 essentially set by the private equity capital markets.  
20 That's where our project development capital comes from.  
21 So, when I have to access capital, I have to go in front of  
22 my board that consists of members of a private equity  
23 capital firm and convince them that a project would yield a  
24 return on their invested capital that meets their return  
25 requirements. In most cases, that's an excess of 20 percent

1 internal rate of return. Some of them will tell you that  
2 it's higher than that. That would compare with a different  
3 internal rate of return threshold. Of most the companies  
4 that spoke today, that would have some relevance in terms of  
5 not only of the applicability of market-based rates but also  
6 I think circles back to this idea of reserve storage  
7 capacity. I was heartened when Chairman Wood invited us to  
8 be frank and forthright in how we feel about it.

9 You have my PowerPoint presentation. There  
10 should be no doubt about what our position is on this issue.  
11 We are opposed to it in every possible sense of the word,  
12 and here's why: let me first say that I understand the  
13 rationale for it. It's a noble gesture, as was Prohibition-  
14 -

15 (Laughter.)

16 MR. HOPPER: As was pervasive wellhead to burner  
17 tip regulation. The goals are noble. The question is, is  
18 that the best way to get there. Obviously, we feel it's  
19 not. The reasons for that are several, are many: first of  
20 all, I don't see a way to do that without the cost of that  
21 storage being subsidized by generally commercial and  
22 residential rate payers, which I don't think is what the  
23 Commission has in mind or would intend. But here the law of  
24 unintended consequences would come into play. I don't see  
25 how independent storage developers could participate in that

1 program. It would, by definition, have to be a regulated  
2 utility that has a core-rate base customer base to pass  
3 those costs through. Then the question is, well, are the  
4 people paying the costs receiving the benefits of that  
5 storage? And that's just a whole 'nother slippery slope  
6 that I don't think is worth going down to begin with. It  
7 also sends the wrong pricing signal. The pricing signals I  
8 think are pretty self-evident. When you look at page 13 and  
9 14 of my presentation, that's the value of storage. The  
10 volatility and the value that can be extracted through the  
11 forward NYMEX curve. By putting the gas curves today,  
12 hedging it, taking it out six months from now, five years  
13 from now or whatever it is, that's the value of that  
14 particular type of storage. Multi-cycle storage has  
15 additional values that can be captured by using that to  
16 mitigate or capture the value of short-term volatility  
17 events, which were spoken about eloquently on the prior  
18 panel.

19 Load following is another service we provide as  
20 do the facilities that our analysts operate as well.  
21 Reliability, that's something that the market is going to  
22 put a price on. If it's valuable to the local distribution  
23 company, the power generator, a gas utility, an electric  
24 utility to have, the reliability of storage as a source of  
25 supply. They're going to put a value on that.

1                   Frankly, I think they ought to be able to  
2 negotiate that value with the storage provider. For an  
3 independent project, I just don't think that certainly  
4 pervasive cost-based rate making makes sense for new  
5 independent storage projects because it's just not going to  
6 attract the capital necessary to develop those projects.  
7 And, again in my case, the only way that I can deliver a 20  
8 to 30 percent internal rate of return on invested capital  
9 equity is really through leverage. I have to be able to get  
10 bank financing, low-cost bank financing to go along with the  
11 equity necessary to build a project. And, frankly, that's  
12 why, for example, our New York Project hasn't been built  
13 yet, even though it's been certificated for almost a year.  
14 We can't get the bank financing. The reason we can't get  
15 the bank financing is because we cannot get creditworthy  
16 customers to step up to the plate and sign 10-, 15-year  
17 contracts that will support that kind of financing. And the  
18 banks just aren't in the business of loaning long-term 17-  
19 year money at LIBOR plus 50 basis points, without sufficient  
20 credit capacity standing behind that. We cannot offer that  
21 ourselves. Some of the other independent "storage"  
22 providers may, through guarantees from their parent  
23 companies. We don't have that option available to us. So,  
24 we've had to explore other options to try to get these  
25 projects built. Joint venture partners. Perhaps selling

1 the projects if we can't get customer support on our own.  
2 You know, it's not just that. It's a series of events that  
3 have transpired really over the last four or five years  
4 since we started this company that are out of our control,  
5 and are really out of the control of the Commission.

6 When Enron goes bankrupt, that affects my access  
7 to capital. My cost of capital, the credit requirements  
8 that we have to meet for customers, I didn't do that. It  
9 wasn't my fault. But I bear the brunt of that or something  
10 like what happened at Moss Bluff happens. That affects me,  
11 because my insurance rates go up. It affects me because  
12 customers who didn't want or think they needed insurance or  
13 LDC letters of credit in place to protect their storage  
14 inventory. And now, I think they need that. That wasn't  
15 something that I did. But I have to pay the cost of that as  
16 a storage developer.

17 So, there are all these extraneous events that  
18 take place. That's all by way of saying I'm not complaining  
19 about that. That's just -- it's just what it is. The FERC  
20 certainly doesn't have any control over that, but to then  
21 suggest that one way of mitigating this problem, of price  
22 volatility is to, in effect, underwrite the cost of  
23 developing internal storage, essentially puts me out of  
24 business.

25 I cannot compete with that because that is, in a

1 sense, subsidized storage. I already compete with that.  
2 The markets in which we operate in Texas, and some of the  
3 other panelists have talked about, I have to compete with  
4 pipeline park and loan services, which are typically not  
5 cost-based. There's no cost attributed to them. They're  
6 setting, in effect, a ceiling for what I can charge for  
7 storage rates. That's not entirely true all of the time,  
8 because most of those services are interruptible, but it's  
9 our job, as developers, to say to the market: look. Our  
10 storage is worth more. Our service is worth more, because  
11 it's firm, and you can't count on that pipeline park and  
12 loan service to be there all the time. And while they  
13 understand that, they have to look at, and I think the prior  
14 panelists spoke to this, they have to look at, well, if I  
15 can get it 90 percent of the time on an interruptible basis,  
16 and the 10 percent of the time that I can't, I'm just going  
17 to pay freight. And if gas goes to \$40 for three days, so  
18 be it. That, right there, that sets a cap on what I can  
19 charge for storage. Those two things combined. If you look  
20 at that over a given time spectrum, a year, six months, five  
21 years, whatever it happens to be, we should be so lucky to  
22 be looking at five-year contracts. But that's what a  
23 potential storage customer is going to look at.

24 My job is to go in and convince him that I can  
25 deliver a service that meets his needs at less than the

1 aggregate cost of those kinds of services, if you will.  
2 That's been the challenge in this market. My point is, I  
3 would ask the FERC not to entertain the concept of, in  
4 effect, becoming an arbiter of what the market's needs are,  
5 where storage should be built, how much it should be built,  
6 who should be building it. Let the market decide that. Let  
7 the market bear the consequences. If their decision is I'm  
8 not going to contract for long-term storage, I'm not going  
9 to contract for storage at all, if the price of gas goes to  
10 \$70 at the New York City gate, the customers pay, because  
11 they had the opportunity to contract to meet that kind of  
12 volatility. In some cases, that's not all together true.  
13 If you can't get pipelines built in New York City a la  
14 Millennium, they don't have the option to do that. That's  
15 another market-driven issue, where you have landowners in  
16 Westchester County or whoever saying, look, not in my  
17 backyard. I don't want them built there, and you've got the  
18 same problem with LNG. You've got the same problem with  
19 storage facilities to some extent.

20 But that's the market speaking. We need to  
21 listen to what the market is telling us. I think that the  
22 NYMEX sends the correct pricing signals. You can pull up  
23 auction contracts or NYMEX contracts everyday and look at  
24 out months and see how the market is valuing that  
25 volatility. In a sense, that's what you're selling the

1 storage developer, is a call option on gas or a put option  
2 on gas, which all -- and the market is perfectly capable of  
3 pricing those services and telling them what it's worth, and  
4 where. You can pick up the gas daily and see how the market  
5 is pricing gas at a particular point that's listed in that  
6 particular publication, and the volatility associated with  
7 price units at those points. That will tell you, gee,  
8 that's a price where we ought to build storage, or that's a  
9 price where we shouldn't be building storage. The bottom  
10 line is: let the market work. And the market will send the  
11 correct pricing signals to storage developers. Then the  
12 question becomes can the storage developer earn a rate of  
13 return on invested capital that sufficiently compensates him  
14 for the risk of developing storage.

15 The prior panel enumerated a number of risks  
16 associated with developing storage. I've enumerated a  
17 number of them in my presentation. So, they all have  
18 certain development risks and operational risks out there  
19 associated with them that play a role in how storage should  
20 be priced and the kind of return that investment capital  
21 believes that it need to have in order to justify deploying  
22 capital into those assets, and I think the market will work.  
23 It may lag behind a little bit in terms of when it finally  
24 decides that this is necessary, which I believe it is. And  
25 we've been preaching this for five years that this kind of

1 volatility is going to happen, and that, yes, the next  
2 generation is going to have a pronounced effect on how gas  
3 pipelines are operated in this country. That's all coming  
4 to fruition.

5 I am waiting for my bank account to reflect the  
6 fact that we were right. It's a difficult business to be  
7 in, and until the market is willing to step up to the plate  
8 and pay the price, we're going to be operating under short-  
9 term contracts. And when the market is in the kind of  
10 configuration it is today, we're surely going to be out  
11 there trying to capture that value.

12 I was interesting in sort of the dichotomy  
13 between Matt Morrow's model, which when we started Falcon  
14 was the one that we adopted. Look we're a warehouse. We're  
15 going to rent space. That's all we do. What Daniel and  
16 their model is to combine the commodity along with the  
17 storage capacity, frankly, in this market, I'd lean more  
18 towards Rick Daniels' model, and away from our original  
19 model, because it's very difficult to capture the full value  
20 of that without bundling it with a gas commodity. I even  
21 heard Matt say, look, we need to bundle storage with  
22 pipeline capacity in order to capture the basis  
23 differential, as well as the temporal differentials that  
24 storage allows you to capture. I would go the other way and  
25 say, make the pipelines unbundle that service. That's the

1 way to level the playing field, so that the market knows  
2 what the true cost is of park and loan services. What the  
3 true cost is of using a line pack to provide storage  
4 services. The market doesn't know that because that price  
5 is masked because it's being underwritten by firm  
6 transportation customers who may or may not have access to  
7 that separate component, that park and loan, which is the  
8 storage service anyway you look at it. They've already  
9 effectively underwritten the cost of that service through  
10 the various demand charges on firm transportation, and that  
11 is another false market signal the market is getting. It's  
12 just not true. That does not reflect the cost of providing  
13 that service.

14 First of all, I thought the staff did a terrific  
15 job on this piece that they did on storage. I think it --  
16 they really did a great job of capturing the essence of the  
17 storage business as it's constituted today, and I was  
18 intrigued by a little graphic they had in there. I think  
19 they took in the presentation that C&G made at a storage  
20 conference about comparing the cost of developing I think  
21 salt cavern and reservoir storage. I'm not a proponent of  
22 reservoir storage, but I was intrigued by the fact that you  
23 can apparently develop nine BCF of working gas storage  
24 capacity with only \$3.2 million worth of pad gas. At six  
25 bucks, that's half a BCF of pad gas from nine BCF of working

1 gas capacity. I'm here to tell you, that's not possible  
2 physically. To support nine BCF of working gas capacity in  
3 a reservoir storage facility, I don't care how good it is,  
4 you're probably looking at five to six BCF of storage  
5 capacity if that slide is accurate.

6 There are some cost benefits being enjoyed by  
7 that project that are coming from somewhere, and I think  
8 that's something that if the Commission is interested in  
9 promoting independent storage development, they need to look  
10 at that, and really take a hard look at what I believe to be  
11 price subsidies that are taking place in the non-independent  
12 storage market.

13 With that, I think I've talked too long already.  
14 Thank you.

15 MR. MOSLEY: Thank you, Mr. Hopper. Mr.  
16 Dickerson.

17 MR. DICKERSON: Thank you. I appreciate the time  
18 to discuss the state of the industry with you. I guess one  
19 thing that hasn't been said I'd like to open up with. If  
20 you look at changes in the industry, there are often times  
21 necessary and helpful, but there's a backup that I think is  
22 important. If you look at the natural gas industry, as I  
23 have over my career, I think we're in a period of relative  
24 stability which provides a lot of benefits for the industry,  
25 and I think it's really a resource just as the energy

1 commodity is. So, I applaud the Commission of getting over  
2 the humps of 636, 637, and some of the other implements of  
3 changing the industry that have provided some degree of  
4 stability for us. I'm with Tennessee Gas Pipeline.  
5 Tennessee Gas Pipeline is a long-haul pipeline from the Gulf  
6 of Mexico to the Northeast. We originate in south Texas and  
7 offshore Louisiana and terminate in New Hampshire. We have  
8 a peak day send out of seven or eight BCF a day, depending  
9 on whether you measure it this past winter or the winter  
10 before. We are the tail of two pipelines so to speak. Our  
11 system is dramatically different. As you look at our system  
12 from the south, and you look at it from the north, and you  
13 move into the eastern half of New York, Pennsylvania, New  
14 Jersey, and all of New England, we are, I would argue, a  
15 constrained system in that we operate at or near peak day  
16 much of the winter. As you look at our system from western  
17 New York and western Pennsylvania back to the Gulf of  
18 Mexico, we didn't realize this, but we were ahead of our  
19 times. We are a reserve margin pipeline, and we have the  
20 better part of a BCF of capacity that's unsubscribed on a  
21 long-term basis. So, you have two very different worlds we  
22 operate in, and I'd like to discuss things from those two  
23 very different vantage points, and how that might impact  
24 policy issues for the Commission.

25 In looking or developing a policy position, in my

1 view, it's always good to step back and have a view of the  
2 world. I don't claim to have the only view of the world,  
3 but I'd like to step back and look at what I think are some  
4 facts that tend to say what might make sense from a  
5 Commission standpoint and a policy change standpoint.

6           There are much higher gas prices than we  
7 expected, that the higher gas prices are very much  
8 locationally defined. If you look at prices in New York,  
9 they are several times a multiple of where gas prices are in  
10 the Gulf of Mexico. So, I think there's a significant issue  
11 that we have very limited liquidity across the United  
12 States, upper eastern half of the United States. The good  
13 news is I think we have a tremendous base of supply and base  
14 of liquidity in the Gulf of Mexico. The MPC study, which we  
15 agree with the conclusions, tends to suggest that the Gulf  
16 of Mexico is going to be modestly climbing as a supply  
17 region. We're optimistic that that will happen. In our  
18 view of the world, we think LNG is an important new supply  
19 source for the industry, and we think it's probably going to  
20 migrate disproportionately toward the Gulf of Mexico for  
21 many reasons.

22           There is obviously the multiplicity of market  
23 access, the existing of excess processing capability, and I  
24 think today's topic, the geological friendliness of the area  
25 to storage development, which I think will go hand in hand

1 with LNG receipts and the building of LNG supply in the  
2 portfolio of large suppliers. We have other resources in  
3 the Gulf of Mexico, other important issues that I think are  
4 out there.

5 If you look at pipeline contracting practices, I  
6 think we've been given more credit perhaps than the first  
7 panel for having a stronghold of contractual controls over  
8 the marketplace. Pipeline contracts used to be much longer  
9 term than they are today. If you look at our average length  
10 of term today in the Tennessee Gas Pipeline over the last  
11 year or so, it's fluctuating between three and one-half and  
12 four and one-half years. I'm not going to ask for market-  
13 based rates, but, to me, that is not a dramatically  
14 different situation than some of the storage providers that  
15 existed in the first panel, and one thing that has changed  
16 with the higher gas prices that we're hoping will change  
17 contracting practices, as John mentioned, and I  
18 wholeheartedly agree, we are in a capital intensive  
19 industry. Within a capital intensive industry, financing is  
20 important and to set up financing and the term of contract,  
21 so, certainly for new capacity expansions, getting adequate  
22 commitments for the marketplace to backstop portion of the  
23 capital that's being employed to provide new capacity in the  
24 marketplace is as necessary. And one thing we're hoping  
25 that's going to change is, as we look at the average cost of

1 pulling capacity into the market from the Gulf of Mexico  
2 into New York is, for instance, today six percent of the  
3 city gate delivered cost, not because our costs have changed  
4 dramatically, but because gas prices have climbed so much in  
5 the relative scheme of things, holding pipeline capacity is  
6 roughly a third of what it was only five years ago. And  
7 that is a significant change in the world that we think  
8 exists, and it's going to be here over the entire period  
9 that we think it's going to be here for a good period of  
10 time.

11 The other issue I think from a policy matter  
12 tends to drive actions, and I'll give you my thoughts on  
13 what policy options you might want to consider after I go  
14 through this, is the dramatic difference in regulatory  
15 structure for the gas industry versus the electric  
16 generation industry. This hits us most directly in the New  
17 England region. If you look at the two markets in the New  
18 England region, it's the LDC markets and the -- they  
19 represent 122 BCF of contracted capacity in New England.  
20 They're all fully contracted. The Commissions review the  
21 amount of contracts they hold, and they typically try to  
22 build in reserve margins to cover contingencies to be able  
23 to serve their markets as they need to serve them. There is  
24 not a similar look on the electric side of what's adequate  
25 to support the electric generation load in New England. In

1 fact, in our system in particular, we've gone back and  
2 placed specific plants attached to our system. There's  
3 nearly a 40 percent gap between what is actually contracted  
4 and second what the actual total generation capability of  
5 those gas-fired generators are. So, there's a reliability  
6 issue to the extent that all those plants are needed during  
7 the season. There's a substantial reliability gap between  
8 those -- what is contracted and what is not.

9 We're not pointing fingers at individuals in the  
10 marketplace. In fact, we think electric generators are  
11 somewhat disadvantaged in that they have no ability to  
12 secure the adequate, appropriate portfolio of gas supply  
13 contracts or transportation contracts that will support  
14 their reliability capabilities on a peak day basis and their  
15 flow-through capabilities. And there are significant credit  
16 challenges to many of those parties in New England. To me,  
17 that is an area ripe for policy reconsideration, to try to  
18 consider what are the benefits as well costs, but benefits  
19 of providing an ability of ultimate generators of gas to be  
20 able to flow through the cost of holding enough firm  
21 transportation capacity to reliably serve core markets in a  
22 peak day situation.

23 Switching back to the other side of our system,  
24 the other half, the reserve margin side of our system, my  
25 staff works daily to try to marry up that reserve margin,

1 and we have today with new market growth, and not to  
2 transfer it to our competitors. It is a challenge for us.  
3 I recommend it to any other party, but what it does do I  
4 think in the way of the storage issues that have been  
5 discussed today. We are -- part of our field in new  
6 storage. If you look at a new storage field, that could  
7 potentially be developed in Western Pennsylvania, buying  
8 transportation capacity. Those are all tourniquets that the  
9 market faces. We have no objection to market-base rates by  
10 independent storage operators. I do think there are some  
11 corollary pricing issues that go along with that model as it  
12 relates to pricing pipeline capacity. Our fee for the  
13 Louisiana to Pennsylvania is \$0.35 demand charge on the 100  
14 percent load factor basis. It would seem to me to be  
15 appropriate without getting into the issue of changing the  
16 regulatory scheme in general, it would be appropriate to me  
17 to allow pipelines to provide daily sensitive pricing  
18 variations in their rate to accommodate market  
19 circumstances, so long as on an average basis over the full  
20 year. We would not get more than our approved average yield  
21 costs. This does two things: it benefits both the  
22 pipelines and storage providers. We would no longer have an  
23 artificially low price in the wintertime that would undercut  
24 what they're trying to sell. At a true market price in the  
25 wintertime, that would be a policy consideration or a

1 pricing corollary in the pipeline industry I would suggest  
2 you consider along with market-based rates.

3 I think I've probably used my time, and exhausted  
4 my comments at this stage.

5 MR. MOSLEY: Thank you, Mr. Dickerson. Mr. Oaks.

6 MR. OAKS: Good afternoon. I'd like to thank the  
7 Commission for this opportunity to speak. I'm Tim Oaks from  
8 UGI Utilities, Inc., in eastern Pennsylvania. Today, I'm  
9 speaking on behalf of the American Gas Association.

10 I'd like to cover three topics today. The first  
11 topic is LDC use of storage. AGA is concerned for some time  
12 now that there seems to be some misconception about how LDCs  
13 use storage, how we contract for it, how we plan for it, how  
14 we use it. In fact, I heard some of those misconceptions  
15 already today. Then I will move on to the topic of this  
16 panel, the uncommitted reserve capacity, and then finally a  
17 brief discussion about some market rates.

18 AGA members represent 90 percent of the gas that  
19 is delivered at retail in this country. As the staff report  
20 points out, we hold the majority of storage. We hold that  
21 storage for both the merchant and delivery functions that we  
22 provide. We utilize storage to meet retail obligations. We  
23 assure that we meet our winter requirements through storage.  
24 This morning I heard storage is an optional service. For  
25 LDC's it's not an optional service. It's a critical

1 component to what we do. It provides a large portion of our  
2 deliveries at the time deliveries are most critical. We  
3 focus our planning on delivering for a firm, reliable  
4 service. This cannot be overemphasized.

5 While we do use storage for other reasons, like  
6 price hedging, daily balancing, and no notice service, those  
7 unfortunate consequences of holding storage, our planning  
8 focus is still firm, reliable deliveries.

9 In my slides, I present a graph which is sort of  
10 gas supply planning 101. It provides something called a  
11 load duration curve, a bit of an unusual curve in that it  
12 resorts temperatures from coldest to warmest. It provides a  
13 quick profile of how LDCs face temperature sensitivity  
14 during the winter season. The planning focus of any LDC is  
15 to optimize its capacity portfolio to meet that load  
16 duration curve. We want to do two things. We want to  
17 maintain reliable service, and we want to meet it at least  
18 cost. We want to minimize fixed costs.

19 The second graph in the handout superimposes  
20 capacities on that load duration curve. The lines and step  
21 lines you see on that graph are representative of an  
22 optimized portfolio. It can be broken into three parts, as  
23 you know. FT, which is the flat line, which represents how  
24 firm transportation is more a base load serving capacity.  
25 Storage, which are the step lines immediately above firm

1 transportation, which serve to sculpt our capacities in a  
2 form that meets the demand requirements of the system. And  
3 then finally peak shaving, which is the step line at the  
4 very top for the very coldest days.

5 The third graph focuses on storage. Sculpting of  
6 storage creates three level of storage that LDCs contract  
7 for. I call the first new peak, approximately 20 days or  
8 less storage. The next one intermediate storage, which runs  
9 from 25 to 75 days, and then finally seasonal storage, which  
10 tends to run from 75 days to 150 days, the full winter  
11 season.

12 These differing levels of service are the primary  
13 tools for optimizing our contracts and for maintaining least  
14 cost. They also are part of close scrutiny by state  
15 commissions.

16 As I pointed out earlier, they are the primary  
17 components of our portfolio for the meeting of winter  
18 requirements. The next graph focuses on some of the  
19 benefits we receive from helping storage. We do use the  
20 price hedge of the summer injection versus winter  
21 withdrawals. While those benefits have lessened or become  
22 less assured over the last few years, those things still  
23 exist and we do use that physical hedge. There seems to be  
24 confusion regarding how LDCs inject storage versus price  
25 plays. Price plays generally are handed by marketers.

1 Virtually all LDCs are injecting during summer season. Even  
2 if the price levels we are experiencing on future NYMEX  
3 contracts are decreasing as we go through the winter, we  
4 will be injecting storage. We have no choice but to inject.  
5 The obligations to serve our firm customers outweigh any  
6 price. It's also been pointed out that storage injection  
7 capacities are often less than withdrawal capacities.  
8 Therefore, to the extent that we have longer storage  
9 services in the form of seasonal service, seasonal storage  
10 or intermediate storage, it generally takes most of the  
11 summer to inject those gases. Again, most price spikes come  
12 from the marketers.

13 Finally, summer injections. The differential in  
14 prices between summer injections and winter prices has, at  
15 times, become less pronounced because of the lack of  
16 competition in the summer months.

17 Just to summarize the things we focus on: the  
18 obligation to serve firm service drives all planning. In  
19 early November, all LDCs are close to full inventory. On  
20 March 31st, they're all close to empty. We take one full  
21 term for most of our services. There are variances in  
22 storage injections during the summer we realize, but it is  
23 not coming from the LDCs. While we do make some adjustments  
24 based on price levels, given the limited flexibility that  
25 exists in storage contracts, we will still fill storage.

1 Also, in addition, most LDC storage is market area.

2 Generally, reservoirs or aquifers, having only  
3 one term per year, generally what we do is we fill  
4 throughout the entire summer and withdraw during the winter  
5 season. While we do hold some production area storage,  
6 those are mainly for commodity reasons, for replacement of  
7 supply during well freeze offs for short-term least cost  
8 activities.

9 I'd now like to turn to the question of  
10 uncommitted reserves. Certainly, simple supply and demand  
11 theory would suggest that additional capacity would reduce  
12 volatility. I'd like to point out, however, that capacity  
13 constraints are only half of the equation. Indeed, some  
14 additional capacity might limit some of the upward  
15 volatility on demand pressures, putting pressure on higher  
16 prices. However, the other half of the equation, and I  
17 would argue maybe more than half of the equation, is the  
18 availability of the commodity itself. As long as supply  
19 remains tight, volatility will remain.

20 While AGA finds the idea of uncommitted reserves  
21 an interesting idea, we have some concerns. The first is  
22 obviously cost allocation. We're moving to the bottom line.  
23 Who pays? This raises other questions. What is the  
24 appropriate level of service for each pipeline? Is it  
25 different for each pipeline? Is it different regionally?

1 Does the pipeline earn a fair return? I guess I know the  
2 pipeline's answer on that one. How is the construction  
3 certificated and financed?

4 The second issue AGA has is the nature of the  
5 demand pressure that we're currently seeing. As I have  
6 emphasized earlier, LDCs focus on our core responsibility:  
7 our obligation to serve. We design and contract where a  
8 portfolio can meet our design loads. Therefore, the LDC  
9 loads are not a surprise in peak situations. We are not  
10 adding to any shortage of capacity. Much of the pressure  
11 appears to be coming from interruptible loads. We remain on  
12 at near peak situations primarily from electric generation  
13 and other industrial loads.

14 These entities have made the economic decision to  
15 shun from capacity. In doing so, they're sending the wrong  
16 market signals. They're increasing demand into those  
17 situations and are attempting to commoditize the capacity  
18 market while LDCs pay the fixed cost on an annual basis.  
19 Given this reality, creating what would in essence be  
20 additional capacity to exacerbate reliance on inappropriate  
21 services during peak conditions, the LDCs will stand firmly  
22 against subsidizing excess interruptible capacity that would  
23 be created through a mandate to build reserve capacity. If  
24 a reserve margin develops through market forces, that is  
25 another matter. The market will be signaling a willingness

1 to pay and a subsidization issue would not come into play.  
2 For example, some state commissions already require LDCs to  
3 contract for reserve capacity. Margins for reliability  
4 purposes, but holding reserves to build into a contract  
5 portfolio is different than a mandate. That would create  
6 excess uncommitted capacity in the market.

7 Third, LDCs are concerned about the effect that  
8 extra capacity will have on the capacity release market.  
9 Under Order 636, the capacity release mechanism is directly  
10 tied to the recognition that firm customers needed a means  
11 to mitigate fixed costs. Additional unused capacity, which  
12 from a planning standpoint would be available at virtually  
13 100 percent of the time, will significantly reduce the value  
14 of capacity in the release market, thereby weakening the  
15 cost mitigation we received under 636. Such an event would  
16 necessitate reconsideration of the regulatory impact we  
17 received under Order 636.

18 Finally, AGA would like to turn its attention  
19 briefly to market-based rates. The staff report points out  
20 that several proposed storage projects have been delayed or  
21 canceled. The staff report also points out that right now  
22 we have about sufficient level of storage. We need to meet  
23 projected storage growth. LDCs have been meeting with  
24 pipelines and independent project developers. At times, we  
25 signal our willingness to buy in, and at other times, the

1 economics just are not right for us.

2 The recent Duke Project, which received a  
3 significant amount of attention from LDCs on Texas Eastern  
4 and Algonquin indicates our willingness to acquire  
5 additional storage. It appears the economics don't make  
6 sense. The buyers are not interested or the promoters will  
7 cancel or delay that. And sometimes the transportation tied  
8 to the storage just doesn't work for the project.

9 Accordingly, AGA supports the staff proposal to  
10 relax or broaden the current market-based rates test to spur  
11 more storage development. Another option might be to  
12 develop incentives to spur storage development. In a fair  
13 market, if a party is interested, it will make a rational  
14 decision. The market will bear the market-based rates, and  
15 there is no reason to foreclose that option.

16 Critical for consumer protection are the staff's  
17 provisions that discuss assuring that all market risks lay  
18 with the projects' owners, and no captive customers are  
19 involved in the project. Additionally, periodic review of  
20 market-based rate storage services would be an important  
21 check on the continued appropriateness of the rate-based  
22 authority. The good news is that we are not in a critical  
23 situation today, and efforts like today's conference should  
24 prevent it in the future. Thank you.

25 MR. MOSLEY: Thank you, Mr. Oaks. Next is Mr.



1 pipelines. Tennessee just announced an expansion, and these  
2 things are continuing. There are ebbs and flows to those  
3 expansions, driven by market signals. We urge the  
4 Commission to not move forward with this idea.

5 We also participate in the California efforts on  
6 this idea, and maintain that same position in opposition to  
7 this concept.

8 I would also like to address what seems to have  
9 become an open myth that generators need not contract for  
10 firm capacity or storage. You look at some of the  
11 expansions that have occurred here recently. You look at  
12 the current expansion. Very significant, most of it  
13 underwritten by generation demand. You look at Gulf Stream,  
14 the brand new pipeline in the forward market, underwritten  
15 for the most part by generation demand. Storage. Calpine  
16 was the significant customer in the gas storage field in  
17 California. The numbers. I can't speculate on the numbers  
18 for all of EPSA, but I can tell you that Calpine, as a large  
19 independent generator, spent over a \$150,000,000 a year in  
20 firm demand charges. To king of counteract that, this whole  
21 concept that generation does not pay its bill is floating on  
22 the system, I think is incorrect. We may be to the level of  
23 firm contracting that some other parties would like it to  
24 be, but it's certainly not as you will amount as indicated.  
25 We think in the program as kind of outlined or conditioned

1 in the notice might be attractive to certain shippers who do  
2 not contract for firm demand, as Mr. Hopper mentioned.

3 It may also be attractive to storage providers of  
4 some sorts and or the pipelines. I was encouraged that  
5 independent storage providers are actually opposed to this  
6 program. Maybe because, like EPSA members, they're  
7 independent.

8 Just to reiterate our concerns. We do believe in  
9 the long-term it will distort market signals. It will  
10 actively kind of -- reverse the progress you've made so far  
11 in establishing policies for a market-driven process. We  
12 agree with AGA that it will damage the capacity release  
13 market. The policies you've established, I think someone  
14 discussed this morning about shipper must have title, the  
15 prohibition against buying calls, contrary to that. The  
16 incentives that would be created here will, I think, stifle  
17 further expansions as envisioned by the pipelines and  
18 independent storage providers. So, we urge the Commission  
19 to just say no.

20 In response to some other things that were  
21 discussed this morning. There were several items. One of  
22 them is the issue of market-based rates for independent  
23 storage. Again, I'm speaking on behalf of Calpine only  
24 since we haven't, as EPSA addressed all these. But we plan  
25 on doing so in the comments. Independent storage that it

1 truly independent we can see a need for market-based rates  
2 on that. Our concern is the lack of independence associated  
3 with affiliated pipelines, particularly that concept of what  
4 can be done for that storage. How this is utilized in  
5 operations and such, and then the rules and regulations and  
6 operating constraints that pipelines may put in really force  
7 you to take that service. The concept that storage is an  
8 option, certainly from just a pure contracting standpoint,  
9 yes, it certainly is an option. But from a practical  
10 standpoint, as you tighten the constraints, increase  
11 penalties, add actual rates with penalties and those type of  
12 things, it does not become an option.

13           The other issue I think as far as rate  
14 flexibility, Calpine I think would support the concept of  
15 rates, either seasonally adjusted or such as long as it's  
16 within a cost envelope for those affiliated structures, set  
17 ups. The concept this morning also was brought out that the  
18 flexibility in the pipeline is essentially free. I've heard  
19 that term. Mr. Hopper pointed out correctly that it is not.  
20 When I flew up for this meeting, my ticket didn't say how  
21 much I paid in jet fuel, but it certainly wasn't free in  
22 order for me to get here. So, those costs are embedded in  
23 those rates.

24           If we need to move forward with working it out,  
25 as Mr. Hopper suggested, we're not necessarily opposed to

1 that, but you have to be able to identify those costs and  
2 allow independent storage providers to compete against  
3 those. But, again, it would come with an attendant decrease  
4 in unbundling of those costs from firm interruptible rates.

5 The last issue I'd like to address is the concept  
6 that where things are going and what is the motivation for  
7 independent generators to sign up for contracts. I believe  
8 Mr. Dickerson mentioned kind of where that might be  
9 addressed. It's Calpine's perspective that that's better  
10 addressed not in developing a program on the gas side to  
11 allow subsidies to occur, but really to address it on the  
12 power side as far as how generators are compensated for  
13 establishing those firm contracts, either on the supply  
14 basis or a transportation basis for storage. That would be  
15 the proper place to address that. And on the electric side,  
16 and not on the gas. With that, that concludes my comments.  
17 Thank you.

18 MR. MOSLEY: Thank you, Mr. Chancellor. I'd like  
19 to start the questioning with Commissioner Kelly.

20 COMMISSIONER KELLY: Craig, you said that you see  
21 the need for market-based rates for independent storage  
22 developers. Why did you say that?

23 MR. CHANCELLOR: I think it will allow additional  
24 storage to be brought in. Like I say, I mentioned the load  
25 on the gas storage -- and Wild Goose Storage in California

1 was brought up this morning. We are a customer of those.  
2 We found value in their being allowed to do market-based  
3 rates. My concern really is are they independent. Can that  
4 be used in other methods that may have market power where a  
5 storage, an independent storage, provider would not.

6 COMMISSIONER KELLY: Can you anticipate that over  
7 time that even an independent storage provider would have  
8 market power?

9 MR. CHANCELLOR: I haven't seen it yet. I think  
10 if you set up the appropriate reporting, appropriate rules.  
11 I believe Ed Murrell mentioned, rules of conduct and such  
12 that are out there and available, I do believe they can  
13 remain market-based for the foreseeable future.

14 MR. MOSLEY: Thank you. Timothy, you talked  
15 about the different users of storage, LDCs versus the  
16 others. Does the fact that other types of consumers use  
17 storage facilities adversely impact the LDCs, put pressure  
18 on the LDCs?

19 MR. OAKS: I don't really believe so. I believe  
20 as long as the contracts are balanced on both sides, the  
21 LDCs having the appropriate contracts for themselves, and  
22 the other users of storage having their own contracts, I see  
23 no conflict.

24 COMMISSIONER KELLY: What percentage of the  
25 storage market do LDCs hold? Do you know the ballpark?

1 MR. OAKS: I believe it's in the report.

2 MR. MOSLEY: It's in our chart here.

3 MR. CHANCELLOR: Seventy, seventy-five.

4 MR. OAKS: I seem to recall it was about 75, 76.

5 COMMISSIONER KELLY: Do they intend to compete  
6 with independents for additional storage or not?

7 MR. OAKS: Compete in terms of who we contract  
8 for?

9 COMMISSIONER KELLY: Just developing new storage  
10 projects.

11 MR. OAKS: We'll contract with whatever makes  
12 economic sense for us. Certainly, there are some incentives  
13 to contracting with a pipeline, if it's for reliability  
14 reasons, or because transportation might be somehow tied to  
15 a proposal. But beyond that, the economics of the project  
16 will decide who we contract with.

17 COMMISSIONER KELLY: Thanks.

18 MR. MOSLEY: Now, we'll let staff question the  
19 panelists. Who'd like to begin?

20 MR. FLANDERS: I want to know what the panel  
21 thought about the contrast between the electric system or  
22 the reserve margin requirement and the lack of reserve  
23 margin requirement on the gas system? For the electric  
24 system, obviously, the power, moving at the speed of light,  
25 has a lot to do with it, and you can get very rapid failure

1 modes. But isn't there a need for a contingency analysis  
2 standard of some kind on a gas system to assure that full  
3 service can be maintained in the face of certain operational  
4 contingencies?

5 MR. OAKS: It would seem to me that the nature of  
6 contracting in the gas business actually drives that little  
7 differently. Contracting in the gas business is based on  
8 some design situation that may occur once in 20 years.  
9 Therefore, embedded in that planning decision is a little  
10 bit of reserve. Some would argue too much reserve. It is  
11 there as a safety factor. Nineteen or twenty years. To add  
12 yet another level of reserve above that would just be piling  
13 it on in my mind. To continue on, the difference I see  
14 between the gas business and the electric business is again  
15 the nature of the instantaneous need if a plant goes down on  
16 the electric side versus what is essentially a progression  
17 of activities, like, for instance if there's a slug in the  
18 pipeline, we all know that. We have enough time to react  
19 during the winter season. I think it's the nature of the  
20 timing.

21 MR. CHANCELLOR: I'd like to address that. I  
22 think we're talking different issues here. On the reserve  
23 margin front, a generation standpoint is really a commodity  
24 reserve. It's the ability to create that commodity of power  
25 itself, the megawatts. Here, we're talking about more the

1 reserve storage capacity and pipeline capacity. One thing  
2 that wasn't really brought into the notice here is the issue  
3 of you've got the capacity. Who's going to put the supply  
4 in there, and who's going to control when that supply, if  
5 there is a "supply reserve" available, who's going to say  
6 who gets it when? There is, in my understanding, even on  
7 the transmission side if you want to kind of relate electric  
8 transmission to gas transmission a certain amount of  
9 "reserve transmission capacity," but it's been developed.  
10 The amount that's reserved is more on the inter-tie (sp?),  
11 the seam side of it, moving from one area to the other. The  
12 grid operator may reserve a certain amount of input  
13 transmission in case a supply or generator load, not load,  
14 but generation falls off within his control area, which is a  
15 bit different than what we're talking here. The only other  
16 amount would be analogous to the amount of transmission  
17 capacity on the electric side that maybe out there on a  
18 seasonal basis or whatever. Much like on a gas pipeline,  
19 they will contract for a maximum amount of capacity. But  
20 there's always a little bit more. You need a little bit of  
21 slack for just engineering errors or changes in temperature  
22 and such that occur. So, I see very fundamental differences  
23 between "a reserve margin" and that term used on the  
24 electric side than what we're using here.

25 MR. WILSON: If I could respond to that in a

1 little bit different way. In the electric system, if  
2 there's a contingency in the transmission system, you can  
3 crash the whole system, and everyone loses service. Even if  
4 you have a generating capacity shortage, it's really not  
5 feasible to allocate that generating capacity shortage to  
6 the particular customers who didn't sign up or didn't  
7 somehow support the system and contract for it. By  
8 contrast, on the gas system, even if there's a contingency  
9 or an excess demand or whatever, your policies and the fact  
10 that the system is firmly contracted, clearly allocate the  
11 existing capacity to those who supported the system, and the  
12 shortage risks on those who didn't contract. So, since  
13 we're able to more or less correctly, from an economic  
14 standpoint, allocate the consequences of that scene in  
15 advance, there's not the same need as there is in an  
16 electric system for some sort of centrally provided reserve.

17 MR. DICKERSON: I think it's--

18 MR. FLANDERS: Dave, you look like you had  
19 something to say.

20 MR. DICKERSON: I think it's just about all been  
21 said. I think there are cost allocation issues that LDCs  
22 might have. Plants might have a little bit of concern about  
23 excess capacity. I think it mitigates the true pricing  
24 signals that currently exist under today's gas policies of  
25 having new capacity priced typically at its incremental

1 marginal cost. That's a market signal or a pricing signal  
2 that might be disguised in the marketplace if there's not a  
3 clear buyer at that specific price for a specific capacity.

4 MR. FLANDERS: I'm trying to focus a bit more on  
5 the kind of peak day operating contingencies. The situation  
6 I'm envisioning is that the only customers that are on the  
7 system are firm customers. A line blows up. A pipeline  
8 blows up. At which point line pack is gone. We're in a  
9 kind of crisis situation. The analogous situation on the  
10 electric side would be a transmission line goes down. But  
11 the system can reconfigure in time to keep firm power  
12 service going. I don't see that in a gas system. I see,  
13 even though the response time is certainly different, and  
14 there may be some contingency time, there just doesn't seem  
15 to be any kind of major contingency built into the gas  
16 system.

17 MR. OAKS: Actually, I believe there is. Back in  
18 1994, which tells you how old, there were rolling blackouts  
19 in the Northeast. On some pipelines, capacity was cut to 90  
20 percent of our firm entitlements. We were able to manage  
21 that by going to our large industrial customers and working  
22 deals with them and potentially with oil. Buying their oil  
23 and things of that nature to get them off the system. So,  
24 each LDC does have other emergency contingencies which often  
25 deal with neighboring LDCs who might be on different

1 pipelines. So, there are reliability things LDCs do that  
2 provide contingency safety that go beyond just contracting.

3 MR. CHANCELLOR: Bob, I think what you're saying  
4 is certainly could occur, I mean, there's a lot of the grid  
5 that has multiple sources of gas. But I think even if you  
6 had some sort of reserve capacity, unless you have a  
7 completely separate line, assuming some catastrophic event  
8 that's going to take that excess capacity out also, so I  
9 don't really see that you've gained very much unless you  
10 have a duplication, and that's going to be very expensive.

11 MR. FLANDERS: What about a compressor outage? I  
12 guess this is a question for Mr. Dickerson. Do you have  
13 flexibility in the design of your system to meet firm  
14 service obligations when a compressor station goes down, for  
15 instance?

16 MR. DICKERSON: If one compressor station goes  
17 down, we typically do -- really we have operating hiccups  
18 all the time, just as any operating system does, and we  
19 manage around it. We don't really have redundant units, but  
20 as you may be aware, a pipeline system is set up for a given  
21 gas day, and we never have for long-line systems like  
22 Tennessee coincident peaks all across our system. There are  
23 always gaps in the ways the weather fronts move across the  
24 country. They're not being taxed in Tennessee. At the same  
25 time, we're being taxed in New York, for instance. We have

1 a little bit of redundancy built into that, just with that  
2 circumstance. Only in a situation where we were in an  
3 absolute, system-wide peak, that we would not have  
4 flexibility. As weather conditions come in, we do load up  
5 our system. There's a limit to that clearly, but line pack  
6 is a very important tool for us in trying to prepare and  
7 anticipate for weather events that need to be managed or if  
8 we have an operating situation. The other thing we have in  
9 the Tennessee case, and this exists for many pipelines  
10 today, we have roughly two-thirds of our capacity or our  
11 supply on a peak-day basis will come out of the Gulf of  
12 Mexico. We have significant amounts coming out of storage  
13 fields, coming from Canadian sources, both eastern and  
14 western, and a new Stage Coach condition on our system. We  
15 have a lot of different pieces. Obviously, we ramp up  
16 another sector or another segment to the extent that we have  
17 an issue somewhere else. That's done both directly by us  
18 and as a reaction by the marketplace.

19 MR. OAKS: If I might just to say something nice  
20 about Jay and the other pipelines in the room.

21 (Laughter.)

22 MR. OAKS: To the extent that there is a pipeline  
23 grid and one pipeline has a problem, the pipelines are  
24 certainly there with their various interconnects,  
25 particularly in the market area, to cure things like a

1 compressor failure.

2 MR. PINKSTON: I have a question kind of along  
3 these kind of along the same lines for Jay Dickerson. Is  
4 there a concern that the market signals and what appears to  
5 be good economic procurement, where a user is relying on or  
6 anticipating very high prices to avoid the demand charges  
7 year round, is there a concern that those market signals,  
8 that that practice will result in reliability problems, and  
9 the market signals will lag the need for capacity? If you  
10 could provide some observations of your own system in New  
11 England last January?

12 MR. DICKERSON: I just think it could go either  
13 way. Too much capacity or not enough because the market  
14 signals may not align accurately. One thing that has  
15 changed over time, from a FERC policy standpoint, is who is  
16 ultimately deciding that the market needs incremental  
17 capacity? At what point in time, in addition to all of our  
18 customers on the pipelines, the Commission will be assisting  
19 market need for a new project. We've move to a new world  
20 today, where a contract is essentially a gauge of market  
21 need, and you don't have a particular party standing there  
22 saying I'm making the decision. I'm making the commitment.  
23 I'm deciding that we do need this increment at the  
24 incremental price. To me, you lose the connection that we  
25 currently have, and I would be concerned with. In New

1 England, we're anxious to serve New England to the extent it  
2 needs to be served. I talked about earlier it being in sort  
3 of two segments from our standpoint, the LDC sector and the  
4 electric generation sector.

5 We announced last Friday a new open season that  
6 will eliminate our take out reserve margin so to speak up  
7 through Pennsylvania. Take that availability capacity at  
8 some facilities across New York and into New England, and  
9 provide an additional 100,000,000 a day of new capacity from  
10 the Gulf of Mexico, including South Texas, which we think  
11 will be beneficial for producers, because the south Texas  
12 space was particularly negative last winter. We think it  
13 would be helpful for them, and we had very extreme  
14 locational pricing signals last winter. And we think it's  
15 going to be hopefully necessary for that market. In  
16 addition to other pieces of what we're offering the  
17 marketplace, we're offering over 15 percent capacity  
18 expansion in New England. That's more than enough for the  
19 LDC market I think to be grown. So, the big question mark  
20 to me is what is this appetite for the electric industry for  
21 new capacity.

22 The expansion I mentioned in New England from the  
23 Gulf Coast, we're looking at a rate that's within \$0.04 of  
24 our generator grid. We're committed to fix that, and then  
25 be responsible for that cost, and fix it at that level. So,

1 we're hopeful that we found an economic platform that will  
2 be attractive to the marketplace.

3 MR. WILSON: I'd like to add a comment on your  
4 question. If there are industrials or electric generators  
5 who don't contract for long-term capacity at all, does that  
6 mean there's no signal there for new capacity? I don't  
7 think it's weak, but it's not no signal. That's because you  
8 have marketers in there. They do contract for pipeline  
9 storage capacity, and not always with firm customers behind  
10 it. So, they're watching the overall market. There's a lot  
11 of uncontracted demand. I think that's probably reflected  
12 in the demand of the marketers for new capacity.

13 MR. MURRELL: I'd like to kind of follow up on  
14 some of this morning's discussion and ask Mr. Wilson, Mr.  
15 Oaks, and Mr. Chancellor, from the customer perspective, we  
16 heard a lot this morning about one of the problems with  
17 getting a new independent storage project up and running is  
18 getting customer commitments and getting longer term  
19 contracts. People are talking about how wonderful it would  
20 be if they could get just a five-year term. I'd like to  
21 hear to the extent you can describe for us kind of where  
22 your companies are at with your contracting practices and  
23 why, in terms of the term of the commitments you're making,  
24 and your perspective on supply and demand of capacity and  
25 storage in the marketplace.

1                   MR. CHANCELLOR: I'll go first. I do believe if  
2 my memory is right, we signed up for a five-year contract  
3 with Lodi. It's not that we won't do those type of deal.  
4 The demand by electric generation is really going to be  
5 driven by our own contracts that we have underneath. It's  
6 going to be a measure of how much firm power sales we have.  
7 That's as simple as it can be. If you don't have a contract  
8 for capacity that's going to call on that, or you don't have  
9 a firm contract that goes beyond a year or two, we can't  
10 match up anything beyond that.

11                   MR. MURRELL: Do you need to have that firm  
12 commitment to sell on the other end?

13                   MR. CHANCELLOR: I think at this stage of the  
14 electric market, yes. It was, I think, a different  
15 situation for the collapse of the market. It depends on  
16 your view of the market. Where it's going to be. We were  
17 contracting this for Calpine, you know, beyond some of those  
18 contracts, but can't do that at this point in time, just  
19 because of the state of the market. There is also I think a  
20 little bit of misunderstanding I think if you look at from a  
21 tolling standpoint. If we can do a tolling type agreement,  
22 then if it's an electric utility or electric distribution  
23 that is tolling that facility, then it's really maybe  
24 contracting underneath of them for that firm delivery. You  
25 can't just look at it as Calpine or Constellation or one of

1 the other generators signed up for that firm capacity  
2 because it may have been or may be currently be provided  
3 under a tolling type agreement.

4 MR. OAKS: From an LDC standpoint, it's truly a  
5 state-driven issue. In states where the customer choice  
6 regulations have been stabilized, the pendulum has swung to  
7 the extent that LDCs are no longer fearing that they're  
8 going to get caught with capacity that they have that is  
9 essentially unused as they lose the merchant function to  
10 marketers, and there's no assurance that that same capacity  
11 will be transferred over to the marketers. The length of  
12 contract has certainly shortened over the years. If one of  
13 those conditions crystallizes, if one -- some knowledge of  
14 whether you're going to be in the business until whether you  
15 can get recovery of contracting capacity, in those states,  
16 it's not unusual for contracts to go out five to ten years  
17 now. It's really a state-by-state issue in my mind.

18 MR. WILSON: I would just add to that that I  
19 think it also reflects the fact that the value of storage is  
20 highly uncertain right now. There's three different  
21 services that we use storage for. There's peak-day  
22 deliverability. There's the summer and winter shifting.  
23 Then there's the trading value, the in and out multiple  
24 terms. Each one of those is very uncertain right now. I  
25 think in Calpine's filing, they show that the summer-winter

1 difference with the NYMEX had been hanging around \$0.30 for  
2 actually a long time. I checked, and it goes back a couple  
3 of years. And in July and August, it jumped up to \$0.60.

4 If you look at the extrinsic value and you report  
5 and suggest it's discounted 50 percent, I wouldn't be  
6 surprised if it's even more. That relies heavily on the  
7 degree of volatility in the market, which is much higher  
8 than it was in the past, and the volatility depends upon a  
9 whole lot of things that may change in the future, and may  
10 go down. I think it further reflects the fact that the  
11 value of storage is made up of these different components,  
12 each of which is different and uncertain, and has various  
13 substitutes. So, it's just very hard to get a good handle  
14 on what storage is going to be worth three years out or five  
15 years out.

16 MR. MURRELL: I noticed in Mr. Hooper's  
17 presentation, he's got a chart in here showing the NYMEX  
18 futures prices out to January '09. It shows that seasonal  
19 pattern, but slowly going down, and he's labeling this as  
20 kind of a containment. Does that have a riskier commitments  
21 of longer term commitments to storage?

22 MR. WILSON: I think that reflects that the  
23 market feels now it has for years that we're going to see  
24 new sources of supply, and we're going to get back to more  
25 reasonable prices. It reflects expectations of LNGs,

1 finally bringing the prices down a bit. The summer-winter  
2 differential there, if you actually look at a few more  
3 years, you will see the same thing we saw for '05-'06. You  
4 had a summer-winter differential that was quite low last  
5 year, and recently it's increased quite sharply. But that  
6 could go down again in a few more months. It's hard to  
7 predict.

8           So, I'd like to follow up on Ed Murrell's  
9 question from a customer of storage providers perspective.  
10 That gets back to the proposal or the advocacy of market-  
11 based rates. What from a customer perspective constrains  
12 those prices? What choices do you have, alternatives, to  
13 purchasing storage services from storage providers? How  
14 concerned would you be if we said all storage could be done  
15 at market-based rates?

16           MR. OAKS: Again, I guess the economics don't  
17 change from my standpoint. If the rates are too high, we  
18 may look for alternatives, and those alternatives might be  
19 just from transportation, with the hope of using the  
20 capacity release market to mitigate the additional costs.  
21 I'm going to make that judgement. I'm going to look at the  
22 economics and make predictions about what the revenues from  
23 the capacity release will be, and I'll just lay those next  
24 to each other. Whichever is the most economic sense, I'm  
25 going to contract for. The driving factor is EGI's case,

1 I'm going to need capacity, and I'm just going to find the  
2 cheapest capacity available, whether it's market-based rates  
3 or whether it's cost-based. I might fight that in specific  
4 proceedings, but ultimately I'm going to look for the lowest  
5 cost.

6 MR. CHANCELLOR: You used the term all storage,  
7 and it's our position that it really should be truly  
8 independent storage, if allowed to do market-based rates,  
9 particularly where you have vintage storage already in place  
10 that will act as a mitigating factor if that market is  
11 beyond the 75 percent that the LDCs already hold is  
12 available to help mitigate any market power that they may  
13 have. The penalties and everything else associated with  
14 balancing the pipeline would also drive those prices. It  
15 may not be more of a mitigating factor. It may be a driver  
16 of actually increasing those prices. I think as you look at  
17 implementing those rates, you need to really focus it on  
18 loads and the interplay between the existing utility storage  
19 versus the independent storage.

20 MR. MOSLEY: Any more questions from staff?

21 (No response.)

22 MR. MOSLEY: Let's open this up to the audience  
23 for Q&A. Again, please step up to the microphone and  
24 identify yourself and what organization you're with, and  
25 keep the questions to the topics for panel two. Anyone?

1 (Laughter.)

2 MR. MOSLEY: Okay. Thank you very much,  
3 gentlemen.

4 MR. NICHOLS: Can I ask a quick question since no  
5 one's going to step up to the mike. You hear a lot, as you  
6 recapped to Mr. Chancellor, that electric utilities or the  
7 electric generators are getting a free ride on the system,  
8 and you discount that as an urban myth. We have lot of  
9 different roles here at the Commission, and one of our big  
10 roles is obviously a judicial type function in which we have  
11 to sort out where the truth is in this. What's a good way  
12 to analyze that issue? What's a good way to determine where  
13 the balance is?

14 MR. CHANCELLOR: The 5.7 certainly have the  
15 information as to who the customers are. If you can obtain  
16 that information on a non-company specific level, it would  
17 certainly help understand the level. But I think it also  
18 you've got to look at the generation demand, and what you  
19 expect it to be. Just because there is generation in a  
20 certain area of the country doesn't mean that it's all going  
21 to run at the same time. There really is excess capacity  
22 out there in certain regions. So, to elicit it from that  
23 angle and say, look, 90 percent of the generation is  
24 operating on an interruptible basis, well, if your  
25 electrical reserve margin within that area is 50 percent,

1 and that is 100 percent on the gas side, you may not really  
2 be at any risk from a reliability standpoint of not having  
3 firm capacity. I mentioned kind of a tolling reserve. It  
4 makes it a little bit blurry as far as who actually is  
5 holding that capacity compared to who is looking at  
6 generators.

7 MR. NICHOLS: Thank you.

8 MR. HOPPER: Can I say one more thing about  
9 commodity-based rates. That is this, in this market the  
10 market is transmitting signals that storage should be built.  
11 Where is a different question and how much is a different  
12 question. But in that kind of a market, as we saw in the  
13 gas-fired electric generation market, projects will get  
14 built, and they'll probably get overbuilt. As we have seen  
15 time and again, bad decisions will be made to the benefit of  
16 the consumer, and I believe that will be the case in the  
17 storage market. I don't know about pipeline capacity, but I  
18 believe that's very much the case in the storage market.  
19 That is the time for customers, particularly end use  
20 customers, to contract for storage and lock in a price that  
21 they find is acceptable so that the recontracting issue can  
22 be mitigated at that point in time. I guarantee you if  
23 anybody wants to come sign up for a 15- or 20-year contract  
24 at a fixed price at one of our facilities, our door is open.  
25 Come see us. And I believe that if the market's willing to

1 do that, that's the opportunity, and that's the time at  
2 which they can address this issue of market power. Do it  
3 now. Don't wait.

4 MR. WILSON: If I can just add. I think Mr.  
5 Hopper explained why we don't like long-term contracts right  
6 now. Two or three years out, you've got the coming storage  
7 glut, and that will be the time to go long.

8 (Laughter.)

9 CHANGING ROLES OF INDUSTRY SEGMENTS AND HOW THAT AFFECTS  
10 COMMODITY PRICE VOLATILITY

11 MR. MOSLEY: Thank you, gentlemen. Without  
12 taking another break, let's go directly to the next panel,  
13 Panel Three.

14 I'm going to introduce the speakers in which  
15 they're going to be speaking, starting with Scott Smith,  
16 Senior Vice President and Partner of Lukens Energy Group;  
17 Greg Rizzo, Group Vice President for Duke Energy Gas  
18 Transmission; Thomas Price, Vice President, Marketing,  
19 Colorado Interstate Gas; and Mike Anderson, Director, Energy  
20 Supply Planning, at NiSource Energy Companies.

21 Mr. Smith, if you could please get started.

22 MR. SMITH: Thank you for the opportunity to  
23 speak today. Just -- we are a management consultant group,  
24 providing strategy and regulatory support, asset valuation,  
25 and risk management to the energy sector, with a focus on

1 natural gas, LNG, and power elements of the business. We  
2 also do license storage and valuation software to many of  
3 the large storage operators in North America.

4 Just a real quick overview of what I'd like to  
5 cover today. It's more trying to give a perspective of  
6 what's happened in the last couple of years with volatility,  
7 trying to kind of maybe define some standard definitions of  
8 that.

9 I think about how these trends in prices involve  
10 and how will they impact the value of storage, at least  
11 historically, and they've also moved forward to understand  
12 what's happening in our industry and what the implications  
13 may be to volatility and prices moving forward, and then  
14 finally I'll close with some comments and implications for  
15 future policy decisions.

16 First, to start off, viewing trends in natural  
17 gas price volatility. As everyone knows, we've seen gas  
18 prices the 2002 time period at this \$3.00 level move to  
19 prices that are well above \$6.00 today. Almost a hundred  
20 percent increase in prices. However, we have not seen that  
21 corresponding increase in volatility. When you look at  
22 Henry Hub contracts and contracts at NYMEX, the average  
23 volatility in 2002 was 56 percent. That bumped up to 68  
24 percent in 2003, and then in 2004, here today, it's gone  
25 down to about 50 percent. In essence, over those last three

1 years, a volatility increase of about six percent, looking  
2 at historically, the Henry Hub volatility. The other thing  
3 that's interesting is that there's a fairly significant  
4 price spike in 2003. That's par of that data that I  
5 obviously showed to you. More than a two- or three-day  
6 period where the prices peaked up in 2003. Volatility over  
7 that time period was essentially flat.

8 One of the questions, then, becomes what is  
9 volatility, and how do I define it. I think that's a pretty  
10 key element. Volatility in kind of a mathematical sense is  
11 essentially measuring the percent change in prices. What it  
12 doesn't necessarily represent obviously is what those  
13 absolute changes are. So, if you have volatility that's  
14 constant, with the increasing gas prices, then those average  
15 price changes will increase.

16 So, we may ought to step back. Let's look at  
17 prices and what's happened over the same time period, and  
18 how they've changed from year to year. The measure of  
19 volatility in percentage terms, as we go back in 2002, we  
20 can see the average absolute price differences. Volatility,  
21 day-to-day changes in prices of approximately \$0.09. That  
22 jumped up to \$0.16 in 2003, and it has fallen back to about  
23 \$0.12 in 2004 here today. There has been some small  
24 increase in volatility when you measure it in absolute  
25 terms, but it hasn't been substantial. That's again looking

1 at NYMEX. It's looking at Henry Hub and prices on the Gulf  
2 Coast.

3 What happens when you look at market areas  
4 locations? What we did then is look at historical prices  
5 supported by Platt's Gas Daily. I think we looked at New  
6 York Algonquin, Chicago, and California border to measure  
7 the volatility trends over the last few years, and we found  
8 some mixed results. We saw volatility of Transco Zone 6  
9 increase from approximately 80 percent 2002 to well over 200  
10 percent in 2004 year to date. Very similar results in New  
11 England. You see volatility increase from approximately 100  
12 percent in 2002 to 260 percent year to date to 2004, a very  
13 substantial increase in volatility regardless of how you  
14 measure it for those northeast market locations. However,  
15 we've seen the opposite in Chicago and California. When you  
16 look at Chicago prices, we've seen a volatility decrease  
17 from 60 percent in 2002 to slightly over 50 percent year to  
18 date 2004. The same thing SoCal border prices. Prices with  
19 volatility gas, daily volatility was approximately 90  
20 percent in 2002. It's now decreased down to approximately  
21 60 percent year to date 2004. So, varying differences  
22 across the country in volatility trends, as well as there's  
23 also some element of how exactly do you want to define  
24 volatility.

25 I may be biased a little bit in my measurement of

1 volatility from the standpoint of what it means for storage.  
2 Essentially, it's what my comments are based around.

3 Let's look at another element of what's happened  
4 with prices and look at the forward price differential, the  
5 summer to winter spread, looking forward, not looking  
6 historically, but looking at it at a given point in time and  
7 looking forward and seeing what that summer to winter spread  
8 has done. If we look at 2002 to 2003, using kind of a gas  
9 year example, so April 2003 to March 2003, the average over  
10 the summer-winter spread is approximately \$0.70. 2003 to  
11 March 2004, we saw that drop to approximately \$.50, and if  
12 you remember during last summer, we had issues about whether  
13 storage is actually going to be full, and we were competing  
14 against what I would argue is against the summertime demand  
15 for that storage injection, which collapsed those price  
16 spreads. What we've seen so far in 2004 is just the  
17 opposite. We've seen that forward looking summer to winter  
18 price differential increase to average approximately \$0.80,  
19 which effectively, through late September of this year,  
20 includes a substantial price run up that we've talked about  
21 that happened in late September or October, where the  
22 summer-winter price spreads were well in excess of \$1.50.  
23 You can see from the standpoint of just what's happening in  
24 the winter-summer price differentials, those are very  
25 substantial as well, and again I thought they developed

1 these estimates.

2           What are the price trends over the last couple of  
3 years mean for storage values? How do the values change in  
4 the last few years? As they're addressed in the report that  
5 staff has developed on storage, there's many different ways  
6 that storage is utilized as well as how it's valued. It's  
7 used for essentially a hedge for utilities to buy gas for  
8 the summer and pull out in the winter emergency supply peaks  
9 et cetera. It's also used to arbitrage prices. So, one way  
10 of measuring the value of storage is what the value of  
11 arbitraging prices are through time. That's a fairly  
12 commonly accepted methodology to understand the storage  
13 values in the short-term perspective.

14           Storage value, as we talk about it, is comprised  
15 of two components. What we call the intrinsic value is the  
16 value that's available in the market today, which  
17 essentially is represented by the summer to winter spread.

18           It's also governed by extrinsic values, which is  
19 essentially what volatility does to storage. How these  
20 prices may change from day to day, and how that may add  
21 additional value to holding that asset and being able to  
22 capture these peaks or these troughs of prices depending on  
23 what you inject or withdrawal position in addition to those  
24 two elements of value derived for what we consider value  
25 storage.

1           What we did is we used our evaluation tool that  
2 we have developed at our firm to value storage and have the  
3 trended storage value over this two- to three-year period,  
4 and what we saw for a fairly high flexible reservoir storage  
5 asset. That value is increased to approximately 20 percent  
6 from 2002 to 2004 year to date for high flexibility storage.  
7 Salt dome storage is essentially flat values over that time  
8 period, so storage values, at least on the Gulf Coast, given  
9 that history have been flat to slightly higher.

10           In those scenarios, one of the elements that's  
11 driving is we've seen greater increase in the extrinsic  
12 value and the optionality. We also see the higher impacts  
13 because they have greater carrying costs and greater  
14 carrying utilizing that asset.

15           What about the impact of storage values and  
16 market locations? It's not very hard to understand. That's  
17 the trend of the higher volatility we're seeing in the  
18 Northeast as we've seen, as well as very high winter basis  
19 that the value of storage in those locations is greater than  
20 that on the Gulf Coast. The trend has been similar as to  
21 what we saw in the reservoir storage values increase  
22 approximately 10 to 20 percent in those particular regions.  
23 It doesn't exactly track with how great volatility is  
24 increased, but they've still gone up.

25           Alternatively, you can look at what's happening

1 in the Midwest. If you had a sample storage field, sitting  
2 on the Chicago market, the values are relatively flat;  
3 whereas, in California, we've seen the potential for storage  
4 values to drop, considering the price behaviors at the SoCal  
5 border.

6 We are now shifting gears to understand where  
7 we've looked at volatility. What do we think about moving  
8 forward and what are some of the things happening that would  
9 impact volatility. What we believe is changes in the  
10 fundamental factors in our market are going to have  
11 substantial impact in gas prices, as well as volatility, and  
12 these factors would include supply-demand balances. What  
13 fuel substitution capabilities are. Pipeline infrastructure  
14 as well as pipeline congestion. Storage infrastructure and  
15 the market liquidity.

16 We start thinking about gas supply and demand.  
17 We expect gas supplies from North America as traditional  
18 sources to decrease approximately four percent in 2005 to  
19 2010. At the same time, we see demand increasing  
20 approximately 10 percent over that time period, so obviously  
21 we see a growing gap. We project that gap to be filled by  
22 increasing LNG reports of approximately 9.3 BCF by 2010.

23 What are the other elements associated with these  
24 LNG imports is not knowing only where the location is, but  
25 will that be imported as more of a base load supply, trying

1 to make that LNG flow into the market regardless of what  
2 supply and demand may be, whether it be on the Gulf Coast or  
3 in the market area.

4 As I mentioned, the LNG load in the market area  
5 has its own unique elements to it. There could be issues  
6 associated with pipeline bottlenecks, delivering into the  
7 market area. The pipeline infrastructure wasn't necessarily  
8 built to handle large volumes of gas delivered to the  
9 market. It's built to deliver gas from the Gulf Coast up to  
10 the market regions or the production of the market region,  
11 and I'm not saying that's going to happen, but that's an  
12 issue to understand, as well as to the extent that there's a  
13 substantial amount of increase in LNG deliveries in the Gulf  
14 Coast. Is there an adequate infrastructure off short to  
15 handle all those increasing deliveries.

16 We start thinking about consumption, what our  
17 trends are there, and the potential implications to  
18 volatility. One of the key impacts is that we've seen  
19 industrial consumption has dropped approximately 14 percent  
20 from 2000 to 2003. The important element to this is  
21 industrial consumption had some price elasticity. It  
22 basically varied as prices went up and down. To the extent  
23 we've lost that load and also our belief is that that growth  
24 was relatively slow and low, we've lost an element of our  
25 market that could help dampen that price volatility by

1 reacting to prices.

2 Alternatively, looking at natural gas for power  
3 generation, we believe it's going to grow, and it's going to  
4 grow almost 20 percent from 2005 to 2010. This is an area  
5 that we do see some very interesting impacts on volatility  
6 and what we believe is going to cause increased volatility,  
7 the shift in demand pattern. Obviously, what happened with  
8 increasing demand in summertime it will cause competition to  
9 move forward for summer and winter injections for storage as  
10 well as impact volatility. We've also seen electricity  
11 demand to have very low price elasticity when the system is  
12 stressed, which eventually could impact when those plants  
13 have to run in their demand for natural gas. Again, as I  
14 mentioned, we have impacts to increase both volatility and  
15 put pressure on the seasonal spreads.

16 One other element we think is important is the  
17 scaling back of the natural gas marketing and trading sector  
18 and its reduced liquidity at trading and providing gas  
19 pricing alternatives. We believe the realignment of this  
20 industry was necessary, but we also believe that this  
21 element of our sector of the industry helped manage this  
22 volatility of matching base load supply to variable demand.  
23 We think that had a very key element to helping mitigate  
24 volatility in the past.

25 So, start thinking about what all this means,

1 what the historical trends have been at least in volatility  
2 impacts on storage, as well as what we see moving forward.  
3 And I'll give you my closing comments.

4 Obviously, we're projecting that volatility will  
5 increase. We believe it will be very much local or a local  
6 or regional basis. We have seen very little impact or very  
7 low impact to what's happened in our gas market in the Gulf  
8 Coast, and obviously we've seen dramatic extremes on the  
9 Coast. We believe volatility winter price spikes will grow.  
10 We've had some of that happening in the Gulf Coast, and it's  
11 happened right now as we've seen up in the Northeast, which  
12 implies essentially a need for additional storage, both in  
13 the market area additional pipeline capacity and increasing  
14 LNG supply being delivered by the market area. The recent  
15 stagnation of independent storage development may be  
16 attributable to the fact that we have a properly functioning  
17 market. The current arbitrage value of storage in the Gulf  
18 Coast is not sufficient enough to justify additional storage  
19 development. So, to remedy that, obviously to the extent  
20 that we're going to rely on the market to help drive that  
21 development, increases in volatility and seasonal price  
22 spread will drive potentially increased development in  
23 storage.

24 Alternatively, those interested in trying to  
25 mitigate their exposure to that long-term contracting for

1 that storage capacity to mitigate their exposure. We  
2 believe willing LNG supplies may impact natural gas price  
3 volatility depending on where the import terminals are  
4 located. The transition of a healthy marketing and trading  
5 sector is needed to help mitigate the volatility exposure  
6 associated with the mismatch of base load LNG imports to  
7 seasonal fluctuations in demand.

8 Finally, the last comment. We believe the market  
9 should be allowed to function in terms of when and where  
10 infrastructure changes are needed to mitigate natural gas  
11 prices and volatility. They're all alternatives that exist  
12 today that people can contract for to mitigate their  
13 potential exposure to volatility, whether it be independent  
14 storage to rate-based storage, new pipeline structure, or  
15 LNG terminal storage. If the value proposition is solid, we  
16 believe long-term contracts would follow, which would  
17 facilitate development and construction. Thank you for  
18 listening to my comments.

19 MR. MOSLEY: Thank you, Mr. Smith. Next we go to  
20 Gordon Rizzo from Duke Energy.

21 MR. RIZZO: Let me thank the Commission and staff  
22 for continuing to sponsor these types of outreach programs  
23 and for the opportunity to speak today.

24 A little bit about Duke Energy. Duke Energy is a  
25 leader in the infrastructure development. Duke Energy has

1 in excess of 17,000 miles of pipe. Collectively, it has  
2 over 250 BCF of storage. That's North American storage,  
3 both in the U.S. and Ontario, Canada. And over the last  
4 three years, we have spent over a billion dollars in gas  
5 transmission and storage infrastructure.

6 By the way, I have prepared remarks, and I also  
7 have provided kind of a outline of what I was going to say  
8 today. At least for those of you sitting at the table, it's  
9 probably at the very bottom of your pile there.

10 I'd to start a little bit with the 636 and 637  
11 and just really say that has really been a great success.  
12 It was all about choice. It was all about creating a  
13 fungible type of transportation, increasing flexibility,  
14 providing more competition, new industry players. It has  
15 all worked, and since the implementation the market has  
16 grown.

17 That kind of brings us to the problems that are  
18 facing the industry today. Really, there's three of them:  
19 there's tight supplies, price volatility, and inadequate  
20 infrastructure. Actually, I've identified the same three  
21 problems that I'm now speaking about. In terms of how do  
22 you meet these challenges, there's a lot of work that's  
23 already taken place. Number one, in regard to the tight  
24 supplies, I think the Commission in that regard was very  
25 visionary and saw that coming. They issued the Hackberry

1 decision I guess three years ago. That certainly has  
2 provided an array of LNG projects, and it looks like that's  
3 going to work out.

4 In terms of price volatility, you've heard the  
5 panelists on the first two panels speak, and I think the  
6 suggestion has been if market-based rates for storage were  
7 to be applied, the sense is that we'd see more storage  
8 developed, and storage is going to be a very good tool to  
9 address volatility.

10 The issue I'd really like to speak to you about  
11 for the rest of my time is inadequate infrastructure of the  
12 pipeline grid. The point I really want to make here, and if  
13 you happen to have seen my presentation, you've seen the  
14 three-legged stool. I think to be able to address the  
15 nation's energy problems in the natural gas industry, all  
16 three things have to be addressed.

17 We have to have additional supplies. We do have  
18 to have additional storage, but we also have to have more  
19 pipeline infrastructure. If any one of those components  
20 doesn't occur, the good that the other two do is frustrated.  
21 All three have to take place in terms of natural gas  
22 pipeline infrastructure.

23 One thing I'd like to talk about in terms of  
24 market area expansions that I think sometimes are overlooked  
25 is any time a pipeline expands its facilities in a market

1 area, it creates a bid for the whole market. First of all,  
2 you're bringing in more infrastructure. You're doing  
3 something to alleviate a pipeline constraint, so you're  
4 reducing costs, reducing volatility in that market area.  
5 Scott was talking about some of the extreme volatility of  
6 pricing that you saw I guess in the New York region off of  
7 Transco. The Boston-New England region off of Algonquin and  
8 the fact that that volatility had increased, the reason  
9 being that those happened to be two of the regions of the  
10 country where there continue to be constraints. As long as  
11 you have pipeline constraints, you can continue to have  
12 higher volatility, even if you add storage, even if you add  
13 additional LNG. So to complete the solution all three  
14 things have to take place.

15 The second thing is any time a pipeline adds  
16 infrastructure to its system, it is creating a benefit of  
17 increased reliability and increased flexibility for all  
18 participants--existing firm customers, new customers, et  
19 cetera. The reason being you have more infrastructure in  
20 the ground. If that new shipper comes, the facilities are  
21 built. The day that that shipper is not using those  
22 facilities, it's still available to the rest of the system.

23 Order 636 and 637 with capacity release, forward  
24 haul, back haul, segmenting, et cetera, all have taken care  
25 of that to see that the pipeline infrastructure is fully

1 utilized. As that occurs, even if it's built for shipper A  
2 and shipper A isn't using it on that day, it is benefitting  
3 all the other remaining shippers on the pipeline grid.  
4 Increased infrastructure has a huge benefit for the whole  
5 pipeline system. But I think sometimes the way incremental  
6 pricing has taken place for a new project, the costs of that  
7 benefit probably haven't been equally shared.

8 Let me flip over to my next slide. The real  
9 point I want to make is right now I think the industry is  
10 really at the crossroads or at the intersection of two FERC  
11 policies, and I think all we need as an industry is just a  
12 little bit of clarification.

13 First off, you have 636 and 637 and essentially  
14 what it created was a single gas market in any particular  
15 region, a lot of transparency of pricing, and a really a  
16 single delivered price, be it Transco's Zone 6, New York,  
17 non-New York, Texas Eastern, Algonquin, City Gate,  
18 Tennessee, whatever it happens to be, you have a particular  
19 price in a particular region of the country. That way, 636,  
20 637 have been immensely successful.

21 We also have the pricing policy I guess that came  
22 out in 1999. In it, I think it was attempting to balance  
23 what the Commission's policy on pricing should be going  
24 forward. I think what it said is there would be a  
25 presumption for incremental pricing unless the new

1 facilities that you're bringing in provide an overall system  
2 benefit. I think the crossroads we're at right now are how  
3 do you apply the system benefit. You can apply it on a very  
4 narrow basis, and say it's only a system benefit if when you  
5 build those facilities, it drives down the average cost of  
6 transportation on the pipeline system. If that's the  
7 criterion, that almost never will happen.

8 New facilities are going to be priced 99 percent of  
9 the time at a price higher than your current system is going  
10 to be. So, the incremental cost is going to tend to be much  
11 higher. The other way to interpret what the system benefit  
12 is: do you take into account the benefit of reduced  
13 volatility of lower pricing for gas delivered in a whole  
14 region, increased reliability, increased flexibility. If  
15 you do, in many cases, the incremental facility ought to be  
16 priced on a rolled in basis for the pipeline.

17 Let me flip the page one more time. I've tried  
18 to kind of give you a bit of an example, and I'm going to  
19 try to work it in such a way that it illustrates the point.  
20 What you have here is just an illustration showing a given  
21 commodity cost for an incumbent shipper. Let's assume the  
22 shipper is very concerned about reliability. They also have  
23 storage, and they also have subscribed to firm pipeline  
24 capacity. In this particular case, the delivered rate is  
25 about 650. Let's just say the last couple of winters have

1       been very cold winters, and the markets off of this pipeline  
2       now are very constrained. In the gray market, and there's  
3       been a lot of volatility in the last couple of winters, and  
4       in the gray market, the going price for delivered gas is now  
5       750. Let's just say in this area, you have an electric  
6       generator, and that electric generator, he has now received  
7       a pricing signal from his ISO that says we would like you to  
8       firm up your gas supply, your storage, and your pipeline  
9       capacity. We want you to be firm, firm. We'll give you the  
10      appropriate pricing signal so that you can now afford to  
11      roll in and to buy pipeline capacity and gas to have your  
12      electric generation reliable all the time. He's willing to  
13      do that. He now comes to the pipeline, and the pipeline  
14      says this is great. We would love to firm this up with you.  
15      This is a very constrained part of our system, and it's very  
16      expensive for us to expand it. But if you're willing to  
17      sign up for the capacity, we're willing to do that. And it  
18      just so happens that the incremental cost for the pipeline  
19      is, in this case, the first day, it's a dollar above what  
20      the system rate is. We're willing to do that, and that will  
21      give you an effective delivery cost of 750. The electric  
22      generator thinks for a moment, and he says, okay. That  
23      happens to be what the new market price is for delivered  
24      gas. I was paying that last year. It looks like I'm going  
25      to have to pay that this year.

1                   I'm willing to do that because I'm paying no  
2 more, but I know that I have from capacity, and I could be  
3 reliable on the ISO grid. He goes back. He talks to his  
4 management team, and he calls them back the next day, and he  
5 says, you know what, Greg, I didn't really mean what I said  
6 the other day, because as I think about it, I realized one  
7 thing: if I sign that contract, and if you build that  
8 capacity, and you alleviate that constraint on your pipeline  
9 system, the gray market price for gas delivery next winter  
10 is going to drop because that constraint doesn't exist any  
11 more. And so, while today the prices is 750, and I agree if  
12 you don't build anything in the next year, the price is  
13 going to be 750. If you do build it, and if I agree to pay  
14 you that price, where my delivered cost is 750, that price  
15 is going to drop lower, to 650. I can't afford to do that.  
16 I will be uncompetitive. As a matter of fact, I will be at  
17 a competitive disadvantage to the generator across the  
18 street who continues to buy non-firm delivered gas to  
19 generate his plant, because next winter he can get it for  
20 650, and my delivered cost is 750. I can't do it.

21                   Thus, there is no contract. There is no  
22 infrastructure built. We've solved the problem by bringing  
23 a lot more LNG into the grid. We have no storage into the  
24 grid. But we can't build the infrastructure to get it to  
25 where it needs to be.

1                   And in that market region, you still have the  
2 same problems of high prices and high price volatility. So,  
3 what is the solution?

4                   I think the solution is just simply the  
5 recognition that expansion of the mainline facilities do  
6 benefit the entire market. All that needs to be done is --  
7 all we need is the Commission to clarify the existing  
8 pricing policy to make it clear that it will reflect the  
9 benefits of reduced price spikes, greater flexibility, and  
10 improved reliability to justify rolled in pricing. That  
11 concludes my remarks.

12                   MR. MOSLEY: Thank you, Mr. Rizzo. Mr. Price.

13                   MR. PRICE: Thank you. I appreciate also the  
14 opportunity to be here this afternoon. Going second to the  
15 last one of the advantages or disadvantages, I'm not sure,  
16 is that a lot of the comments I've prepared for today's talk  
17 have already been shared with you. You can take these, a  
18 lot of them, as a reemphasis, and I will be giving a Lockie  
19 (sp?) on a lot of these topics.

20                   The relationship of price volatility, purchasing  
21 at hubs, and the relationship of gas needs and electric  
22 generation to potential price volatility. As a way of  
23 background, I've been employed at CIG for nearly 25 years.  
24 Consequently, I have witnessed the challenges of building  
25 new storage pipeline under several regulatory frameworks.

1 Demand in our region is predominantly space heating, and  
2 consequently very weather sensitive. Also, production in  
3 the region far exceeds local consumption. Any gas not  
4 consumed locally must be transported to markets to the west  
5 or east. It's very helpful that the Commission is reviewing  
6 its policies to investigate ideas which may help to minimize  
7 volatility over the next several years. Review of recent  
8 history in the Rockies clearly shows that infrastructure  
9 adequacy is very important in minimizing commodity price  
10 volatility in our region. Besides seasonal price volatility  
11 that results from demand changes experienced elsewhere in  
12 the nation, the Rockies have seen considerable wellhead  
13 price volatility in the past as a result of pipeline  
14 capacity expansions lagging behind supply development.

15 Regulatory changes in the recovery mechanism of  
16 new capital projects, along with changing roles of the  
17 industry participants has made development of new projects  
18 particularly challenging.

19 Perhaps the most fundamental regulatory change  
20 affecting infrastructure development over the last decade is  
21 the shift in the financial risk for the creation of new  
22 capacity. In the pre-636 regulatory model, when the  
23 pipeline served is the central aggregator and planner for  
24 capacity, capacity expansions were proposed and approved  
25 based on market fundamentals. It is showing a public

1 convenience and necessity could be made, a pipeline would be  
2 given a 7(C) certificate, and was generally allowed rolling  
3 rate treatment, passing the expansion costs due to existing  
4 new customers alike. In this environment, the sometimes  
5 relatively minor costs to accommodate a small overbuild for  
6 future growth or redundancy in case of a facility outage was  
7 often viewed as prudent.

8           The relatively small price premium passed through  
9 evenly to all pipeline customers was considered balanced  
10 when weighed with significant system benefits of the  
11 increasing reliability and market optionality it provided.  
12 Today, before we can file for a new expansion, we need to  
13 find contractual support in the marketplace. With the  
14 changing role of our shipper base, that support can be very  
15 difficult to come by. Being in a gas rich area, we need  
16 local LDCs that can second gas at a downstream hub to  
17 balance weather fluctuation versus holding upstream capacity  
18 into producing basins. On the other hand, LDCs in the mid-  
19 continent or western states have generally not found their  
20 state PUCs accommodating in supporting recovery of long-term  
21 contracts on pipelines twice removed from their market.  
22 Likewise, the marketing companies are virtually non-existent  
23 in the long-term transportation market, particularly since  
24 2001. This has left the financial burden of planning for  
25 and building new pipelines disproportionately falling upon

1 producers and pipelines.

2           Cheyenne Plains is a good example, where we did  
3 finally receive 10-year contracts from a largely producer  
4 base to build a desperately needed expansion out in the  
5 Rockies. This project, however, was three to four years in  
6 the marketing phase, and it was not until wellhead prices in  
7 the Rockies were \$2.00 per decatherm below that in other  
8 regions that the final market support came forward.

9           Regarding the risk profile, once Cheyenne Plains  
10 anchor contracts expire, El Paso will hold a hundred percent  
11 of the financial risk of that pipeline for the approximately  
12 two-thirds of the undepreciated investment.

13           In the meantime, the parties that subscribe to  
14 this capacity could find the market value of their  
15 transportation trading below the incremental cost of service  
16 that they paid to get the expansion built, particularly on  
17 an average day basis.

18           The reason for this is, even small surpluses in  
19 the capacity market can greatly reduce the underlying market  
20 value of transportation for all routes in the region. This  
21 is the reason we are very concerned about the concept of  
22 reserve margin for the gas industry. Unlike the electric  
23 industry, where capacity can be added or subtracted with the  
24 flip of a switch, once it interstate gas transmission  
25 capacity is placed in service, it's available day in and day

1 out on a firm or interruptible basis.

2 While we believe redundant or reserve capacity  
3 will provide many of the advantages the Commission is  
4 seeking in decreasing price volatility, we will do so at too  
5 high of a cost unless it is accommodated with other  
6 regulatory changes. The Rockies' history has shown shippers  
7 and pipelines alike that even slight overbuilding can  
8 severely depress the market price on all existing pipeline  
9 capacity, leaving the pipes at a considerable risk for  
10 recontracting or renewing expiring contracts.

11 In particular, the Commission should revisit the  
12 pricing and service provisions of short-term firm and  
13 interruptible services in concert with any proposal on a  
14 facility reserve margin.

15 I'd like to comment in a little more detail on  
16 the process of purchasing gas at market hubs in favor of  
17 upstream capacity. While this process can appear efficient  
18 and cost effective in the short run, it certainly exposes  
19 the purchasing party to greater volatility. Price  
20 competition within supply basins is very healthy. But  
21 competition at a market hub can be reduced if the capacity  
22 into that point is held only by a few players. We believe  
23 the Commission has adopted a policy which may place too much  
24 emphasis on mileage based rates in the marketplace, and that  
25 the Commission's policies may encourage shippers to buy

1 solely at market hubs to the possible detriment of the  
2 shippers. Now, more than ever, with the exiting of the  
3 market companies from the marketplace and the corresponding  
4 reduction in liquidity, coupled with the gas supply  
5 environment, which is very tight and may be short, it is  
6 advantageous for gas buyers to have the opportunity to  
7 purchase directly from suppliers at locations upstream of  
8 the market hub. We see significant benefits to shippers,  
9 both from the establishment of direct working relationships  
10 with producers and improvement in the knowledge of direct  
11 basin supply market intelligence which comes from staying  
12 active in the upstream marketplace, instead of relying on  
13 the potential vagaries of the market hub for all and  
14 individual shippers' gas needs. Active participants in the  
15 upstream market enjoy the benefits of staying more into with  
16 the production trends and can anticipate and react more  
17 quickly to develop shortages of supplies.

18 Many consumers in the marketplace today are  
19 simply becoming price takers, reacting to market volatility  
20 instead of planning and positioning to avoid it.

21 Another significant source of volatility we see  
22 in the west as elsewhere is the rapid daily and hourly  
23 demand swings created by gas-fired electric generation.  
24 These swings create extreme operational volatility and  
25 consequently often price volatility on the grid. We've

1 designed a successful model in CIG that permits us to serve  
2 gas-fired electric generation markets without interfering  
3 with the rights of other capacity holders. But we continue  
4 to study and improve our thinking on these difficult issues  
5 for the rest of our pipelines. As we meld together the  
6 electric and gas industry with the significant industry of  
7 gas-fired generation load, we see a need for more realistic  
8 identification and allocation of the cost to serve these  
9 highly variable verb (sp?) profiles. We find it improper,  
10 for example, for the Electric Reliability Council to count  
11 as firm from electric generation facilities that have not  
12 purchased a firm service from a pipeline supplier that  
13 allows the FERC can provide a needed leadership role across  
14 the industry segments on this issue.

15 As our load demands increase across the nation,  
16 it is naive and dangerous to assume that the capacity to  
17 field these facilities will be there when needed, and the  
18 firm service which recognizes the unique operational demands  
19 of generation placed on gas pipelines is not purchased.

20 In closing, I'd like to reemphasize a few  
21 comments and ideas we feel address some of the issues I've  
22 identified. To help with more timely development in the  
23 siting of new infrastructure, we'd like the Commission to  
24 considerable more liberal pricing policy for expansions.  
25 Any new expansion that enters the market with unsubscribed

1 capacity should be permitted to price its IT or short-term  
2 firm at significantly higher prices while offering recourse  
3 rate for any shipper willing to take the capacity for a year  
4 longer. Considering any requirements for reserve margin,  
5 the Commission needs to revisit the wisdom of using a  
6 hundred percent load factor rate determination for the  
7 development of IT rates and determining the appropriate  
8 pricing for short-term firm capacity.

9 We need to give shippers an incentive to sign up  
10 for capacity which benefits the market in total. With  
11 respect to the trends of purchase of supplies at hubs, we  
12 believe that the Commission needs to allow greater  
13 flexibility to deviate from the policies of mileage-based  
14 rates.

15 Lastly, we believe it is important for the  
16 Commission to actively encourage electric generation  
17 shippers, ISOs, state regulators, and reliability councils  
18 to understand the importance of firm transportation service  
19 for electric generation when that generation is being  
20 counted on in the marketplace. We recognize there are many  
21 unique factors which determine the proper terms and  
22 condition of service and the proper terms of the pricing of  
23 this service which best meet the operational needs of the  
24 generators on each pipeline. But the significant reliance  
25 by the electric industry on interruptible service is not

1       only -- adds volatility to the marketplace, but sets the  
2       stage for future market dislocations. Thank you.

3               MR. MOSLEY: Thank you, Mr. Price. Mr. Anderson.

4               MR. ANDERSON: Thank you. My name is Mike  
5       Anderson, Director of Supply Planning in the Energy Supply  
6       Services Departments for the NiSource Distribution  
7       Companies. The NiSource Distribution Companies are 10 LDCs  
8       that operate in the Midwest and eastern U.S. Combined we  
9       serve over 3.2 million customers at retail.

10              According to the numbers that were in the staff  
11       report on storage, we contract for about four to five  
12       percent of the working gas in the country today. That's  
13       about 165 BCF in round numbers.

14              I'd like to express my appreciation to the staff  
15       for their report. I find it useful, and I found it  
16       informative, and want to add my appreciation to those that  
17       have addressed before. I want to also give my thanks to the  
18       staff and Commission for allowing the NiSource Distribution  
19       Companies to be represented on the panel today.

20              Previously, Mr. Oaks, representing AGA, talked a  
21       lot about what LDCs look like. As Mr. Price talked about  
22       being the last one on the panel and the last speaker of the  
23       day, there are lot of things I had planned on talking about  
24       that have been talked about already, but hopefully, I can  
25       add a few traditional insights into LDC use and maybe

1 provide a couple of key points from a party that relies  
2 heavily on storage and use of storage on a day-to-day basis  
3 to serve its customers. Storage is a vital resource for the  
4 Columbia Distribution Companies. In total, about 50 percent  
5 of our six-plus BCF a day city gate capacity comes out of  
6 storage. We have in excess of three BCF of daily  
7 deliverability of market area storage. In addition to that,  
8 we have about 230,000 decatherms of market area storage, and  
9 we have a small amount of on system storage as well.

10 Approximately 40 percent of our seasonal customer  
11 requirements are provided by the storage. Nearly all of  
12 that storage that we contract for is traditional single-term  
13 intermediate storage, as Mr. Oaks described it. We know  
14 from our experience in operating the system since 636 that  
15 seasonal peak days can occur very late in the wintertime,  
16 and that's very important in terms of the operations of  
17 storage; and, in fact, we've seen that in the later half of  
18 March before. We also know that we can have very cold  
19 weather. Those are conditions that make management of  
20 storage critical to the least cost requirements in the  
21 NiSource LDCs. The NiSource LDCs are also very active in  
22 retail access programs. We have customer choice programs in  
23 just about every one of our operating companies, and through  
24 the operations of those programs, through capacity release,  
25 the provision of balancing services, we're using storage to

1 provide access to those retail marketers in our choice  
2 program as well.

3           However, I think it's important to know and  
4 understand that even with those choice programs, the LDCs  
5 continue to bear the responsibility as the supplier of last  
6 resort according to various state jurisdictions in which we  
7 operate.

8           Turning to the staff report, I think that we are  
9 very much in agreement that there is no emergency regarding  
10 current storage levels. But given the strategic nature of  
11 storage use, it makes sense to begin these discussions now  
12 to get ahead of the curve and ensure new ways that storage  
13 is available in sufficient quantities to meet the needs of  
14 the market on a going forward basis.

15           One of the concerns we do have, however, is that  
16 we believe that no one should be required to build storage  
17 facilities based on a particular cost structure that fails  
18 to meet an internal financial analysis if that party is  
19 building the capacity. I think that consequently if storage  
20 capacity becomes scarce, the Commission can consider  
21 incentives to spark construction. However, the cost of  
22 these new facilities should not be forced upon customers  
23 unless those customers, those facilities, certainly meet the  
24 net benefits test.

25           We have a couple of important points that we'd

1 like to make about the report itself.

2 As was stated earlier, I think it's important  
3 that we do have a tightening of that range of what the  
4 working gas is. I think that's affecting volatility,  
5 because I think when parties are in the marketplace, and  
6 they're seeing that storage is full, that's affecting prices  
7 in terms of how people are looking at the marketplace. What  
8 are we going to do with gas if we can't get it into storage  
9 in some of the shoulder months. I think it does affect  
10 volatility. I think it's important that we try to get those  
11 numbers sharpened.

12 Currently, I think there's too much of a gap in  
13 those estimates, so we certainly need to do that.

14 Second, I think it's important for the staff to  
15 understand that from an LDC standpoint, when we're looking  
16 at evaluating the carrying costs of storage, it is not a  
17 short-term borrowing rate that we look at.

18 The cost of inventory is an ongoing working  
19 capital requirement that we have and is looked upon as an  
20 average balance. So, all forms of our financing are  
21 involved in that, and so instead of being a single digit  
22 financing requirement, it's more in the double-digit range  
23 for LDCs.

24 Regarding reserve capacity, we believe the market  
25 should determine the level of reserve capacity needed, just

1 as it does today. Moreover, any such reserve should be  
2 committed or contracted for in a manner that's beneficial to  
3 that party responsible for the cost. There's a very strong  
4 distinction between unsubscribed capacity that the market  
5 doesn't find a use for, and capacity that's contracted for  
6 for reserve contingency purposes.

7 As has been described earlier, it's commonplace  
8 for LDCs to contract for capacity to meet design, peak day,  
9 and seasonal needs. When those design, peak day, or  
10 seasonal needs only occur once in 10 or more years, so what  
11 we're designing for in terms of our portfolio is looking at  
12 that probability that says what is that temperature that  
13 occurs once in 10 years or once in 20 years. That's what  
14 I'm designing my capacity levels for.

15 Certainly, that varies among jurisdictions and  
16 even within jurisdictions that varies from LDC to LDC within  
17 a state. But I think it's important to understand that  
18 those operational reserves do exist in the marketplace and  
19 those are the responsibilities, a consensus that's built  
20 between the LDC its state regulator and its customers in  
21 terms of what the volume of that excess capacity should be.  
22 It's also important to note that from an LDC standpoint that  
23 those reserves that exist for operational and service  
24 reliability purposes really do act to mitigate prices from  
25 the LDC standpoint.

1                   For the NiSource LDCs, we do not contract for  
2 storage specifically to control, manage, mitigate, or  
3 influence the price volatility. Our primary purpose in  
4 contracting for storage is to meet customer reliability  
5 responsibility that we have to our firm market customers,  
6 primarily being those residential and small commercial  
7 customers.

8                   While price volatility mitigation is an ancillary  
9 benefit of that service, we really contract for that on peak  
10 day reliability, as well as a seasonal reliability  
11 perspective.

12                   As Mr. Oaks indicated earlier, we have a policy  
13 at the NiSource Companies where we attempt to field storage  
14 99 percent. It doesn't matter if the summer price is at \$10  
15 and the winter price is at \$5. We're going to fill storage,  
16 because there's a reliability issue. If we didn't fill  
17 storage, we're going to affect the wintertime price anyway  
18 in terms of going out in the marketplace and looking for  
19 that additional supply.

20                   When you're looking at how LDCs use storage, it's  
21 something that we are very mindful of, making sure that it  
22 is full. Very mindful in terms of how it is managed to  
23 ensure that sufficient supply exists throughout the winter  
24 season to meet our customers needs.

25                   I'll skip a couple of things that have probably

1       been addressed pretty sufficiently already today. One of  
2       the things that in the staff report I think is worth noting,  
3       and that is there needs to be some care taken in the  
4       understanding on the exercise of how a storage analysis is  
5       taken care of. I've been a bit surprised today that there's  
6       only been a few comments about supply. I believe that the  
7       primary driver behind volatility today is lack of supply.  
8       If we had ample supply, we would not have the volatility we  
9       have today, and I think there's ample historical evidence of  
10      that. If we go back in and look at supply, and we look at  
11      production numbers in the U.S., we can see that when we've  
12      had excess production, volatility has been lower as well as  
13      overall prices themselves. If we look at storage, and this  
14      is kind of a high level look, if we go in and say, well, we  
15      just need more storage, we've got to think about what that  
16      does to the marketplace. An example is if we went in and  
17      added more storage. And the discussion a lot today has been  
18      well, we've got to fill storage to mitigate seasonal  
19      volatility. If you add more storage, then you add supply in  
20      the summertime, you're going to increase volatility. You're  
21      going to create incremental demand for injection into  
22      storage. It's going to compete in the marketplace if you  
23      don't add at least that much more supply. Then it's going  
24      to do no more good for you. We have to be very careful in  
25      our analysis of how we treat storage in that model.

1                   There are a number of tools that the LDCs  
2                   traditionally have used to address price volatility, one of  
3                   the oldest being our budget payment plans where customers  
4                   can pay a fixed monthly price for service regardless of  
5                   what's going on with the volatility in the marketplace.  
6                   LDCs and state commissions are also experimenting with  
7                   hedging fixed-price contracting practices, as well as the  
8                   marketers participating in our choice programs provide  
9                   various fixed-price products to customers as an alternative  
10                  to the LDC. As a general matter of fact, the LDCs are not  
11                  interested, the NiSource LDCs are not interested, in  
12                  contracting for additional storage. To manage what we  
13                  consider to be an industry-wide problem of price volatility,  
14                  we believe the costs would be prohibitive to our customers,  
15                  would be disadvantageous to them, and, as is common with a  
16                  state regulated LDC, those costs are recovered from those  
17                  firm customers that we have.

18                  Typically, that recovery mechanism as well has a  
19                  price volatility feature to it. I don't think that we can  
20                  overemphasize the value of added supply to address this  
21                  issue right now. A number of parties today, speakers on the  
22                  panels, have addressed infrastructure issues that may be  
23                  location specific. We've seen very high volatility in the  
24                  northeast. I think it's pretty commonly assumed that we  
25                  need to have additional assets into the northeast.

1                   That being the case, that's the Northeast's  
2                   problem. That's not a Midwestern problem. That's not a  
3                   Ohio problem. It's not an Indiana problem as far as we're  
4                   concerned. Recovering added costs from our customers we  
5                   believe is burdensome, particularly given the fact that it's  
6                   those core market customers that today are paying the  
7                   majority of the demand costs.

8                   In conclusion, I would like just address a couple  
9                   of the earlier comments. I do disagree with the comments  
10                  made earlier about unbundling line pack as a means of  
11                  leveling the playing field for market area storage. Line  
12                  pack is a vital requirement of the LDCs to meet the  
13                  temperature demand of its customers. These are complete  
14                  different animals. There is no line of comparison that can  
15                  be drawn between market area storage and its inherent cost  
16                  versus what goes on at the market level. It is vital that  
17                  we have those, and they can't provide that service to us.  
18                  It's a very local service, and line pack has to be looked at  
19                  as much of an art as it is a science. Those are very  
20                  critical things, and I just don't think there's any  
21                  comparison whatsoever there.

22                  Relative to a question that was asked about  
23                  market rates for all storage. I'm opposed to market rates  
24                  for all storage. That's not to say that I am opposed to  
25                  market rates for storage, because I think there are places

1 and times where market rates for storage are very  
2 appropriate. But they are not appropriate on an across the  
3 board situation.

4 Finally, there was a comment about parties who  
5 hold firm capacity on the pipelines, whether it be storage  
6 or FT, there was a comparison that was drawn between our  
7 ability to buy, sell, versus contracting for a different  
8 storage service. I think I would paraphrase a popular  
9 political comment of a couple of years ago that says it's  
10 the economics my friend. If we have an asset, and have a  
11 fixed cost in that asset, how we use that asset and how we  
12 mitigate the cost of that asset is compared against those  
13 other storage alternatives, and we evaluate that asset on an  
14 economic basis. We're held to that responsibility by our  
15 commissions, and we think it's important to understand that  
16 most LDCs look at these opportunities, and these  
17 alternatives on a pure economic basis. Thank you.

18 MR. MOSLEY: Thank you, Mr. Anderson. We'll  
19 start the questioning with the Chairman and Commissioners.

20 (Pause.)

21 COMMISSIONER WOOD: Mr. Rizzo, I was watching on  
22 the TV from upstairs, and you all look great on TV, I should  
23 add.

24 (Laughter.)

25 COMMISSIONER WOOD: As was the last panel, I'm

1       intrigued by the strong advocacy for the rolled in rate  
2       treatment and wondered what you thought that the existing  
3       customers would do. It's been one that in the time between  
4       when I was FERC before, and I came back. I think that clear  
5       policy on incremental versus rolled in credited with getting  
6       a lot of needed transmission built quick without a lot of  
7       push back on rate issues from existing customers and the  
8       like, and I wondered why departing from that would be such a  
9       major improvement over what we've got. Are we kind at the  
10      end of the goodwill phase of expansions being on the backs  
11      of incrementals?

12                   MR. RIZZO: Mr. Chairman, a lot of things have  
13      changed. The success of 636, the advent of 637, the extreme  
14      segmented capacity release, forward haul, back haul.  
15      Capacity is used differently. We have a lot of new players  
16      in the market. From a pipeline perspective, secondary  
17      players utilizing the pipeline capacity, when I say  
18      secondary players, we don't have the primary contract with  
19      them. It has been released to them. They're using a form  
20      different that what was intended. The key is the pipeline  
21      capacity is being very efficiently utilized in the  
22      marketplace.

23                   636, 637 have come full circle, have come to  
24      bear, and have increased the efficiency of the pipeline  
25      grid. What I'm beginning to see now was a little bit of the

1 frustration in the marketplace of us being able to do the  
2 next increment of expansion and hit a number that's going to  
3 be palatable at the market. Texas Eastern and Algonquin  
4 just recently had very successful LDCs, suggesting that  
5 there is a lot of interest in the expansion of our systems.  
6 What I'm not sure of is how much of it we can do and at what  
7 price, and how we interpret what a rolled-in system benefit  
8 is is going to be very crucial to that determination. What  
9 I'm concerned about is I think the way the policy has been  
10 interpreted by some has been you can do the incremental  
11 expansion, and if it's below your system rate, you can roll  
12 it in. That's good. If the expansion cost is above your  
13 system rate, that isn't good, and that ignores all the other  
14 benefits of flexibility, reliability, and the fact that  
15 we've reduced volatility in pricing in that market. If  
16 that's the only criteria that we can have, I'm afraid a lot  
17 of the new expansion opportunities that we're going to have  
18 an opportunity to do won't occur.

19 What I'll say is yes. It may simplify the  
20 certificate approval process, simply because there will be a  
21 lot less certificate projects that we can bring forward.

22 MR. MOSLEY: Thank you.

23 Now, we'll go to staff.

24 MR. CARLSON: Greg, I'd like to actually follow  
25 up on that. How do you value the reliability and

1 flexibility that you add to a system, and conversely how do  
2 you assess whether or you continue to incent pipelines to  
3 build only capacity that may be necessary as opposed to I  
4 just heard the last panel, no, don't go there in terms of  
5 building sort of excess capacity. What criteria would you  
6 propose that we use or add to the policy statement to take  
7 into account reliability and flexibility.

8 MR. RIZZO: John, first off, I'm not sure the  
9 policy statement as it's written per se needs to be changed.  
10 It's really just the interpretation of the policy statement  
11 and the concept of how to interpret what a system benefit  
12 is. The system benefit in my mind, if you expand your main  
13 line and you are relieving the price pressure for the  
14 delivered price of gas to that whole marketplace, you've  
15 provided a benefit. If you've produced volatility, you've  
16 provided the benefit. If you put more steel in the ground,  
17 you've provided a benefit to all the other firm shippers who  
18 utilize your system.

19 All I think we're looking for right now is  
20 clarification from the Commission that yes, those additional  
21 benefits we would have to consider. Does it have to be  
22 fully decided in the certificate proceeding, you now, today?  
23 Well, maybe. If a pipeline sponsor says I need to know now,  
24 I have to have clarity that it can, maybe it can be deferred  
25 to the next rate case, and it can be debated as long as we

1 know that the criterion is broad enough to the extent that  
2 we can demonstrate these additional benefits, those  
3 facilities are eligible for rolled-in pricing.

4 MR. FOLEY: Some of the independent storage  
5 operators mentioned their projects might be more attractive  
6 if contemporaneously with their project there was some  
7 change in the zone boundary of the price they were attaching  
8 for some modification of a short haul rate, which would  
9 dovetail with their project. Is there a way to front end  
10 that idea in the certificate process or getting their  
11 proposal together in some kind of combination filing that  
12 would bring that combination idea or proposal to the  
13 Commission and have it worked out in whatever needed to be  
14 worked out?

15 MR. RIZZO: Rich, you're really talking about the  
16 fundamental question of rate design and cost allocation.  
17 Those are very complex proceedings. Any time you do it, no  
18 matter what, somebody likes what you do. Somebody doesn't  
19 like what you do. They like where the boundary is. They  
20 don't like where the boundary is. I'm all for encouraging  
21 additional LNG. I'm all for encouraging additional storage.  
22 I think those are great tools. I'm all for creating more  
23 infrastructure on the pipeline grid. But I don't know that  
24 you need to redefine whether a pipeline is on a zone basis  
25 or a mileage basis or redesign the zone. If you're doing

1 that to encourage 200 a day storage input into your system  
2 some place, that's really a very small component of the  
3 overall equities across the pipeline. From that  
4 perspective, I would say those projects live within the  
5 environment of what that pricing happens to be. Anytime you  
6 change it, you're going to have relative to others winners  
7 and losers. That should not be the reason why you  
8 fundamentally change your pipeline rates.

9 MR. MURRELL: Greg, to the extent that you make  
10 written comments later in this proceeding and follow up what  
11 you're saying today with some additional information, I  
12 think it would be really great from our point of view in  
13 understanding the meat of what you're asking us to consider  
14 in terms of these other benefits. You've got some examples  
15 in mind, although you gave us a hypothetical in your  
16 presentation. It would be fabulous to see your version  
17 representing a real-life story, and the quantification of  
18 those benefits that you believe took place as a result of  
19 that pipeline expansion and a change at the prices at the  
20 downstream end of that basis differential and how those  
21 price impacts would have affected the people who were not  
22 customers of the expansion but got the free ride along the  
23 way.

24 MR. RIZZO: We will do that, I think one thing we  
25 can do this last winter as an example on the Algonquin

1 system, we completed the hub line system which connected the  
2 Algonquin system into the Maritimes system. What that  
3 allowed this winter in New England is the Algonquin system  
4 to receive a lot of gas, somewhere in the vicinity of 150 to  
5 maybe up to 250 a day. If you look at on a narrow leasing  
6 basis into the heart of its market area, as I think  
7 everybody knows in New England, we had three very, very cold  
8 periods of time in the month of January. And each time,  
9 Algonquin was able to meet and exceed what its requirements  
10 were for the good of the whole marketplace. We had higher  
11 pressure on our G-system than we've had since I have any  
12 knowledge of Algonquin. So, it really provided for the  
13 greater good or try to address what you're asking, and tried  
14 to look at a real live example of maybe what happened on our  
15 system this winter.

16 MR. MOSLEY: I have a question for Mr. Anderson,  
17 following up on what you said. You said that you'd be  
18 opposed to having a general market-based rate for all  
19 storage. Yet, and I'm paraphrasing here, you said on a  
20 case-by-case basis. Could you clarify that, particularly  
21 with regard to whether or not the Commission should  
22 reconsider its market power test for storage as opposed to  
23 transportation?

24 MR. ANDERSON: I think there are locations. For  
25 example, in the Gulf Coast region, where storage from an LEC

1 standpoint, it isn't really storage that's used to serve the  
2 customer, but is rather storage that is used more for price  
3 mitigation, a lot of times you're looking at a situation  
4 where during the wintertime, we would be flowing our FT  
5 full. So, we're flowing that 100 to 150 days of the  
6 wintertime, but that storage that's in the Gulf Coast might  
7 only be a 10-day storage. It might only be a 20-day  
8 storage. It's really there to mitigate price volatility. I  
9 look at that as being entirely different in its access or  
10 application for an LDC because it's not really a peak day  
11 deliverability. It's not providing balancing services.  
12 It's not providing significant seasonal resources. It's  
13 more there as an insurance policy or as a mitigation measure  
14 for part of our supply source. I look at it entirely  
15 differently in its structure.

16 MR. MOSLEY: Thank you.

17 MR. SOTO: Can I follow up on that, and you're an  
18 LDC in an area where there's no other market area storage,  
19 and an independent storage producer has proposed a project  
20 and asked us to approve market-based rates. Do you support  
21 or oppose that?

22 MR. ANDERSON: What is the service that they're  
23 providing? I think when you're looking at storage and how  
24 storage functions for us, it provides the peak-day  
25 reliability. It provides the balancing service. It's a no

1 modus service. If you're looking at a new storage service  
2 like that, in my book, I don't think it's got a real  
3 opportunity to exercise market power anyway. It's the new  
4 player on the block. It's going to be something that's  
5 going to be a very, very small component of that. I would  
6 not be opposed to market-based rates on that. But, again,  
7 what is the service that it's going to be providing? Is it  
8 going to have to be with pipeline capacities to get to my  
9 city gate? Is it close enough that it will need to be  
10 delivered to me? There's a lot of variables in there that  
11 come into that decision?

12 MR. MOSLEY: Any more questions?

13 MR. HOLMES: I have a question going back to the  
14 incremental versus the rolled-in rate. Mr. Price, you were  
15 talking about previously the Commission would assess need  
16 versus having the customers come in with a contract. I can  
17 remember maybe 16 years back that the Commission based that  
18 assessment of need on 10- and even 20-year contracts or the  
19 anticipation of contracts in that range. What would you  
20 suggest that the Commission would do now that everyone says  
21 those days are long, long gone?

22 MR. PRICE: I'm not sure. You could really  
23 unscramble that egg and go back in time with the model we  
24 have today. The point I was trying to make is in a lot of  
25 cases, you have a very difficult time getting those long-

1 term contracts. When you finally do get enough support, you  
2 can look at the fundamentals and probably see that the  
3 minute that you put that expansion in place, the supply may  
4 have already ramped up far beyond what the capacity of that  
5 incremental expansion can handle. But you're not quite sure  
6 that you're in a position to take the risk to overbuild for  
7 that because of our pricing mechanism. Once we've put that  
8 capacity into service, we need to offer it at 100 percent  
9 load factor rate. In the Rockies you have a dynamic that  
10 you have high consumption in the winter and a high demand to  
11 get out of the region in the summer. If I have to sell my  
12 capacity on a hundred percent load factor rate for maybe  
13 five months out of the year, I'm guaranteed underrecovery if  
14 I overbuild. The point I was trying to drive at, if we had  
15 a little more flexibility on pricing that short-term or  
16 interruptible capacity, you could develop scenarios where  
17 you could count on your own intuition of what those market  
18 fundamentals are, and perhaps build the economies of scale,  
19 build a larger project and let the market grow into it more  
20 efficiently.

21 MR. MOSLEY: Any more questions for the panel.

22 (No response.)

23 MR. MOSLEY: Thank you, gentlemen. We'll now  
24 move to the next session. The public forum. We have three  
25 participants who had signed up to participate in this. I

1 would like to ask you to step up to the microphone, identify  
2 yourself. I want to start with John Forman from NiCorps.  
3 Is Mr. Forman? He's left the building. Maybe he was  
4 hungry. Next Mark Crews from MicroExchange. He had to  
5 catch a plane. Then our potential last speaker is Jim Goetz  
6 from Caledonia Storage.

7 VOICE: They're all together.

8 MR. MOSLEY: I guess their five minutes of fame  
9 is over. Fifteen minutes total. With that, I would like to  
10 close, and I'll offer an opportunity for the Chairman and  
11 Commissioners to close. As we put in the notice, I'd like  
12 to have any comments filed by November 15th. Also, for  
13 those of you who have not filed in this proceeding your  
14 presentations that would be very helpful if you would file  
15 those. Put in the record, and, of course, we encourage you  
16 to file when possible. I'd like to thank you all for  
17 bearing with us and not having any breaks. We wanted to go  
18 through this, and the panelists were hungry, turning their  
19 mikes off when their stomach growls and so forth. I'd also  
20 like to thank all of the participants, the panelists, and  
21 the audience for joining us here, and engaging us in this  
22 discussion. I'd like to thank the Commissioners and the  
23 Chairmen, the assistants, the staff, not only here but also  
24 others, who have helped us craft this storage report, and  
25 have played an active role in today's conference. I'd also

1       like -- I guess the Chairman left. I was going to thank him  
2       for letting me sit in his seat today.

3                       (Laughter.)

4                       MR. MOSLEY: It feels nice here.

5                       (Laughter.)

6       CLOSING REMARKS

7                       MR. MOSLEY: With that, I'll turn it over to the  
8       Commissioners for closing remarks.

9                       COMMISSIONER KELLY: I'd like to thank staff for  
10      kicking this off and doing the excellent job that you did on  
11      the underground storage report. I appreciate your work. I  
12      also appreciate the fact that the industry has found it  
13      quite valuable, as they've testified to today. Thank you  
14      very much.

15                      COMMISSIONER BROWNELL: I'd also like to thank  
16      the industry, certainly the staff, for their wonderful work,  
17      as always. When we call these conferences, particularly in  
18      the world of gas, people say, oh, my God. What are you  
19      doing? Leave us alone. We're done with all that  
20      restructuring. And I think what you all pointed out today,  
21      although your conclusions may have been different is, the  
22      world has changed, and we do need to examine rules, as Joe  
23      referenced, made 20 years ago, and their applicability in  
24      today's marketplace. I also am grateful for the very  
25      forthright way in which your presentations went. We

1 commented this morning, it is wonderful to have people come  
2 and say, here's what we want, and here's why we want it, and  
3 here is the impact as opposed to kind of dancing around  
4 these esoteric policy discussions that tell us nothing about  
5 the way you're managing your businesses. We appreciate it.  
6 We might put you up as poster children for some other  
7 members of the energy sector who need to learn that kind of  
8 direct here's what we need to do. Thank you.

9 COMMISSIONER KELLY: I know that it takes a lot  
10 of time and effort to devise these presentations, come here,  
11 and give them, and I want you to know that it is very, very  
12 beneficial to us. You've piqued our thinking. We'll be  
13 back together again soon to talk about these issues in some  
14 more depth. Thanks very much.

15 MR. MOSLEY: Thank you all. With that the  
16 meeting is over.

17 (Whereupon, at 3:05 p.m., the meeting concluded.)  
18  
19  
20  
21  
22  
23  
24  
25