

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
FEDERAL ENERGY REGULATORY COMMISSION

Technical Conference:                   Docket No.  
Northern Border Pipeline Company      RP20-859-000

TECHNICAL VIDEOCONFERENCE  
Federal Energy Regulatory Commission  
888 1st Street NE  
Washington, DC 20426  
Thursday, August 6, 2020  
10:00 a.m.

## 1 PARTICIPANTS:

2 On Behalf of FERC Staff:

3                   Danielle Bertoldi

4                   John Martinic

5                   Vince Mareino

6                   Scott Merritt

7

8 On Behalf of Northern Border

9                   David Alonzo

10                  Christine Ng

11                  Bill Fonda

12

13 On Behalf of WBI Energy

14                  Rob Johnson

15                  Marc Dempewolf

16

17 On Behalf of Indicated Shippers (Conoco/Phillips/XTO)

18                  John Paul Floom

19

20 On Behalf of Targa and Andeavor

21                  James Olson

22                  R.J. Colwell

23

24 On Behalf of Oasis Intervenors

25                  Greg Hills

1 PARTICIPANTS (CONTINUED):

2 On Behalf of Flatirons Fields Services

3 Judy Matlock

4 Jessica Kelleher

5 On Behalf of Continental Resources

6 Erica Rancilio

7 Josh Baskett

8

9 On Behalf of Hiland Partners

10 Kristin Gibbs

11 Caleb Johnson

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 P R O C E E D I N G S

2 (10:00 a.m.)

3 MR. MARTINIC: Okay good morning everybody.

4 Thank you for arriving this morning and looking forward to  
5 your Conference. My name is John Martinic. I'm an analyst  
6 with the Office of Energy and Market Regulation.

7 So staff is conducting this Technical Conference  
8 to examine and discuss the filings in Docket RP20-859, in  
9 which they proposed to establish a gas quality safe harbor  
10 limit for gas on its system. I'll be the lead moderator for  
11 today's Conference, and while we have other Commission staff  
12 members available, they will also help facilitate the  
13 Conference flow.

14 The other staff members will be participating in  
15 today's groups. Regarding Conference logistics, Staff have  
16 chosen to forego the verbal introductions which would be  
17 timely, so assuming the process this morning everybody  
18 should have received a copy of our attendee and registration  
19 list, for reference, the various parties or people with  
20 their companies that they're representing and positions.

21 We're also going to go over a couple of the rules  
22 for today's Conference regarding WebEx and I'll begin with  
23 essentially thank you for everybody's patience with our  
24 learning how to use WebEx. The virtual conference setting  
25 is new to many, if not most of us. Also, with our normal

1 disclaimer -- staff may express certain opinions which are  
2 the opinions of those individuals, but they do not  
3 necessarily represent those of the Commission.

4           And likewise this Conference will be transcribed  
5 for which everybody will have access after the Conference.  
6 I also want to mention that for most of us, most of the  
7 staff today this is a first virtual conference that we will  
8 be taking part in, so please bear with us as we adapt to  
9 this format, as many of you may as well.

10           We've had some practice runs and some have gone  
11 smoother than others, but we've learned a great deal along  
12 with the way. Of course, as the Conference proceeds today,  
13 there will be some glitches we assume, and we appreciate  
14 your patience with that.

15           Also to clarify as we try to get various people  
16 registered as they arrived this morning as presenters or  
17 panelists, what people will be attendees, and that means  
18 that your mic will automatically be muted. However, it's a  
19 point of Q and A during the questions today, even attendees  
20 may want to speak, will we be able to activate your mic and  
21 to please submit your request here raising your hand or in  
22 chat messages feature of WebEx.

23           Let's see. We'll have two Q and A sessions over  
24 the course of today's meeting. So in order of the agenda  
25 the first will be after the presentation of Northern Border

1 this morning. And the second will be at the conclusion of  
2 the day, following the presentations of all the other  
3 parties. We will have a total of seven presentations and  
4 the current slide reflects those various parties that will  
5 present.

6           Let's see here -- as we go through these  
7 presentations people may have concerns or comments to  
8 express, or perhaps questions referring to the attendees.  
9 Please have your raise your hand, using that feature on  
10 WebEx and as well submit in your chat feature the question  
11 you have in mind or comment. But when you do that, please  
12 also have that selected as being sent to all attendees so  
13 everybody is aware of your request.

14           And one further comment on that, we also request  
15 of anybody that's not speaking, that they turn off their  
16 camera, so as to minimize bandwidth usage and make the  
17 connectivity for all of the other parties as smooth as  
18 possible. There will be a total of eight presentations  
19 today and we ask that you hold off on any comments and  
20 questions you may have until the conclusion of the  
21 presentation, as we'll monitor the various requests or hand  
22 raises that there are in an orderly fashion and submit those  
23 requests or comments at the conclusion.

24           So as noted on the agenda that you received  
25 already, we'll begin with Northern Borders after my

1 comments, followed by a 60 minute Q and A session, which  
2 following the Q and A session we'll break for lunch for an  
3 hour and then after we return from lunch, that's when we'll  
4 begin with the various other parties who would like to do  
5 their presentations, of which there will be seven.

6           Let's see -- we'll begin the afternoon with two  
7 presentations given by WBI and then by Indicated Shippers,  
8 represented by Floom Energy Law. We'll follow that with a  
9 10 minute break after which we'll continue with five more  
10 presentations given by Targa and Andeavor, Oasis  
11 Intervenors, Flatirons Field Services, Continental  
12 Resources and Hiland Partners Holdings.

13           At the conclusion of those presentations, we'll  
14 then ask -- I'm sorry, we'll ask all presenters to introduce  
15 themselves prior to the presentation and then we'll have  
16 after those presentations, a 50 minute period for a Q and A  
17 session.

18           So we also want to note that  
19 while we understand that many will have questions or  
20 comments of the presenters, it's a possibility we may not  
21 have enough time during the course of today's Conference, so  
22 we wanted to remind you that after today's Conference, there  
23 will be a period where I'm sorry, where people participate  
24 and we'll have an opportunity to file briefs, so there will  
25 be a secondary chance for people to provide for just a bit

1 more information or comments regarding their concerns.

2           Staff also expects to issue a notice shortly  
3 after the Technical Conference and will request initial  
4 briefs by August 27 and reply briefs by September 17. So  
5 yes, we're working on this tight schedule to meet the  
6 suspension deadline to issue an order by November 1, so we  
7 appreciate your patience and cooperation with that.

8           Let's see, before we start with Northern Borders'  
9 presentation, I would just like to check with Commission  
10 staff if anyone on the team would like to submit any other  
11 comments or other information.

12           MR. MAREINO: Sure, this is Vince Mareino of  
13 Commission staff. I just want to make sure that all of our  
14 participants know that under a normal WebEx setting, at the  
15 bottom of your screen you see a series of mostly gray or  
16 blue circles. If the one that looks like a cartoon speech  
17 bubble is currently gray for you, click on it to make it  
18 blue and you should see on the right side of your screen a  
19 chat panel open up.

20           And you'll notice that many people have been  
21 using that so far to send messages to staff about technical  
22 things, making sure that the system is working properly.  
23 The chat area is also the best place for you to record any  
24 questions that you might have that come up during a  
25 presentation if you want to make absolutely sure that staff



1 sees you and that you get called on when the presentation is  
2 over and it's easier for everyone to talk.

3           So you can use the chat to either write down your  
4 actual question, or just to write down ask a question.  
5 There's also a hand raising button that is in here. If you  
6 click on the gray circle that looks like a cartoon person so  
7 that when you'll see a list of everybody who is a panelist  
8 or participant. And then at the bottom of that list of  
9 panelists and participants, there's a very tiny icon of a  
10 hand.

11           And people who are looking over at it right now  
12 should see that I'm making my hand raised, turning off my  
13 hand from getting raised. And so this is an option you can  
14 use if you want to indicate that you have something more  
15 urgent that might need to happen during the Conference, and  
16 also it's a way for you to indicate that you would like to  
17 be placed in the queue of people who will be asking  
18 questions after presenter's responses. So that's all I  
19 have, back to you John.

20           MR. MARTINIC: Okay, thank you Vince. At this  
21 point as well, if there's any presenters that have any  
22 questions before we begin please unmute yourself. Silence.  
23 Do any of the presenters have any concerns? Everything  
24 looks good. Okay, well very good. Okay and then if it's  
25 all right with you, at this point I'll turn it over to David

1 Alonzo of Northern Border.

2 At this point for others, I'll be muting my mic  
3 as well and minimizing my screen. David are you ready?  
4 Hello David?

5 MS. BERTOLDI: And we see your screen, but it  
6 looks like you're unmuted, but we don't hear you.

7 UNIDENTIFIED SPEAKER: This is -- can anybody  
8 hear me.

9 MS. BERTOLDI: Yes we can.

10 MR. ALONZO: David Alonzo on my screen has all  
11 the triangle, a yellow triangle which looks like it also has  
12 an exclamation mark in the upper right-hand and upper  
13 left-hand corners, so I don't know if that means anything to  
14 you all or not.

15 MS. BERTOLDI: Okay. Thank you for that  
16 information. We will find out what that means.

17 UNIDENTIFIED SPEAKER: That actually indicates a  
18 bandwidth issue on David's end.

19 MS. BERTOLDI: Okay.

20 MR. MARTINIC: Anybody who is an employee for  
21 Northern Border or an attorney representing Northern Border,  
22 feel free to check your microphones right now to see if  
23 you're able to talk. If -- everyone else keep the line  
24 clear to see if we can get David Alonzo's microphone  
25 working.

1           MR. WILLARD: This is Andrew Willard. Can you  
2 all hear me?

3           MS. BERTOLDI: Yes we can.

4           MR. FONDA: This is Bill Fonda just checking in  
5 again.

6           MS. BERTOLDI: Hi, we hear you Bill.

7           MR. FONDA: Thank you.

8           MR. ALONZO: Okay, can anybody hear me now?

9           MR. MARTINIC: There you are David.

10          MS. BERTOLDI: We hear you David, great.

11          MR. MARTINIC: David, do you have control of the  
12 slide deck?

13          MS. BARTOLDI: I think it might be cutting in and  
14 out.

15          MR. MARTINIC: I'll take that as a maybe.

16          MS. BERTOLDI: Is there anyone else from Northern  
17 Border that can potentially be the voice and say they could  
18 flip through the slides?

19          MR. FONDA: Oh sure, I'm sorry. This is Bill  
20 Fonda again. And I will be first, I'd like to say thank you  
21 to John and staff for putting this together, but you know  
22 from all of us at Northern Border, I'd like to thank you for  
23 joining us on the call today. My name is Bill Fonda, and  
24 I'm in the marketing department and I'll be kicking off our  
25 discussion and then I'll turn it over to others who will

1 introduce themselves as we proceed. Can you go to the next  
2 slide David?

3 Thank you. Safety is a guiding principle in  
4 everything we do at TC Energy and we start every meeting  
5 with a safety moment. We'll be filing the presentation  
6 materials and I hope you'll find out safety share on ladder  
7 safety helpful. I know it's come in handy for me a few  
8 times.

9 One more -- thank you. The agenda for today is  
10 we'll be reviewing the need for our proposal. We'll show  
11 that we're seeing increasing Btu levels on the system and  
12 discuss the impacts high Btu gas has not only on our system,  
13 but on those of our customers and our markets.

14 We'll review our proposal which is as flexible as  
15 it can be while still providing an effective Btu management  
16 tool. You'll hear this a few times during the discussion,  
17 but we want to make sure that we clear up one aspect of our  
18 proposal and that is that we're not proposing a hard cap Btu  
19 limit. We'll also be discussing pairing, which is a concept  
20 suggested at our meetings with the point operators and we've  
21 had several additional meetings on this topic.

22 Yes, thank you very much. We wanted to start off  
23 with a map of the Northern Border system and I know it might  
24 be hard to see, but we wanted to illustrate a few things and  
25 those are circled in red. As we go through our

1 presentation, we'll be referring quite a bit to Port of  
2 Morgan, the Bakken and Glen Ullin. And we want to show you  
3 where they are on the system and talk about the  
4 significance of the points.

5 Port of Morgan, which is the upper big red circle  
6 is the interconnection with Foothills pipelines on the U.S.  
7 Canadian border. The capacity of Port of Morgan is 2.2 BCF  
8 per day. And I hope you can see Empress. It is upstream of  
9 Port of Morgan on the Alberta Saskatchewan border and nearby  
10 is the location of a world class petrol chemical complex.

11 The gas received at Port of Morgan comes from the  
12 western Canadian sedimentary basin and goes through massive  
13 processing facilities at Empress to feed the petrol chemical  
14 business. Now because of the aggressive processing of gas,  
15 Port of Morgan is one of our lower Btu sources.

16 So when you see WCSB in the presentation, we're  
17 talking about Canadian supply. Glen Ullin is the second big  
18 red circle downstream of Port of Morgan, and it's located  
19 near our compressor station 6, and there's a main line  
20 chromatograph at the point. We use Glen Ullin to measure  
21 our overall system gas quality because it's downstream of  
22 our last supply point.

23 I would also note that we receive Powder River  
24 Basin supply from Bison Pipeline near Glen Ullin. Between  
25 Port of Morgan and Glen Ullin, these smaller red circles

1 show our Bakken receive points. We receive gas at 13 Bakken  
2 area points and it's an important component of our supply  
3 portfolio. The gas received at Bakken point is primarily  
4 processed gas, with various processing technologies at the  
5 upstream plants that deliver to us.

6 But collectively, Bakken supply is our highest  
7 Btu source. We can go to the next slide David. Thank you.  
8 The need for our filing continues even with the recent  
9 economic disruptions. As we go through the materials,  
10 you'll see that our system-wide Btu levels are increasing  
11 because of decreased receipts of lower Btu Port of Morgan  
12 supply and increasing receipts of higher Btu Bakken gas.

13 Increasing system Btu levels impact Northern  
14 Border's facilities and those of its markets, commercial end  
15 users, local distribution companies, and electric  
16 generators. Northern Border does not have a stated upper  
17 Btu limit or really any other tariff provisions to manage  
18 these issues, which is why we filed our proposal. Thank  
19 you.

20 As Bakken production has displaced WCSB and other  
21 lower Btu sources, our system-wide Btu levels have increased  
22 from 1,080 in the 2017 timeframe to at times recently  
23 approaching 1,120. Our system-wide Btu levels are more  
24 consistently over 1100. Btu levels over 1100 is described  
25 in our filing, or the level where markets push back and have

1 rejected our supply.

2 Further at these higher levels, we see long-term  
3 impacts to our facilities. Likewise parties have also  
4 expressed safety and reliability concerns to its facilities  
5 and its customer facilities at high Btu levels. If Bakken  
6 production reaches historical levels without tariff  
7 provisions to address heat content, Northern Border's  
8 system-wide Btu level will exceed 1100 on a permanent  
9 basis.

10 The charts below show illustrative Btu levels  
11 assuming various Bakken receipts in Btu levels. In the  
12 chart on the left we've assumed the Port of Morgan Btu level  
13 at 1030. And unless there's an outage, 1030 is a very  
14 representative Btu level at that point. We have specific  
15 information in a few slides, but our Bakken Btu levels from  
16 the processing plants range from 1011 to over 1200 Btu, so  
17 the bar on the left-hand side of the graph shows various  
18 assumptions for collective Bakken Btu.

19 But the graph shows that at 1.3 BCF of Bakken  
20 production, which is about where we are today, system Btu  
21 levels can exceed 1100. On the right-hand graph, the first  
22 two bars show -- I'm sorry, thank you. On the right-hand  
23 graph, the first two bars show the actual increases in our  
24 system Btu levels from 2016 to 2019, where Btu levels went  
25 from 1064 to 1091.

1           The bar on the right shows an illustrative  
2 scenario with 2 BCF of Bakken supply and about .4 BCF from  
3 Port of Morgan, with the resulting system Btu of 1122. This  
4 assumes a composite Btu factor from the Bakken of 1,140.  
5 This data shows the increasing role Bakken gas plays in our  
6 supply portfolio. But I'd like to emphasize, and it's shown  
7 in red on the graph is that Bakken receipts bottomed out on  
8 June 20 at about 1 BCF per day, but within one month, Bakken  
9 receipts are now back to 1.3 BCF.

10           So Bakken's production can come back quickly and  
11 so do increasing system BTU levels. In fact, Continental,  
12 the largest Bakken producer said recently that most of its  
13 flows that were curtailed in the second quarter will be  
14 restored in August.

15           This shows our historical Btu data and there is  
16 an increasing heat content trend. There are two periods I  
17 want to focus on. The first circle, the one on the left  
18 shows Btu levels during an outage of one of the upstream  
19 Empress processing plants in the May to July 2018. The  
20 result of that outage was we received much higher Btu  
21 levels at Port of Morgan.

22           And you know, the significance of this is here  
23 before we had been able to blend our system Btu levels to  
24 reach acceptable levels, but we found that during this  
25 outage, our ability to blend gas was completely eliminated



1 and during this time our system Btu levels reached 1,118.

2           The next circle, which encompasses kind of May  
3 through July of 2019, what this data reveals is that during  
4 the summer period when demand on our system is lower, you  
5 know, Canadian gas may have the opportunity to seek other  
6 markets, but Bakken gas really doesn't have alternate  
7 markets.

8           So the higher percentage of Bakken supply is  
9 reflected in our system Btu content. Finally, it is shown  
10 in November of 2019, Bakken gas continued to be our  
11 predominant source of supply and the resulting system Btu  
12 content, even during our peak winter demand season, was  
13 consistently over 1100 and again, this is resulting in the  
14 elimination of our ability to blend gas.

15           This suggests that higher Btu supply in excess of  
16 1100 will become a year 'round occurrence. I would point  
17 out also that with the increased Bakken flows shown on the  
18 previous slide, our system Btu's are currently running as  
19 high as 1096. And on the spot basis, have reached higher  
20 levels. I'd also mention that we're now receiving about  
21 100,000 MMBtu per day upon the river basin gas near our  
22 Kurtz point from Bison pipeline.

23           The Btu level on Bison is right at 980 and absent  
24 this lower Btu source, our system Btu levels would be  
25 approaching and likely exceeding the 1100 Btu level. We

1 wanted to focus on the specific Bakken region interconnects  
2 showing flow data, Btu level and ethane content for the  
3 points.

4           What the data shows is that with few exceptions,  
5 both the Btu content and ethane levels at the Bakken area  
6 points are extremely high. Without the ability of lower Btu  
7 points, either in the Bakken region, or Port of Morgan to  
8 blend high Btu Bakken supply, the safe and reliable  
9 transportation of gas on our system and its acceptance in  
10 the market comes into question.

11           You'll see here that I mean we're seeing ethane  
12 percentages upwards of 24 percent at some of our Bakken  
13 points. The need for our filing continues and in fact may  
14 be more urgent as flow dynamics and Btu levels change. We  
15 did see a drop off in system Btu levels during the trough of  
16 the economic downturn to the 1082 level, but with Bakken  
17 production resuming, we're seeing system Btu levels of  
18 1,096.

19           And again I would mention that our Btu levels  
20 include Bison receipts at a Btu level around 980. But the  
21 transportation contracts on Bison terminate at the end of  
22 January 2021, so there is some uncertainty over the  
23 continuation of those flows. With our current system flows  
24 around 200,000 MMBtu per day less than our capacity, when  
25 system demand increases, if the void is filled solely with

1 higher Bakken Btu gas, our system Btu ratings will likely  
2 reach levels where we have operational and market issues.

3 Our gas control department and our gas control  
4 departments of our inner-connecting pipelines are among the  
5 best in the business and they've worked very hard to take  
6 whatever action they could to accept our flows during high  
7 Btu periods. But even on a temporary basis, the ability to  
8 blend gas has its limits. Our gas has been rejected by  
9 downstream markets due to quality concerns.

10 In June of 2018 we advised our inner-connecting  
11 pipelines that because of an out of stream outage, we are  
12 seeing higher Btu values. The outage was at the Empress  
13 processing plants that I mentioned earlier. As a result of  
14 higher Btu levels, deliveries to our Joliet point where we  
15 interconnect with Vector Pipeline, were curtailed from  
16 268,000 dekatherms to 76,000 dekatherms for a 31 day period  
17 from June to July of 2018.

18 Also, Midwestern Gas Transmission made several  
19 postings regarding restrictions due to high Btu content at  
20 the Shanahan Point and our deliveries there were curtailed  
21 from 339,000 dekatherms to 90,000 dekatherms. In March  
22 2020, again because of high Btu levels, we were requested by  
23 Vector to curtail flows by 50 percent.

24 We've had many internal discussions about the  
25 blended Btu level of our gas stream. Using an 1100 Btu

1 level, allows us to stay within equipment manufacturer's  
2 specifications for ethane content. Also, 1100 is at the  
3 upper Btu limit prescribed by many of our interconnecting  
4 pipelines.

5 To set a higher limit negatively impacts our  
6 system operation and market access. The recognition to  
7 address increasing heat content has been provided by the  
8 North Dakota Pipeline Authority in several meetings. WBI's  
9 Tioga to Emerson project open season, advised potential  
10 shippers that they would need to meet the gas quality  
11 specifications of the downstream interconnecting pipelines.

12 In this proceeding, 10 parties representing  
13 owners and operators of distribution facilities and end use  
14 equipment filed comments expressing concerns that higher BTU  
15 gas transported on Northern Border caused operational and  
16 safety concerns. These parties collectively provide  
17 electric and natural gas service to millions of retail and  
18 industrial consumers in at least 12 states.

19 MR. WILLARD: Hi everyone. My name is Andrew  
20 Willard. I am in the engineering group here with TC Energy  
21 and I lead the gas quality group. So I want to talk to you  
22 for a few minutes about the impacts of the high BTU gas. So  
23 there are two places where we would see these impacts. One  
24 would be with the end users, the commercial end users, the  
25 LDC's, electric generators, and then of course within

1 internally within our own system.

2           And so with the end users, some key points would  
3 be the power generation facilities. You know, those units  
4 are designed with the very specific gas compositions in  
5 mind. And so the higher Btu's can lead to premature turbine  
6 hot section failures, and of course reduced service life.  
7 Also of concern, our facilities' open burners -- glass  
8 plants are an example of those.

9           And they do not tolerate the higher Btu's well or  
10 the Btu changes, mainly due to their tight tolerances on  
11 process temperature inverter designs. We could also have  
12 issues with the higher content of heavy hydrocarbons on Knox  
13 production and so on you know, internal combustion engines  
14 that would lead to the fail emissions test.

15           Specific, any engines, generators, things like  
16 that that -- they're susceptible to detonation and so when  
17 that occurs due to the presence of the heavier hydrocarbons,  
18 they do have reduced component life within that engine.  
19 Carbon monoxide production as well -- that's an issue with  
20 incomplete combustion of gas in burners. And then of course  
21 on the end user and the damage to appliances due to their  
22 burners being designed for the lower Btu gas that's  
23 traditionally been present in that region.

24           And so on our system, we do have 13 RB211 Siemens  
25 turbines, or Avon turbines. And so we have correlated the

1 higher Btu to the higher ethane levels, and so those 13  
2 units actually have a manufacturer's recommendation for the  
3 limit on ethane at 13.9 -- I'm sorry, at 12 to 13 percent,  
4 depending on which unit we're talking about, the 211's are  
5 12 and the Avon's are 13.

6           And then on 13 of the 16 units, we've actually  
7 seen levels well above that between 14 and almost 25 percent  
8 ethane. And so you know, as a prudent operator, we focus  
9 heavily on system reliability and you know, in alignment  
10 with the gas quality policy statements, we do not want to  
11 run our pipeline to failure. We want to make sure that we  
12 are addressing those issues, you know, as we see them coming  
13 to ensure that we have a highly reliable system that can  
14 deliver the gas to the market at the time of need.

15           And I'm hearing silence here. We are looking for  
16 David. David is supposed to go through these next few  
17 slides, so if you'll give us just a few minutes, he was  
18 having trouble earlier with some bandwidth issues he's  
19 presenting and so we'll make sure we can get his microphone  
20 working here in just a second so you can go through this so  
21 please bear with us. Okay, thank you very much.

22           MR. MAREINO: This is Vince at FERC. Anyone  
23 who's having bandwidth issues, a couple of recommendations.  
24 One is to make sure that nobody in the household is doing  
25 streaming video at this time. The other is that if you are

1 connected to your corporation's VPN and you don't need to  
2 be, it's usually best to get off the VPN to free up the full  
3 connection for the WebEx. So that's something that  
4 everybody can try both people presenting now and people who  
5 expect to be presenting later so that we don't have these  
6 bandwidth issues in the future.

7 But in the meantime, we'll hang tight and see if  
8 we can solve this.

9 MS. NG: Hi this is Christine Ng from Northern  
10 Border. Would you mind making me the presenter? I'm going  
11 to try to run the PowerPoint to see if that will free up  
12 some of David's bandwidth. Just a second.

13 MS. BERTOLDI: Just a note Christine, once I do  
14 that it may disconnect from the presentation because only  
15 one person can have their screen shared in this role. That  
16 should be fine, okay.

17 MS. NG: Can you see the screen?

18 MS. BERTOLDI: Yes we can. We do see a foot  
19 screen though, so it's not a full view of one page.

20 MR. ALONZO: This is David Alonzo here can  
21 everybody hear me?

22 MS. BERTOLDI: Yes we can David.

23 MR. ALONZO: Thank you. I'm so sorry. I called  
24 in on my phone too, but I don't know since I called in on my  
25 phone just separately here, just you know, I wasn't

1 registered to speak and so I'm kind of through that.

2 MS. BERTOLDI: We can hear you now so great.

3 MR. ALONZO: Thank you.

4 MR. FONDA: David we're glad to have you.

5 MR. ALONZO: Me too.

6 MR. FONDA: I was getting worried I was going to  
7 have present your section. It would have been rough.

8 MS. NG: Is that the correct view?

9 MS. BERTOLDI: Yes it is, much better.

10 MR. FONDA: Slide 16 David are you ready?

11 MS. BERTOLDI: It looks like David is still  
12 having bandwidth issues.

13 MR. MARTINIC: If we can give David just a few  
14 more minutes, and then we can have someone else move through  
15 the presentation if need.

16 MS. BERTOLDI: No problem.

17 MR. FONDA: Can you hear me Andrew? This is Bill  
18 Bonda.

19 MR. WILLARD: Bill we can hear you.

20 MR. FONDA: Okay great. Thank you. When we get  
21 David up, it looks like David may be a little bit challenged  
22 on the bandwidth, so when we get the slides up I'd be happy  
23 to go through that.

24 MR. WILLARD: Great, yeah we can do that and then  
25 I can pick up on 18.



1           MR. FONDA: Sure perfect. Oh wait a minute let  
2 me -- oh, let's see. Let's see. I'm sorry everybody there  
3 we go. Christine if you can go back to slide 16 we can  
4 start from there.

5 There we go. This is Bill Fonda again, so you have the B  
6 team in here explaining the tariff modifications. But  
7 essentially we're proposing two mechanisms with regard to  
8 addressing high heating value gas specifications.

9           The first is our safe harbor provision where we  
10 are going to implement a safe harbor in which the delivery  
11 of gas with the Btu between 1100 and 967, may not be refused  
12 by Northern Border because of the Btu value of the gas. The  
13 second aspect of the proposal is what we're calling posting  
14 an upper Btu limit. And this is a mechanism whereby we'll  
15 post an upper Btu limit to assure that the gas will not have  
16 an adverse impact on Northern Border's operations or be  
17 accepted for delivery into interconnecting pipelines.

18           So essentially what we would be doing is -- and  
19 it's very easy for me to say this because Andrew is the  
20 brains behind the system. But you know, we'll take a look  
21 at Glen Ullin. And we talked about Glen Ullin. It's really  
22 where we measure our system overall gas quality. And you  
23 know, in order to achieve a Btu level through Glen Ullin,  
24 Andrew will look at his flow models at the Btu levels, and  
25 come up with an upper Btu limit. And that posted upper Btu

1 limit will ensure that the gas meets the requirements  
2 through Glen Ullin.

3           And so I mean for instance, today there wouldn't  
4 be an upper limit. You know, to the extent that the heating  
5 value of the gas increased, we would you know, if we needed  
6 to, we'd post an upper Btu limit. And Andrew has a couple  
7 of examples to walk through that, but I just kind of wanted  
8 to give you a high level overview of that.

9           We have also proposed an optional pairing service  
10 to assist parties in blending their gas to the lower heating  
11 values. We proposed a pairing mechanism, and as I said  
12 earlier that was suggested to us in meetings with our point  
13 operators. And essentially what that would do, there'd be  
14 kind of a pseudo point established, and if point A paired  
15 with point B, we would ensure that the collective strain met  
16 any upper posted Btu limits.

17           And we've also provided clarification that a  
18 party who operates multiple receipt points is allowed to  
19 pair gas among its own points rather than having to pair it  
20 with a third party. The proposal will allow the Northern  
21 Border on a not unduly discriminatory basis, excuse me, to  
22 receive gas above 1100 Btu.

23           We'll be able to blend that stream to ensure the  
24 safe and reliable transportation of gas.

25           MR. WILLARD: Hey Bill, one thing I do want to

1 mention. You might have given me too much credit. This is  
2 Andrew again. We actually followed gas quality policy  
3 statement paragraph 41 where they encourage blending and  
4 pairing and other strategies to you know, ensure that we are  
5 delivering as much gas as possible.

6           And so they even bring up the safe harbor  
7 provisions in that statement.

8           MR. FONDA: Thank you Andrew. The next slide if  
9 you can. Thank you. And so we're also providing a  
10 clarification that the well, thank you. We're providing  
11 clarification as well. The tendering parties were intended  
12 to refer to receive point operators in the tariff provisions  
13 for pairing eligibility. And so we're, you know, pairing  
14 proposals need to be submitted to Northern Border and we'll  
15 evaluate those proposals as expeditiously as possible, and  
16 not on an unduly discriminatory basis.

17           Receipt points, including Glen Ullin, points  
18 upstream can be used for pairing. And the point doesn't  
19 necessarily have to be below 1100 Btu to be used for  
20 pairing. And we've also developed a pairing proposal  
21 document that will help facilitate the exchange of  
22 information needed for pairing. And we've started posting  
23 current Skata flows and Btu values for each of our receipt  
24 points on our internet website.

25           And that will allow point operators to determine

1 if they're within the safe harbor or in compliance with any  
2 applicable upper Btu limit. And we will not collect any  
3 fees associated with the evaluation and implementation of a  
4 pairing proposal.

5 MR. WILLARD: All right. So we are getting back  
6 on track here. So when we take a look at the receipt point  
7 data and the proposals, Bill touched on this a little bit.  
8 You know, one of the things that we wanted to do is to  
9 ensure that we had as much -- just to be open with this  
10 process right, and ensure that everyone has visibility into  
11 what's going on in real time, so that all of the former  
12 operators on our system can make decisions they need to  
13 operate their business and ensure that we have supply and  
14 market.

15 And so what we did is we actually took our EBB  
16 and we put all of our receipt points on the EBB in real  
17 time, as real time as possible right. You know, the data  
18 that's coming back into the system so that everyone has  
19 access to that to see what's going on in the pipeline.

20 And so as you see here on the screen, we actually  
21 have a document. It's a proposal document. So once the  
22 operators -- the point operators get together and work in  
23 the background to determine who's going to do what as far as  
24 flows and guaranteed minimums and things like that for  
25 pairing, they put together this document. Everyone signs

1 and they can tell us either in a percentage, or they can  
2 guarantee a minimum volume for those points.

3           And then we actually have an internal system that  
4 we create those fictitious points with the documents and  
5 data that we have and then it monitors them in real time and  
6 so it just creates a point and keeps an eye out for it and  
7 we're able to see those flow rates and Btu's of those  
8 creative points and then of course, that system can also  
9 send us an alarm, let us know when things get you know,  
10 outside of the balance for which they've been set. The next  
11 slide Christine.

12           And as a head's up, the things you're viewing on  
13 the screen we can see. All right. So if we're looking at a  
14 few of the implementation scenarios. We're cut-off over  
15 there on the left but it's okay. We talk about really two  
16 different scenarios right, so number one is there is no  
17 actual requirements. All of our sights are blending down to  
18 a less than 1100 Btu downstream of our compressor station.

19           And then no action required right, the system  
20 just keeps operating, we keep flowing gas. And then in  
21 scenarios where we actually have a blended volume above 1100  
22 downstream from Glen Ullin, we have to take action right?  
23 And so in those cases again, you know, with the openness  
24 here and the visibility into what's going on, it wouldn't be  
25 a surprise to anyone as those BTU's start creeping higher

1 and higher.

2                   And so also, like with everything else, we try  
3 and work with the point operators as much as possible. And  
4 so we want to provide as much prior notice as we can. You  
5 know, if there's going to be an outage -- Bill mentioned  
6 earlier in the inference conflicts right, when they have  
7 outages their Btu goes up because they're not processing out  
8 all of those heavies. And so in scenarios like that, we  
9 might have a three month to six month heads up advance  
10 notice that hey, there's going to be an outage from this  
11 date to this date.

12                   In those cases we're going to let everyone know  
13 as soon as absolutely possible and make sure that they  
14 understand during which periods we'll need some help keeping  
15 that Btu down. But if we do have a scenario where we go  
16 above 1100 Btu, we would post an upper limit right? We  
17 would do our calculations and determine what that limit  
18 needs to be to keep our Btu's at that 1100 level downstream  
19 from Glen Ullin.

20                   We would post that, reach out to all of the  
21 producers to make sure everyone's aware and of course then  
22 reach out specifically to those over the limit and talk with  
23 them, understand what's going on, why they are you know,  
24 above or why they're putting in gas that's so hot. You know  
25 if they can adjust operations at their facility, we'll take

1 that route. And then of course if not, we'll have to  
2 restrict the points that are above that posted limited.

3           And so you know, we keep talking about Glen  
4 Ullin, and you guys all that map there -- I think it was on  
5 slide 5, that point is useful to us because again there's a  
6 main line gas chromatograph there at the compressor station.  
7 And then 19 of our 23 receipt points are actually upstream  
8 from Glen Ullin. And again you saw it there on the map as  
9 soon as you come into North Dakota we have a number of  
10 receipt points for that block in gas. And then nothing of  
11 any significance either Bt-wise or volume-wise downstream  
12 from Glen Ullin.

13           So you know, we can be relatively confident that  
14 the gas that comes in upstream from Glen Ullin and then hits  
15 the compressor station is properly blended such as  
16 everything coming out downstream as a nice uniform Btu.

17           So we'll go over three scenarios here starting on  
18 the next slide. One scenario will be a no upper Btu  
19 posting. Another scenario is an upper posting with no  
20 pairing and then an upper posting with pairing. And so  
21 we'll go through a fictitious very straightforward example,  
22 and then we'll slide into a real life example with real  
23 numbers from a particular time on our system.

24           So taking a look here at scenario 1. This is our  
25 no upper Btu limit posting. And so as you see there in red,

1 our downstream -- downstream from Glen Ullin heating value  
2 is 1098. And so in this scenario we have no issues  
3 whatsoever. We're not blending -- I'm sorry, we're not  
4 restricting anyone.

5           And you will notice there that some of those  
6 receipts, you see A, B, C, D and E, some of those receipts,  
7 especially receipt E -- 1200 Btu right, is significantly  
8 over 1100 Btu. And so this brings us back to Bill's point  
9 earlier in that you know, we are not proposing an upper Btu  
10 limit, which you'll see on a lot of other pipelines. We do  
11 want to again staying with the gas quality policy  
12 statement, we want to maximize supply. And so the way we  
13 can do that -- our part in this, is to facilitate blending  
14 where we can. So we have that ability and you see that  
15 example.

16           So if we grab scenario 1A here on slide 21, this  
17 is the same thing right. So we have a downstream from Glen  
18 Ullin, a blended Btu of 1098, so we're below 1100, so we  
19 don't have any issues. And you will see that all of our  
20 receipt points here, a number of these, you know, Hay Bute  
21 1238, you know, these -- a lot of these receipt points are  
22 well above 1100.

23           And again we're bullied by that Port of Morgan  
24 750 million at 1027. And so that, and then there's usually  
25 some others there that are well below 963, you know, we have



1 a lot of other points well below 1100 that allows us to do  
2 that blending without having to restrict anybody.

3 So scenario 2 is an upper Btu limit posting with  
4 multiple receipt points. And so in this scenario, we do  
5 have an issue right? We have a heating value downstream of  
6 Glen Ullin of 1108. And so you'll see that receipt B and  
7 receipt E are both at 1200 Btu and they are our high receipt  
8 points. And so we would run the numbers, do the  
9 calculations and determine what we have to set our limit at.

10 And so we set it at 11 -- we set our limit at  
11 1195. And so that then allows us to go back. We post that  
12 limit and we go back, and we reach out to receipt points B  
13 and E and we talk with them, find out what's going on, see  
14 if we can make any adjustments on their end that would get  
15 them down. If not, then we have to start curtailing their  
16 production.

17 And so we would do that, we would curtail their  
18 production until either we satisfy that upper Btu limit of  
19 1100, or I'm sorry, we'd satisfy the upper Btu limit of  
20 1195. They put together a pairing proposal, right, that  
21 brings on someone else with lower Btu gas that we can, you  
22 know, that we can blend and get down below that 1100, or the  
23 aggregate delivery's change right, and everything drops back  
24 down below 1100.

25 At that point we can then bring them back on. So

1 then we can take a look at scenario 3 -- I'm sorry, 2A. So  
2 2A is actually the same thing except in a real life  
3 scenario. So this was on Gas Day January 11, 2020. And so  
4 we had our blended gas downstream from Glen Ullin at 11:07.  
5 And so in this scenario, what we would have to have done is  
6 to put an upper Btu limit at 1166.

7           And so once we got there, you would see that  
8 there are a number of sights highlighted in red that are  
9 actually over that 1166, so Charbonneau, Hay Bute, North  
10 Roosevelt and Squaw Creek. So again, with the way we do  
11 this, non-discriminatory starting top to bottom, those with  
12 the highest Btu are getting shut in first. So you see that  
13 in this case Charbonneau, Hay Bute and Squaw Creek, they  
14 went to zero.

15           Their rates had to go to zero. And then North  
16 Roosevelt, we cut their rate back until we got to the point  
17 that we needed to be to be under 1100. So again, high Btu  
18 first, they get shut in, and then whoever's down there at  
19 the bottom, they are curtailed until we get there. Again,  
20 that stays that way until we're able to either satisfy that  
21 upper Btu limit, or we have additional gas coming back on  
22 from lower Btu points that would get us back below 1100 and  
23 allow us to bring the other C points back on the system.

24           So scenario 3 -- this is an upper Btu limit  
25 posting with the pairing. So we wanted to make sure that

1 this makes sense to everybody. And so you'll see here that  
2 receipt points A and C have a pairing agreement, they're  
3 both in green. And so then receipt points B and D also have  
4 a pairing agreement and so they're in blue.

5           And so of course, this is all being done in real  
6 time by our system. But for the example here, you know,  
7 we're taking a snapshot. And so even though receipt A is  
8 967 and receipt C is 1262. We just do a flow weighted  
9 average on those and their combined Btu is actually 1058, at  
10 their total flow rate.

11           And then of course, B and D same scenario.  
12 They're 1207 and 1048. And so flow weighted average on  
13 those, they're at 1096, you know, at around 203 million.  
14 And so what that means then is when we set that upper Btu  
15 limit, again we're looking at our system and we run the  
16 calculations and we know that we need to set a limit at  
17 1160.

18           And so when we do that, both the paired points A  
19 and C and B and D are both actually below the 1160. And so  
20 those points are paired. They're good to go. They're both  
21 paired below 1100 and so in fact they would actually -- they  
22 would never be at risk of being curtailed because they are  
23 paired below 1100. And so then we have to go out and look  
24 at receipt point E.

25           Receipt point E is you know, 1200 Btu at 20

1 million a day. And so we then curtail them, and we get down  
2 below 1100 at Glen Ullin. So then for a real life scenario,  
3 we take a look again at that January 11, 2020 day. And so  
4 the only difference now between 2A and 3A is that we have  
5 Charbonneau and State Line have actually paired up and their  
6 combined blended BTU is 1106. And so we take a look at  
7 everything again. We're looking internally at our system  
8 and we're saying hey, you know, we're seeing Charbonneau and  
9 State Line as one point at 1106 with their high flow rate.

10           And so we run the numbers and we have to post a  
11 limit of 1163. So in that case again, starting top to  
12 bottom with those high Btu's first, we're shutting in  
13 Alexander, Hay Bute, North Roosevelt Squaw Creek and then  
14 Little Missouri is at the bottom end of that at 1163. And  
15 so we curtail them back to 27. So that then gets us down  
16 below that level of blended Btu that we can deliver on to  
17 our downstream customers and ensure that we don't have any  
18 issues either internally with our equipment, or with the end  
19 user's equipment. So Bill we'll slide back over to you.

20           MR. FONDA: Thank you. We just wanted to comment  
21 a little bit about our stakeholder outreach and some of  
22 these points have already been mentioned. But we've engaged  
23 with stakeholders on the gas quality vertical proposal.  
24 We've had numerous individual meetings and we've held a  
25 meeting in Chicago for all stakeholders to attend.

1           We also held separate sessions in April and July,  
2 excuse me, to further discuss pairing. We've appreciated  
3 the exchange of information and ideas. From these meetings  
4 we've started the post Btu values for all of our receipt  
5 points, and we'll post accepted pairing proposals.

6           We have also agreed to specify that a party with  
7 multiple compliance is permitted to pair gas among its own  
8 points, and we'll provide clarification that the pairing  
9 proposals will be administered in a transparent and  
10 non-discriminatory manner and we continue to engage in these  
11 discussions. I want to thank all of you for your attention  
12 and with that I'll turn the meeting back to staff.

13           MS. BERTOLDI: Thanks Bill. We are going to go  
14 ahead and open it up to questions now. We did receive some  
15 of the chat remarks earlier on your presentation, so we'll  
16 go ahead and start with the folks that we have listed and  
17 then we'll open it up to others to ask questions as well.  
18 If you could please use either the chat box or the raise  
19 your hand feature, and we'll try to get to everyone in the  
20 order that you received them.

21           We first got a message from R.J. Caldwell and  
22 Targa and then Andeavor will have some questions, so if you  
23 want to go ahead and start you have the floor.

24           MR. OLSON: Yeah thank you. This is James Olson  
25 for Targa and Andeavor and appreciate the pipeline's

1 presentation. I did have a number of questions. The first  
2 one is on slide 5. I believe that was the map that we  
3 showed, yes thank you. So the question I have is, and I  
4 think you talked about it a little more in your  
5 presentation as well.

6           So you've chosen Glen Ullin to be the monitoring  
7 point and I think you said when you got here it was  
8 basically all supplied upstream of Glen Ullin. But I wanted  
9 to clarify, and I think you touched on this later, but you  
10 do have four receipt points downstream of Glen Ullin right?

11           MR. FONDA: Yeah, and I apologize James. Is my  
12 mic on?

13           MR. OLSON: Yes, we hear you Bill.

14           MR. FONDA: Thank you. The answer is yes.

15           MR. OLSON: Okay thanks, and have you -- do you  
16 have any blending studies that you can share with us that  
17 show what blending looks like downstream at Glen Ullin,  
18 given those receipt points?

19           MR. FONDA: Andrew, I'm going to give you an  
20 answer there. The receipt points that are downstream of  
21 Glen Ullin, they're pretty sporadic seasonal type flows,  
22 predominantly by storage. So the flows really aren't -- I  
23 would say that the flows aren't reliable on an annual basis  
24 to really be a reliable and good pairing party. Andrew, do  
25 you have anything to add to that?

1           MR. WILLARD: Sure. No I mean that's a good  
2 answer and also I'll mention that the language is written  
3 such that we can use any other point as far as blending is  
4 allowed, and also for main line monitoring. Again, we just  
5 focus on Glen Ullin because there's a main line GC there,  
6 and the vast majority volume-wise of all of our receipt  
7 points are upstream from there.

8           And I will also mention that we do have a number  
9 of delivery points downstream, really downstream from Glen  
10 Ullin as well that we have to be concerned about.

11          MR. OLSON: Yeah, no thank you. That's helpful.  
12 So but I guess to my question you don't have a flow study  
13 that you can share that's showing the limiting  
14 characteristics downstream of Glen Ullin?

15          MR. WILLARD: No. We do not have any particular  
16 study for that reason because that's not the region with the  
17 vast majority of volumes and hottest gas. The volumes are  
18 insignificant on those receipt points and they are seasonal,  
19 so we focused on our highest priority sequence.

20          MR. OLSON: Okay. And I actually wanted to  
21 follow up on something you said a second ago. You said  
22 something to the affect that Glen Ullin doesn't necessarily  
23 have to be the point, that you could use other points for  
24 establishing receipt points specs. Could you elaborate on  
25 that a little bit? It's just the first time I'm hearing of

1 that.

2 MR. WILLARD: Okay. Yeah so the language is  
3 written such that we can have blending anywhere on the  
4 system. And so again, Glen Ullin is convenient because  
5 there is a main line GC there, and we have all of our -- the  
6 vast majority of our receipt forms upstream from there. But  
7 theoretically if we needed to, we could say at compressor  
8 station 7 for instance, we're looking at all the blending  
9 from everything above compressor station 7, instead of  
10 compressor station 6 which is Glen Ullin.

11 So we do have that ability. And again it's all  
12 about flexibility James. We are looking to make sure we  
13 maximize supply.

14 MR. OLSON: Okay. That's interesting. I mean we  
15 have a lot of questions and concerns obviously, with you  
16 know, the proposal you have, and so far all along it's been  
17 at Glen Ullin. And now I guess what you're saying is you  
18 could basically use any point on this system and establish  
19 the key point limitations based off of that and you know,  
20 all of the examples you've given have been --

21 MR. WILLARD: Yep, thank you. We talked about  
22 that a bit in Chicago, but you're right, again the vast  
23 majority of examples -- in fact all of them, have been using  
24 Glen Ullin as that point.

25 MR. OLSON: The next question I have and I'm not



1 sure really what slide this ties to but I think there was  
2 some discussion about your compressor station and your going  
3 to tie this in I guess the compressor station. There are a  
4 couple of questions on that. One is have you studied  
5 whether or not you could retrofit this compressor station  
6 and take the higher Btu gas.

7 MR. WILLARD: Sure. We do have the ability. And  
8 you're a bit muffled now James, so I think I heard your  
9 question correctly though. We do have the ability to  
10 retrofit our facilities to take the higher Btu gas. It  
11 would be a significant cost, capital upgrades, and we can't  
12 do that. But then we still do not cover the issue with all  
13 the downstream users, which is probably the larger issue in  
14 that their facilities -- every molecule that gets burned,  
15 those facilities would need to be upgraded as well to ensure  
16 that they don't have the exact same issues that we have.

17 MR. OLSON: And you said it would be a  
18 significant capital expense, do you have like a ballpark  
19 number?

20 MR. WILLARD: Sure. Yeah we would have to  
21 actually go through each compressor station and upgrade the  
22 hot sections at a cost of around 1.5 million a piece per  
23 unit, so you're looking at 20 million plus to upgrade the  
24 compressors in that region, along the pipeline.

25 MR. OLSON: Okay. So 29, maybe a little more?

1 MR. WILLARD: Sure.

2 MR. OLSON: Okay. Thanks. Sorry, I appear to be  
3 having trouble with my video, so I'll just turn that thing  
4 off. On slide 16 you are explaining there the safe harbor  
5 and where you would issue the C point limit and what it says  
6 is you will set a limit so that it will not adversely impact  
7 Northern Border's operations or be accepted for delivery?  
8 Again, all of the discussion so far has been tied to you  
9 know, Glen Ullin, you know, making sure that Glen Ullin is  
10 1100. Is this saying that you might choose to issue a  
11 limit even if Glen Ullin is at 1100 or below?

12 MR. WILLARD: I mean the language is such that we  
13 can set the limit anywhere on the system. And so the more  
14 likely scenario would be that we would expand the blending  
15 zone. If you know, the idea again, the system is always  
16 changing right. So when the system was built in the '60's,  
17 it was very much low Btu gas coming from Canada. Again,  
18 that's why you don't see an upper Btu limit.

19 And so as things have changed, we're trying to  
20 use a little foresight to see that you know, there's a  
21 possibility that other receipt points would come on  
22 downstream from Glen Ullin, right? It's very reasonable  
23 that there would be other Bakken gas receipt points in the  
24 future.

25 And so, I wanted to make sure we had the

1 flexibility to accommodate those receipt points in our  
2 blending scenarios as well.

3 MR. OLSON: Okay. I appreciate that. It's a lot  
4 of money. You could under this language, issue a receipt  
5 point limit even if Glen Ullin is at 1099.

6 MR. WILLARD: Well sure. I mean theoretically  
7 Glen Ullin could be at 1000 and then there is a receipt  
8 point downstream from Glen Ullin that runs at 1400, right?  
9 And so then we're looking at CS 7 to get below 1100. But  
10 again the idea here is that our downstream markets are  
11 receiving that 1100 Btu.

12 There are a lot of various scenarios. Again, we  
13 wanted to be flexible.

14 MR. FONDA: Andrew it's Bill. I just wanted to  
15 weigh in to say I think James, you're -- we may be asking or  
16 we're looking at many assumptions, but I think as Andrew  
17 went through his scenarios, the way the system is structured  
18 today, his examples were if the Btu coming through Glen  
19 Ullin is less than 1100, we wouldn't be taking any action.

20 And Andrew, I'm not sure if you were kind of  
21 assuming that we've had more receipts downstream of Glen  
22 Ullin or not, I just wanted to clarify that.

23 MR. OLSON: Right, I appreciate that Bill, but  
24 you're I guess, what I took from the prior discussion is  
25 you're not committed to not implementing a receipt point

1 spec if Glen Ullin is below 1100. You still have the  
2 ability to do that under what you've proposed.

3 MR. FONDA: I'm going to let Andrew answer that.  
4 I'm sorry James, I might be confusing the issue. I'm not  
5 sure that I'm following your question. So I'll turn it over  
6 to Andrew.

7 MR. WILLARD: I'm not sure what we're circling  
8 here either James. Again, flexibility is key here. Gas  
9 quality, policy statements maintains that we should maximize  
10 supply at all times, and we've written language to do so.

11 MR. OLSON: I appreciate that, but I guess my  
12 point is Bill is saying that as long as you're below 1100 at  
13 Glen Ullin, you're not going to issue a C point limitation.  
14 But what I heard from you a minute ago was that's not  
15 necessarily true. You're not committed to that. You might  
16 issue a limitation.

17 MR. WILLARD: Sure, yeah, yeah. And again,  
18 future expandability right? So the scenario that I  
19 mentioned where we install receipt points downstream from  
20 Glen Ullin, that we would want to include in the blending  
21 scenarios, then yeah sure, we would move that point that  
22 we're concerned about downstream from Glen Ullin. So that's  
23 certainly again in the flexibility.

24 MR. OLSON: And one question I have on the -- and  
25 I'll have a number of questions about it on some of the

1 further slides as well. But conceptually, you know, your  
2 point is well we've got to take harbor it's not a hard and  
3 fast limit, but conceptually if Bakken production does in  
4 fact decrease as you're suggesting, at some point their C  
5 point limitations, I mean they're going to continue to get  
6 lower and lower as that happens and at some point you're  
7 going to get close to or at 1100 at the C points, keeping  
8 Glen Ullin at 1100 right?

9 MR. WILLARD: That's certainly a potential  
10 scenario.

11 MR. OLSON: Okay. And I guess the other question  
12 I had on this slide, on slide 16, I'm talking about pairing  
13 and added flexibility you think that provides to the  
14 proposal. So I just want to clarify pairing doesn't change  
15 the Btu at Glen Ullin does it? I mean you're still going to  
16 have to curtail receipts right?

17 MR. WILLARD: So the pairing encourages the lower  
18 Btu supplies and again, in alignment with the gas quality  
19 policy statement, we are implementing the strategies that  
20 they have recommend for us to assist the market in meeting  
21 the gas quality required.

22 MR. OLSON: Right. But I guess my -- what I'm  
23 curious about is so, if someone was going to get curtailed  
24 but they ran into a pairing range, now they're not  
25 curtailed. But doesn't that necessarily mean that it's an

1 easier Btu limit at Glen Ullin, or whatever monitoring point  
2 you're using, but you're going to have to curtail somebody  
3 else then?

4 MR. WILLARD: It very much depends. So when they  
5 enter into that agreement, the pairing agreement, there are  
6 a number of things that can happen right? But at the end of  
7 the day those two points have that reduced Btu. And so,  
8 whatever means require to reduce the Btu to the levels, then  
9 that's what they'll have in their agreement.

10 MR. OLSON: Right, but if that point the higher  
11 Btu point that was going to get curtailed but pairs, but if  
12 they're not curtailed, then you're going to have to find  
13 somebody else to curtail to meet your target right?

14 MR. WILLARD: Again it depends right. That could  
15 be the scenario, or the scenario is that they've brought on  
16 lower Btu supplies that have -- that balanced everything  
17 back out to 1100 and there's no curtailment. So there  
18 again, the scenarios are very broad.

19 MR. OLSON: I don't think I understand what you  
20 just said works, could you explain that a little more?

21 MR. WILLARD: I'm so -- when someone goes out for  
22 a pairing agreement, they pair up with somebody who has a  
23 supply of lower Btu gas. And so then those two supplies  
24 together are blended to a number that is lower than the  
25 original number. Or again like you said -- and you can see

1 that in one of our scenarios where there were points that  
2 paired and then other points that have to be curtailed.

3 So again, the scenarios are there and that is  
4 possible.

5 MR. OLSON: I think I understand what you are  
6 saying. So what you're saying is it's possible that  
7 somebody else would have to be curtailed, but it's also  
8 possible that if the pairing arrangement you entered into  
9 with the low Btu party, if the low Btu party starts getting  
10 you much more volume, then you might not necessarily have to  
11 curtail somebody else?

12 MR. WILLARD: Absolutely. Very much so. You are  
13 correct on both points.

14 MR. OLSON: Okay.

15 MS. BERTOLDI: This is Danielle from staff. In  
16 the interest of allowing everyone to ask their questions,  
17 since we have quite a long list of people that would like to  
18 ask questions, we might have to circle back around to the  
19 remaining questions that you have. I apologize, we just  
20 want to make sure that everyone has an opportunity to ask.

21 MR. OLSON: Yeah that's totally fine. I  
22 understand. I really just one to ask him one more question.

23 MS. BERTOLDI: Sure go ahead.

24 MR. OLSON: So on slide 26 you're talking about  
25 stakeholder outreach and just to be clear, do the

1 stakeholders at the meeting in Chicago and the subsequent  
2 meeting express concerns and pushback with your proposal and  
3 ask for flow studies from the pipeline, would you agree?

4 MR. FONDA: No we can't hear you. And I  
5 apologize for that. James, I will tell you look. I  
6 certainly stand by our comments and as you well know there  
7 are people on both sides of the argument. We have made the  
8 outreach. We've traveled far and wide to have individual  
9 meetings with the point operators because we know it  
10 impacts them.

11 I mean we tried you know, tried everything we can  
12 to be helpful and understanding some of the suggestions  
13 including pairing, really were not in our original proposal.  
14 So you know, people have asked us for information. I mean  
15 we've provided as much as we can. A flow study -- do you  
16 have a specific kind of flow study in mind? I mean people  
17 have asked us all kinds of questions and we've tried to  
18 respond as best we can. So you know, and I apologize. I'm  
19 not a technical guy. But a flow study is a pretty general  
20 question. I'm trying to understand.

21 MR. WILLARD: Yeah and I'll say Bill, yeah the  
22 flow study is very, very generic language. And so we have  
23 put together a system that actually real time calculates the  
24 values for the Btu and the flow rates on the system. So at  
25 any point in time, we are aware of exactly what's going on



1 at all points on the pipeline.

2 And so we would use that real time data to  
3 administer the language in the tariffs.

4 MR. OLSON: Yeah, I know, and I appreciate that.  
5 But in response to what Bill said and also to -- so what we  
6 asked for in Chicago and we asked for again in the WebEx,  
7 what we've asked for every time is that we like the flow  
8 charts show when you take the flow out of the system and  
9 then the values as the production profile, and you have  
10 never provided that information to us.

11 MR. WILLARD: Well I mean we've made predictions  
12 as to what values would look like when you look back at the  
13 presentation to see where we've had growth and we've  
14 predicted what the values could look like at certain levels.  
15 And so that is available here earlier in the presentation.

16 MR. OLSON: I think the value at certain levels  
17 that have already been achieved like the 1108 and 1107, is  
18 the norm, and at that point when they can vary from 1160 to  
19 1195, what happens if it's 1160 to 1120, what's there?

20 MR. WILLARD: I'm really having trouble hearing  
21 the details in what you're saying, but yeah again, it's all  
22 there and our system is able to deal with any number of  
23 variables right, in regards to the flow rates and Btu's.  
24 And again, we wouldn't go through and predict -- the  
25 possibilities are limitless right, so we wouldn't be able to

1 go through and predict all of the scenarios that are  
2 possible, because we have those -- all of the receipt points  
3 right, the 13 receipt points and each one of them can have a  
4 varying flow and varying Btu and those numbers do vary  
5 minute to minute.

6           And so then of course day to day there are  
7 changes, and so again we built a system that can deal with  
8 all of those changes. And as far as the predictions go, you  
9 know, they are just that. We have seen a growth in the  
10 Bakken production, and we are quite confident, and you can  
11 see that in the slides above, that as that Bakken production  
12 grows, the ethane is still -- the Btu's will continue to  
13 rise.

14           MS. BERTOLDI: Thank you for your responses to  
15 those questions and James, thank you for all of the  
16 questions that you're presented to this point. If it's  
17 okay, we're going to go ahead and move on to questions from  
18 CenterPoint Energy. If you could go ahead and unmute  
19 yourself and you also now have the floor. Well we will move  
20 down the list if I don't hear anything from anyone at  
21 CenterPoint to John Paul.

22           MR. FLOOM: All right, thank you Danielle. Are  
23 you able to hear me?

24           MS. BERTOLDI: Yes we are.

25           MR. FLOOM: Okay great. So I really just have

1 two questions that are on slides 16 and 17, so I think we  
2 can start on 16. And I'm really just trying to get an  
3 understanding of what exactly it is that Northern Border is  
4 proposing because the tariff language that you submitted is  
5 not necessarily consistent with what you are now saying  
6 today.

7           In particular, one point that I have raised with  
8 you guys repeatedly with respect to the language in your  
9 safe harbor definition of 1100, it does state that  
10 notwithstanding the foregoing except under an operational  
11 flow order, a company may not refuse to accept gas, if the  
12 gross heating value is equal to or less than 1100.

13           So my concern with that language is that it gives  
14 -- at least it appears to give Northern Border an out on the  
15 safe harbor and I would like some clarification from you  
16 guys on how you intend to use the OFO provision set forth in  
17 that portion of your tariff with respect to the safe harbor.

18           MR. WILLARD: So I'll say I don't know if this  
19 was directed to me or not, but the OFO language currently  
20 exists in our tariff, and so we would continue to use that  
21 OFO language as we have in the past.

22           MR. FLOOM: The OFO language has a limitation  
23 though that you wouldn't go beyond what's in the gas quality  
24 specifications in 6.2 of your tariffs. And actually Andrew,  
25 thanks if you're doing the tariff questions I apologize for

1 not addressing the question directly to you.

2 MR. WILLARD: Well I don't know if it was Bill or  
3 I, but that's the end result is that, you know, the OFO  
4 language is currently there and we would use it as we have  
5 previously. The OFO language is kind of that emergency stop  
6 button that has to be there to allow us to maintain the  
7 integrity and the liability of the system.

8 MR. FLOOM: So are you saying then that the 1100  
9 is not a safe harbor if you have to issue an OFO?

10 MR. WILLARD: The 1100 is a safe harbor. I'll  
11 say that in my two years we have not issued an OFO on the  
12 system and I don't expect we would. But again, the OFO  
13 language is always there and always has been there.

14 MR. FLOOM: Great, but as I said before Andrew,  
15 the OFO language specifically references your gas quality  
16 standards and says you would not go beyond what's in the gas  
17 quality specification so, but this new language that's been  
18 added with this filing implies at least that you would be  
19 using an OFO to go around the safe harbor, that a shipper  
20 would not necessarily be able to rely upon a safe harbor.

21 I'm just trying to figure out how firm this safe  
22 harbor is, or is Northern Border intending, or does it see  
23 that it has the flexibility to use the OFO provisions in its  
24 tariff to go around the safe harbor to eliminate the ability  
25 of a shipper to rely on that safe harbor.

1           MR. WILLARD: So from an engineering perspective  
2 no. We don't intend to have any issues with that, but it's  
3 a pretty deep legal question that I may need to refer back  
4 to someone on our legal team, so I'm sorry if I can't answer  
5 it for you.

6           MR. FLOOM: Okay. It's a question I've raised  
7 with you guys repeatedly, so it would really be helpful to  
8 have some clarification on this. The second point of  
9 clarification that I'd like is that it appears now that you  
10 are changing the definition of tendering party to only refer  
11 specifically to a receipt point operator and the tariff  
12 provisions that you provided, particularly 6.5.2 references  
13 both operators of a point of receipt, any producer,  
14 purchaser, supply aggregator or shipper could be a  
15 tendering party that could pair.

16           That was our understanding of the proposal from  
17 back in February. That's been our understanding all along,  
18 and it appears with this in slide 16 and potentially in  
19 slide 17 if I recall correctly, that only receipt point  
20 operators will be allowed to pair now, not producers, not  
21 plant operators, not aggregators and not shippers. So I'd  
22 like some clarity on that as well please.

23           MR. WILLARD: Yes. That's a technical  
24 perspective is that we don't have the ability to monitor  
25 producers or plant operators. We can only see the point

1 operators. And so that was the part and there may have been  
2 some language issues there, but as you've seen in all of our  
3 scenarios, starting in Chicago until now, we are dealing  
4 with the points.

5 We are dealing with the places where we have the  
6 data to monitor so that we can help facilitate those  
7 agreements.

8 MR. FLOOM: The tariff language that you proposed  
9 though does not state that. It gives producers the  
10 opportunity to pair with other producers if they wanted to,  
11 so this is something that's been a change from the filing.

12 MR. WILLARD: Yeah And --

13 MR. FLOOM: Those are the only questions -- I'm  
14 sorry, go ahead.

15 MR. WILLARD: Oh no, that's okay. And we brought  
16 that up and again it was a language issue and so we brought  
17 that up in some comments previously, but yeah, you are  
18 correct. That was a language issue in the filing.

19 MR. FONDA: And John Paul, this is Bill. Can  
20 you hear me, I apologize?

21 MR. FLOOM: Yes.

22 MR. FONDA: Okay. Sorry I wanted to go back to  
23 your first point. I mean I can assure you this, that any  
24 OFO that would come about, we're not looking to work around  
25 here, but the OFO could be issued for other reasons. So I

1 mean I just wanted to point out that there could be  
2 something going on with an OFO that means that we just can't  
3 cover every eventuality and you probably need to keep a  
4 provision in place where if you had to issue it you would,  
5 but I think as Andrew said, by and large we want to take as  
6 much gas as we can on the system.

7           So if you -- I mean if there's something you need  
8 to talk to about us, I mean we'd be certainly happy to  
9 listen.

10           MR. FLOOM: No, I appreciate that Bill. And I  
11 think that the point that you're making is one that we -- or  
12 my clients as producers also would like to make and that's  
13 that you know, we want to make sure that whatever gas we're  
14 putting on your system is going to flow.

15           MR. FONDA: Sure.

16           MR. FLOOM: And so the change and the language  
17 for point operator or tendering party is a big change for us  
18 on pairing. It actually impacts on particularly on one of  
19 my clients who was intending to pair goings where they're  
20 behind the plant with goings where they are the received  
21 point operator.

22           And so that's an issue for them. And on the OFO  
23 language you know, if I have two clients that have gas  
24 that's coming in at 1100 they are going to want to make sure  
25 that that gas is going to flow. So they want to know how

1 firm the safe harbor is. And if Northern Border has the  
2 ability to issue an OFO and that safe harbor is not honored  
3 -- and I understand there could be an OFO for other issues.

4 But if the gas is flowing at 1100 and an OFO is  
5 issued for gas quality reasons, that's a problem if my  
6 clients can't get their gas on the system if they're at  
7 1100. So we just need to know how firm that safe harbor is.  
8 So those are the only questions I had so thank you.

9 MR. WILLARD: Thank you John Paul.

10 MS. BERTOLDI: Thank you John. We're going to  
11 circle back around to CenterPoint, that was actually my  
12 fault. I should have unmuted John. John I have connected  
13 your audio. Wait a second to see if it actually works.  
14 I'll go ahead and make you a panelist and perhaps that will  
15 fix the issue.

16 MR. HEER: Hello?

17 MS. BERTOLDI: Yes. We can hear you.

18 MR. HEER: Oh great. Great, thank you.

19 MS. BERTOLDI: You're welcome.

20 MR. HEER: Thank you for unmuting me.

21 MS. BERTOLDI: Sure.

22 MR. HEER: Yes. This is John Heer from  
23 CenterPoint Energy and we'd just like to say we strongly,  
24 strongly support Northern Border's proposal here. You know,  
25 we're all for having as much gas in the market as possible,



1 but we also have to remember the reason the natural gas  
2 business exists is because of the end use customers. And we  
3 represent 850,000 customers in Minnesota that receive gas  
4 from Northern Border via the Northern National  
5 Interconnect.

6 So we are very concerned about the quality of gas  
7 that we receive, and you know, in line with the FERC's  
8 request for flexibility and for negotiation with all the  
9 parties, we think Northern Border has come up with a really  
10 good solution. And as we watch these BQ contents go up and  
11 up over the last couple of years, we've been more and more  
12 concerned for our end use customers, so we appreciate what  
13 Border is presenting.

14 We strongly support it. We think it fits exactly  
15 with what FERC has asked the parties to do and we look  
16 forward to this Technical Conference and hope that the FERC  
17 sees to approve this docket, so thank you. That's all we  
18 have to say.

19 MS. BERTOLDI: Thank you John. Next we're going  
20 to go to Erica Rancilio from Continental.

21 MS. RANCILIO: This is Erica. Can everyone hear  
22 me?

23 MS. BERTOLDI: Yes we can.

24 MS. RANCILIO: Great thanks. I have one  
25 clarifying question and then a few substantive ones. Going

1 back to what Mr. Floom was just discussing with regard to  
2 the change to the pairing language where Northern Border is  
3 now proposing to change the term "Tendering Party" to  
4 "Receipt Point Operators." Do you plan to make a  
5 supplemental filing to actually put that presentation before  
6 the FERC?

7 MR. WILLARD: Yeah. I did receive a note from  
8 legal that you had planned a response.

9 MS. RANCILIO: Okay, I lost you at the very end  
10 there Mr. Fonda.

11 MR. FONDA: That was Andrew, but this is Bill,  
12 the answer is certainly yes.

13 MS. RANCILIO: Will you do that before comments  
14 are due?

15 MR. WILLARD: Eva give us a sign. We're looking  
16 for some -- in our legal group and they did mention that  
17 they will do it in a written response and that's the  
18 information we have.

19 MS. RANCILIO: Okay. Yeah, we're struggling with  
20 that a little bit because we're in the same position as NCO  
21 and ConocoPhillips. Our presentation -- that position is  
22 not before the FERC right now, so we don't really know what  
23 we're signing to. It seems like we have got to move the  
24 target. I suppose we'll have to respond to both, but I just  
25 want to raise that for the record.

1           And then on the substantive question, in the  
2 presentation and throughout this proceeding, Northern Border  
3 has pointed to the fact that a few pipelines in a few  
4 instances have refused deliveries from Northern Border, and  
5 as we understand it, those curtailments or shut-ins occurred  
6 during extraordinary activities, when upstream supplies, low  
7 Btu supplies were shut in.

8           And we're really wondering, you know, the record  
9 also shows that the upstream segment has determined that it  
10 will have to incur hundreds of millions, if not a billion  
11 dollars to retrofit existing processing plants to be able to  
12 comply with the 1100 Btu benchmark which we think is  
13 material. Because you don't meet the benchmark, you can't  
14 flow on the system. You're not guaranteed to flow on the  
15 system.

16           So we fail to see how these two instances of --  
17 and limited instances of shut ins on downstream pipelines  
18 under extraordinary conditions justifies the hundreds of  
19 millions of dollars you want upstream entities to incur and  
20 to spend in order to comply with the filing, particularly  
21 when you can invest 20 million dollars to your compressor  
22 stations to resolve any issues there.

23           MR. FONDA: Sure. Erica, this is Bill Fonda and  
24 I'll take that one. And I was wondering if we could and  
25 kind of get the correct slide, but it would be the slide

1 showing the increasing Btu levels on our system, and we'll  
2 try to get there in just a sec.

3           But you know, we -- I understand the circles here  
4 really kind of I agree with you that the first circle  
5 reflects kind of an unusual situation with the outage and  
6 what I'm going to call the D reef facilities at the  
7 Emperor's complex. Really as we move forward to the right,  
8 I mean really with the increasing Bakken in production and  
9 higher Btu's, all we're trying to tell people is we've seen  
10 circumstances where the markets have rejected our gas.

11           And what we're trying to tell everyone in that  
12 graph, I'm sorry -- in the circle on the right, if these  
13 aren't extenuating circumstances anymore, higher Btu gas is  
14 going to be a way of life on Northern Border, unless we have  
15 an effective Btu management tool.

16           And I think we just heard from CenterPoint saying  
17 that they have extreme concerns over the high Btu level gas  
18 on our system.

19           MS. RANCILIO: So it's your position then that  
20 the fact that Btu levels of the system gas are higher than  
21 they historically have been justify requiring the upstream  
22 entity to incur hundreds of millions of dollars in capital  
23 costs to comply with the filing?

24           MR. FONDA: Well sure, and look the fact that  
25 it's an expensive proposition of restraint, that fact is not

1 lost on us. That's really why we proposed the pairing  
2 concept. But likewise, you know, the prospect of losing  
3 markets on the system kind of impacts our abilities to flow  
4 gas at our certificated service levels and I think anytime  
5 there's going to be a disruption in markets, that's an event  
6 that concerns us as well.

7           So again, I would answer your question and say  
8 it's a fair question and we're coming up with is as good of  
9 a solution as we can for everybody to flow absolutely as  
10 much gas as we can provided that it's going to result in the  
11 safe and reliable transportation of gas on our system and  
12 acceptance in the markets.

13           MS. RANCILIO: Thanks. And I think in our  
14 presentation we'll get into the issues about relying on  
15 downstream customers, downstream entities to justify the  
16 filing in particular customers like CenterPoint, who don't  
17 even take their gas directly off this modeling floor.

18           I think we can defer that discussion until our  
19 presentation. Thanks. Thanks Mr. Fonda, for and Mr.  
20 Willard your responses.

21           MS. BERTOLDI: Thanks Erica. We have an  
22 additional question that was submitted by Brian Jeffries.  
23 And we're going to have staff go ahead and read that, so  
24 John Martinic go ahead.

25           MR. MARTINIC: Yes. This is John Martinic. And

1 this is from Brian Jeffries with Outrigger Energy. He  
2 states, "In order to allow various parties to enter Northern  
3 Border to monitor, anticipate and plan for gas movements on  
4 Northern Border, basically the potential of safe harbor  
5 exceedance provide details of currently effective pairing  
6 arrangements on the EBD would be tremendously useful to  
7 receive operators, receive point operators, shippers and  
8 purchasers of gas on Northern Border, and with  
9 significantly advanced transparency goals.

10 For example, it would allow a receive point  
11 operator to correctly assess whether receive point stands in  
12 the queue for potential flow restriction to plan according.  
13 Making reference to slides number 24 and 25 in Northern  
14 Border's presentation."

15 Brian continues, "However, if the existing  
16 pairing arrangements are not disclosed, an assessment of the  
17 ability to take well thought out, preventive action by a  
18 receive point operator would not be possible. Whether  
19 Northern Border's top three reasons for not planning or  
20 providing that sort of real time information on the EBB."

21 MR. WILLARD: So we are going to be posting the  
22 agreements on the EBB, so that will be visible. So you will  
23 know who is paired to what volumes and then we will also  
24 have the real time volumes on the EBB. And John, I might  
25 have lost -- that was a pretty long question. I may have

1 lost a few things, sorry.

2 MR. MARTINIC: I think you captured it. The  
3 first sections of the comments were just you know,  
4 statements, but the question -- I think you captured the  
5 answer, your response captured an answer to the question.  
6 Brian are you available to --

7 MR. WILLARD: Yeah. I've the answer I was hoping  
8 for, yes, as I understood the answer. Yes. Pairing  
9 arrangements will be visible to everyone and so we can  
10 assess where we are in line and whether we're at the head of  
11 the line or at the back of the line, absolutely.

12 MR. MARTINIC: All right well great.

13 MS. BERTOLDI: Great. All right, so we'll move  
14 on to Greg Hills from Oasis. Do you have some questions?

15 MR. HILLS: Yeah. Good morning, thank you for  
16 taking my questions. We have three areas to discuss. The  
17 first of which I know Bill talked about the decline in  
18 production from the Williston Basin and the reduction  
19 volume. And the fact that the production comes from you  
20 know, 1 BCF back up to 1.3 BCF a day, showing the  
21 resiliency of the basin coming back slightly.

22 But the other key point there that I want to make  
23 sure you're taking into account is the activity level in the  
24 basin has dropped off substantially. And the decline rates  
25 in the basin are going to be significant, because of the

1 released activity over a period of time. And we'll address  
2 that in our presentation.

3 But I wanted to ask the question -- have you  
4 taken that into consideration in looking at the rig count,  
5 the frack count and the production capability in the basin  
6 that's going to occur over the next several years, making  
7 this proposition unneeded at this time.

8 MR. FONDA: Greg thank you. It's Bill and during  
9 our presentation you know, we said our Btu levels right now  
10 are at 1096 and that really includes about 100 million a day  
11 of Bakken supply that's at 980 Btu. I mean if that supply  
12 goes away, I mean -- and I'm sorry, I have done the math,  
13 but I would suggest we're well over 1100 Btu right now. And  
14 you know Continental just said they're going to turn a lot  
15 of balls back on.

16 I think I saw Marathon's adding some rigs to the  
17 basin. I mean look, I agree with you that there is a down  
18 turn, but business is coming back.

19 MR. HILLS: Yeah Bill, that probably leads into  
20 my second, you know point, is that during this time you're  
21 showing on the slide now, we had positions or Btu's above  
22 1100. All the upstream volume flowed. The market worked  
23 and moved the volumes to you know, the points it needed.

24 We didn't have any curtailment on the upstream  
25 side. Everything flowed, the pipeline moved in volumes and



1 the downstream pipes made it work. That's my second point.  
2 I guess the third point unless you have any comment on that.

3 MR. FONDA: I do Greg. And really what I would  
4 say to that is again, people have worked very hard to deal  
5 with things that have occurred on a temporary basis, and  
6 we've gotten pushback from the markets on a temporary basis  
7 what we're suggesting here is that the temporary aspect of  
8 high Btu levels are going away, and we're going to be at  
9 higher Btu levels on a permanent basis and I think these  
10 supporters in this proceeding, have certainly acknowledge  
11 that you know, high Btu gas causes them some issues and some  
12 of our downstream markets are protected with hard cap upper  
13 Btu limits.

14 MR. HILLS: We'll get into that because I think  
15 the volumes are very small compared to the overall 2.5 BCF a  
16 day that moves on a line in our presentation, so we can  
17 further talk that. But the fact is up until this point,  
18 certainly we've been over 1100 Btu per cubic foot and all  
19 the gas has moved and the markets have worked.

20 So let's -- we'll go on to that in a little bit  
21 in our presentation. The last thing that I wanted to talk  
22 about was just to ask the question in regards to the fees  
23 and benefit on pairing. I believe though that you stated  
24 there would be no fees on the -- or benefit, on the pairing.  
25 Can you state whether or not an affiliate of -- or whether

1 Northern Border primarily affiliates or Northern Border,  
2 will benefit from pairing or from the implementation of this  
3 process?

4 MR. FONDA: In our presentation again Greg, we  
5 said we weren't going to charge a fee, or any other charge  
6 associated with this. I can't really respond to the rest of  
7 your question.

8 MR. HILLS: And I'll just -- I'll say then that  
9 for purposes of the technical review, and the review of this  
10 filing, it needs to be discussed and it needs to be  
11 understood how this will affect that whole process. And  
12 we'll speak to that more in our filing as well.

13 I would like to also address quickly you talked  
14 about the pairing process and the fact that it -- when you  
15 do pairings you're pairing a low Btu with a high Btu. As  
16 you do that, and as those pairings occur, it leaves a kind  
17 of a lower Btu, but it's above 1100 that causes more volume  
18 to have to be curtailed -- not less volume.

19 And so pairing in itself does nothing to reduce  
20 the Btu and in addition, when those pairings occur, I want  
21 everybody to understand that it's going to cause additional  
22 volume, higher volumes to be curtailed with a certain Btu  
23 coming into the system because the pairing taking off those  
24 high Btu points as opposed to curtailing them on a basis.

25 And if you guys could do an example of that, we

1 could certainly provide one if you like but everybody  
2 recognizes as you pair, you're going to be curtailing higher  
3 amounts of NCF volumes on the remaining non-paired points.  
4 And that's all I had at this point. Thank you for the time.

5 MS. BERTOLDI: Thanks Greg for your questions.  
6 We'll go ahead and turn it over to Paul Korman.

7 MR. KORMAN: Can you hear me?

8 MS. BERTOLDI: Yes I can.

9 MR. KORMAN: Okay. This is a point for staff.  
10 In response to Erica and John Paul, it's pretty clear that  
11 Northern Border has significantly different language to  
12 propose regarding receive point operator versus tendering  
13 party, how it's going to administer the pairing proposal. I  
14 think it's important to know all the parties have exactly  
15 what Northern Border's proposing currently, well in advance  
16 of the comment deadlines. I would request that staff  
17 require Northern Border to file the actual tariff language  
18 it's standing behind today no later than a week from today  
19 so we can all analyze it and comment on the appropriate  
20 docket.

21 I have a question for Northern Border  
22 specifically, which is the gas that comes in generally south  
23 of Charbonneau, is that above or below 1100?

24 MR. WILLARD: You know I actually don't have the  
25 numbers in front of me. It's a very, very -- and I do not

1 have an answer, but I can find out for you.

2 MR. KORMAN: Okay, well my question is going to  
3 be and you can answer this in the comments, is if that gas  
4 flows into below 1100, is that going to be factored in to  
5 determining what if any action Northern Border needs to  
6 take?

7 MR. WILLARD: Yeah. It certainly can be, and  
8 this goes back to the flexibility of the language in that we  
9 absolutely want to maximize the supply of gas and the  
10 written language such that we can do that. We can include  
11 other points downstream. It doesn't have to be upstream  
12 flow. Just the easy one to give examples on right now, so  
13 certainly a possibility and I can find out on those Btu  
14 values, but again the volumes are very low.

15 MR. KORMAN: So under your proposal how is this  
16 going to work timing wise? In other words, how long are  
17 point operators, plant operators and producers going to be  
18 given to address a high Btu situation?

19 MR. WILLARD: Yes, it's a great question. And  
20 you know when we have advance notice of outages or something  
21 that will cause the Btu to spike, then we're going to  
22 communicate that immediately -- as quickly as we can to make  
23 sure that everyone has all the time possible.

24 And again, you know, it's a very flexible  
25 situation when we do have an overage right -- so we're

1 watching these values and we're setting alarms in our system  
2 when we're approaching that 1100 number. And so we're  
3 already working on this prior to actually hitting 1100 to  
4 reach out and communicate with people and see where things  
5 are going.

6           And you know, if there's an issue the number is  
7 going up because of an outage, someone in the -- in South  
8 Dakota, I'm sorry North Dakota, that you know we can talk  
9 with them or figure out what's going on. Again, this  
10 doesn't change the way we operate as a company. I think  
11 that most of our customers, you know, would see that you  
12 know, that we're always quick to pick up the phone and make  
13 a phone call.

14           We wouldn't want to just be shutting someone in  
15 without communicating. And so I can't give you a good  
16 answer that it's always going to take one day or four hours,  
17 or 24 hours because the situations are so varied, but again  
18 communication is our priority in ensuring that we are  
19 talking with the producers, or with the point operators.

20           MR. KORMAN: I appreciate the good intentions,  
21 but as I read the tariff, it seems to give you the right to  
22 act immediately.

23           MR. WILLARD: Yeah, and in order to protect our  
24 assets and our downstream customers we can act immediately.

25           MR. KORMAN: Okay. So we'd like to see something

1 in there that makes it clear that there will be  
2 consultations with parties beforehand.

3 MR. WILLARD: Yeah we can certainly take note of  
4 that with legal and see what the language needs to be.  
5 Again, it does -- it is written as such that we can take  
6 immediate action to protect our assets, our downstream  
7 customers.

8 MR. KORMAN: All right. And then let's assume  
9 for a minute we have something like this in effect and it's  
10 a pairing between two parties -- one high Btu and one low  
11 Btu. What happens if there's an upset or a shut in at the  
12 low -- at the entity with low Btu?

13 MR. WILLARD: Then they are violating the  
14 agreement that they've written, and the pairing agreement is  
15 dissolved.

16 MR. KORMAN: Is it dissolved? Does that mean  
17 it's permanently dissolved?

18 MR. WILLARD: It does not. No. Once they get  
19 back within the bounds of that agreement, then they're good  
20 to go.

21 MR. KORMAN: So in other words, somebody who  
22 acted in good faith and entered into a pairing arrangement  
23 can be significantly impacted by an upset in somebody else's  
24 facility?

25 MR. WILLARD: Somebody that they've signed a

1 contract with to payer, yes. The agreement is between those  
2 two parties and not us, we are just administering it.

3 MR. KORMAN: So you have no role? You're putting  
4 it all on the parties?

5 MR. WILLARD: The contractor between the two  
6 parties that are pairing.

7 MR. KORMAN: Northern Border's deal is you just  
8 communicate what the problem is and then somebody else's  
9 issue to fix, is that right?

10 MR. WILLARD: Absolutely. We do not have the  
11 ability to fix up conditions and within our point operator  
12 systems.

13 MR. KORMAN: Okay. Danielle thank you, that's it  
14 for the moment.

15 MS. BERTOLDI: Okay Paul. We will go ahead and  
16 move on to Rob Johnson. You have your hand raised?

17 MR. JOHNSON: Yeah, thank you. I won't take a  
18 lot of time here because we -- our presentation will cover  
19 most of our issues. But the one thing that came up here  
20 that I'd like some clarification on was on one of your  
21 slides with your operational concerns, you listed a 12 to 13  
22 percent ethane content for your compressor stations, or  
23 compressor units.

24 And then you showed an example -- a scenario  
25 where you were pairing a higher Btu point with a lower Btu

1 point. And I'm just going to pick two for the purpose of  
2 this question. So say if Charbonneau was paired with  
3 Interconnect at Bison, and the two points effectively meet  
4 your limit on the day.

5 Yet the pairing party downstream is downstream from one of  
6 your compressor stations, so in other words, Charbonneau  
7 could be giving you 23 percent ethane, Bison's giving you  
8 none so paired together they work.

9 But going through your compressor stations  
10 upstream at Bison, the ethane percentage could be higher.  
11 Are you looking to curtail on ethane percentage as well in  
12 addition to a Btu limit?

13 MR. WILLARD: Sure, we're not. So we did look at  
14 the scenarios that you're talking about right, and so it's  
15 important, but again we wrote our document such that we can  
16 manage our system in the future, not just now. And so yes,  
17 ethane is a problem today, but frankly, if the market for  
18 ethane picks up maybe butane is the problem the next year or  
19 the year after right?

20 And so the nice thing about what you mentioned in  
21 that scenario is that that 23 percent ethane -- yeah those  
22 two are pairing together, but frankly that 23 percent is  
23 also pairing or is blending with all the other gas coming  
24 down the pipeline. And so we you know, we do have a lot of  
25 volume to work with there.



1           And so we had to make some assumptions, and the  
2 assumption is that you know, as long as we're below 1100  
3 that we're controlling those ethane numbers. And so we do  
4 have a bit of cushion there, but yeah, your point is valid,  
5 but we've standardized on that Btu level because that's what  
6 allows us to manage the system in the future and now, not  
7 just you know with current levels of ethane.

8           MR. JOHNSON: Okay thank you. That's all I have.

9           MR. WILLARD: Yes sir.

10          MS. BERTOLDI: Thanks Rob. Let's see next we  
11 have Richard Derryberry, your hand is also raised. I may  
12 have to unmute you so just give me one second. Richard I  
13 have enabled your audio. It may take a second for it to  
14 connect. Okay, well I've also enabled your audio Jim  
15 Zaltman. So if either you or Richard are able to connect,  
16 whoever speaks first may go ahead and ask your question.  
17 There's a possibility that you may need to select  
18 "communicate" from the drop down at the top of your screen  
19 and select audio connection.

20          And while you're doing that, I believe we have a  
21 question from staff. So Scott, if you are able to unmute  
22 and ask your question you may go ahead.

23          MR. MERRITT: Yes, this is Scott Merritt from  
24 Commission staff. This is to Andrew Willard. When the  
25 Commission had sent the data request out to Northern Border,

1 and on page 4 of the response, you had stated -- you had it  
2 in your discussion that Northern Border developed through  
3 system application for analyzing the pairing proposals.

4           And this application exists, and it said at the  
5 bottom of that paragraph that Northern Border will make its  
6 technical staff available to any party who would like to  
7 discuss the system that has been developed for pairing. And  
8 there seems to be some, you know, misunderstanding regarding  
9 the interveners and Northern Border about exactly how that  
10 system application functions now.

11           Can Northern Border make that application  
12 available to the interveners to actually see or is that  
13 considered a proprietary piece of data?

14           MR. WILLARD: So the data within the application  
15 is not proprietary. So every bit of the data -- 100 percent  
16 of the data that's being used in the application is  
17 available on the EBB.

18           Okay, but the system in and of itself -- sure,  
19 that is an internal application. It was developed in PI, so  
20 no we don't have the ability to make the system available to  
21 outside parties, but again it all of the data is on the EBB  
22 as well as the pairing agreements are on the EBB as well.  
23 So you can do the calculation and determine at any point in  
24 time what's going on. Sorry I cut you off there.

25           MR. MERRITT: Okay. But the actual -- the

1 algorithm itself is proprietary?

2 MR. WILLARD: It's just a flow weighted average.  
3 There's nothing special. The algorithm is not special. But  
4 the system itself, our PI system, that is our internal  
5 system.

6 MR. MERRITT: Okay.

7 MR. WILLARD: We can do to provide that to the  
8 outside.

9 MR. MERRITT: All right, all right, thank you.

10 MR. WILLARD: Sure.

11 MS. BERTOLDI: Thanks Matt. Richard Derryberry  
12 if you could hear me and you're unmuted you could go ahead.

13 MR. DERRYBERRY: Thank you Danielle. Is my audio  
14 okay?

15 MS. BERTOLDI: Yes it is.

16 MR. DERRYBERRY: Thank you. This is Richard  
17 Derryberry on behalf of Northern State Power. We are an  
18 electric generation and gas LBC customer. We support  
19 Northern Border's safety and reliability concerns as  
20 expressed earlier by Bill Fonda. Being downstream of this  
21 gas, we too have issues with adjusting our gas turbines for  
22 bearing the content and even in an extreme case worrying  
23 about in-home gas appliances if the heat content is too  
24 extreme.

25 So you know, those are major concerns for us. To

1 be honest though, the more likely problem for us would be a  
2 reliability issue. On a cold winter day if the gas -- if  
3 the heat content on Northern Border is too high, and that  
4 supply is cut off from us, we cannot -- we simply cannot  
5 handle on a cold weather day, losing a bunch of supply  
6 because of heat content. That would cause us to curtail a  
7 lot of customers and we cannot allow that situation, so we  
8 do support what Northern Border is trying to do here.

9           We believe the proposal that they have offered is  
10 balanced and reasonable. It provides some flexibility to  
11 plant operators, but there's also a safety valve in there  
12 that allows them to act in the case where the heat content  
13 is too high. We do support Northern Border's proposal.  
14 Thank you.

15           MS. BERTOLDI: Thanks Richard. We're going to go  
16 ahead and try to go back to Jim Zaltman, let's see if your  
17 audio is working. Jim it doesn't look like we're able to  
18 hear anything. If you -- you did say you're on the phone  
19 actually. I'll try to see if we can troubleshoot you in the  
20 background and give me one second and I'll try to move the  
21 next person. Okay Diaco, I have made you a panelist now and  
22 I've unmuted your mic so let's see if you have audio and you  
23 can go ahead and ask your question.

24           MR. AVIKI: Can you hear me?

25           MS. BERTOLDI: Yes we can.

1           MR. AVIKI: Okay excellent. This is Diaco Aviki,  
2 from Crestwood Midstream. I question I have is what  
3 consideration has been given to a party making a sale to an  
4 upstream location -- Oakland, from Glen Ullin? Like an end  
5 basin sale to a power consumer or any sort of consumer that  
6 is upstream of Glen Ullin?

7           MR. FONDA: The system is set up such that we are  
8 monitoring and allowing pairing of the points that we can  
9 see, right? And so, I don't really know how to answer the  
10 question because it doesn't really fit. The model again is  
11 the receipt points we're able to pair with each other and we  
12 will monitor those pairing agreements when sure that we keep  
13 our Btu below 1100.

14           MR. AVIKI: Okay. That doesn't necessarily  
15 answer my question. I guess the concept that I have in my  
16 mind is that gas doesn't contribute to some of the  
17 downstream issues and that there ought to be some sort of  
18 pairing related benefit for an end basin sale, or end basin  
19 consumption.

20           MR. WILLARD: Oh, I'm looking forward saying  
21 sure, sure, sure, sure. Yeah, and so again, if that sale  
22 occurs prior to a given again if we're using Glen Ullin, and  
23 it occurs prior to getting there, then yeah, it's no problem  
24 at all. It doesn't affect that blended Btu.

25           MR. AVIKI: Yes but will the operator of the

1 opposite point get any consideration or credit for that end  
2 basin sale as it doesn't affect a downstream potential  
3 issue? I don't think the tariff addresses that.

4 MR. WILLARD: Sure yeah, no, there is no issue  
5 because again, we're looking at that blended Btu. No matter  
6 what happens upstream, it's all irrelevant, it's all  
7 blending as long as that downstream Btu is limited. So  
8 sure, you can use your logic however, whatever makes sense.

9 But again, we're watching that downstream Btu and  
10 the gas is extracted prior to that and it's not a concern.

11 MR. AVIKI: Okay, we can follow-up. I'll sign  
12 it. That still didn't address my thought concept, sorry.

13 MR. WILLARD: Sure, no that's okay. And if I'm  
14 not getting the question correctly, I'm happy to talk later  
15 and figure out what your question is.

16 MR. AVIKI: Thank you.

17 MS. BERTOLDI: Next we'll go to Tomasz your hand  
18 is up. Do you have a question?

19 MR. LANGE: Yes Danielle. Hi, can you hear me?

20 MS. BERTOLDI: Yes we can.

21 MR. LANGE: Okay. It's more of a comment. It's  
22 Tomasz Lange on behalf of Tenaska Marketing Ventures and we  
23 are one of the largest firm contract holders on Northern  
24 Border as we stated in our initial comments on the filing.

25 We are fully supportive of the pipeline efforts

1 and proposal to protect the reliability and integrity of the  
2 system. We are concerned about our ability to utilize our  
3 firm contractual entitlements and we'll get that proposal as  
4 introduced by the bank and the associated flexibility is  
5 designed to maximize both the supply and the work -- which  
6 will lead to a full utilization of the system, a number of  
7 the federal firm contractual agents, so we are supportive of  
8 the pipeline proposal, thank you.

9 MR. MIDDLEBROOKS: Hello?

10 MS. BERTOLDI: Thanks Jim. Hi Dan, yep we hear  
11 you.

12 MR. MIDDLEBROOKS: Okay, good. It didn't take  
13 that long. Okay, so I'm with Ameren Illinois and we're a  
14 relatively large shipper also on Northern Border. And we  
15 came out in support of the proposal. Basically we have 11  
16 pipelines serving us and Northern Border I believe, is the  
17 only one that does not have some type of a sheeting variable  
18 in it of some type.

19 And we are actually required by the ICC standard  
20 of service to try to maintain a -- in good faith, a standard  
21 Btu range for a customer, so which is kind of difficult  
22 because since we do have 11 pipelines, so. We're supposed  
23 to stay within 5 percent. We're still with that normally,  
24 but if we have Btu's in excess of 1100 coming in to the  
25 Northern part of your system, which is where we take

1 Northern Border, then it gets difficult.

2 I was also rather concerned to see that there  
3 were curtailments that at the -- which is our primary feed  
4 into the Midwestern Pipeline, that it continues it could  
5 cause us operational issues as well.

6 In summary, we are in support of it, you know, as  
7 a downstream LDC utility and we would hope that this goes  
8 forward. That's all I have.

9 MS. BERTOLDI: Thanks Jim. Right now we don't  
10 show that we have any other questions in the queue. If  
11 anyone else has a question and wants to unmute themselves,  
12 or go ahead and send us an additional chat, or raise your  
13 hand. We have a couple more minutes before we are going to  
14 break for lunch, so I'll just give it a few seconds.

15 MR. MIDDLEBROOKS: This is Dan Middlebrooks with  
16 Target. Can I ask a question?

17 MS. BERTOLDI: Sure, go ahead Dan.

18 MR. MIDDLEBROOKS: Basically the midstream  
19 companies have made the investments to meet the current gas  
20 quality specifications and if Northern Border or the LDC's  
21 would like to change the current spec's, why don't they make  
22 the investment to do that instead of asking the midstream  
23 and the producer side of it to spend another half a billion  
24 dollars to change that spec?

25 MR. FONDA: Anyone?



1           MR. WILLARD: So I guess you know from our  
2 perspective we are not in the business of picking winners  
3 and losers and who makes investments and who doesn't. We  
4 are just trying to maintain the integrity and reliability of  
5 our system and changing gas composition of our system is  
6 affecting the reliability of it.

7           And so when the system was built in the 1960's  
8 there was no high Btu gas and so the -- that has changed and  
9 is currently changing and as we do with our tariff when  
10 things change, we have to make adjustments and so we don't  
11 pick who pays or who doesn't pay.

12           MR. MIDDLEBROOKS: Thank you. I'm not sure that  
13 that answered my questions of why you all don't make the  
14 investment versus the midstream, but I understand.

15           MS. BERTOLDI: I did receive an additional  
16 question from Erica on Northern Border's proposal who can  
17 pair with volumes coming in at Port of Morgan?

18           MR. WILLARD: Sure. So again, the system is set  
19 up such that point operators are able to pair with each  
20 other. And so anyone that can write a contract with the  
21 point operator at Port of Morgan can pair with them. They  
22 can pair on either a percentage of their volume basis, or a  
23 fixed volume basis.

24           MS. BERTOLDI: Thank you. And Erica, if you have  
25 any questions to that response, you can go ahead and unmute.

1 Any additional actually --

2 MS. RANCILIO: Hi sorry, this is Erica.

3 MS. BERTOLDI: Oh go ahead.

4 MS. RANCILIO: Sorry Danielle. Yeah I was  
5 wondering who is the point operator of Port of Morgan?

6 MR. FONDA: Foothills.

7 MS. RANCILIO: Okay, thanks.

8 MS. BERTOLDI: I actually show that a few people  
9 also have their hand raised. And they were the same people  
10 that asked questions earlier, so if you don't have follow-up  
11 questions, if you don't mind putting your hands back down so  
12 that we know that your questions are answered, that would be  
13 appreciated. I see another hand from Josh Baskett. If you  
14 want to go ahead.

15 MR. BASKETT: Yes, so in the context of point  
16 operators you mentioned that Foothills is the point operator  
17 of Port of Morgan. Can you tell us who owns Foothills?

18 MR. FONDA: Yes. Foothills is owned by T.C.  
19 Energy. Josh if you're asking something I can't hear you,  
20 I'm sorry.

21 MR. BASKETT: Yeah just to clarify that T.C.  
22 Energy does -- is a partner in Northern Border as well and  
23 they are a point operator of Port of Morgan?

24 MR. FONDA: Yes.

25 MR. BASKETT: Thank you.

1 MR. FONDA: Sure.

2 MR. KORMAN: Danielle, it's Paul Korman. I have  
3 one question.

4 MS. BERTOLDI: Go ahead Paul.

5 MR. KORMAN: How many of the ports on the system  
6 is Northern Border the operator?

7 MR. FONDA: I do not -- Paul, subject to check,  
8 I'm not aware of any points where Northern Border is the  
9 point operator. Andrew, did you know of any?

10 MR. WILLARD: I do not. And clarity, Northern  
11 Border is not the point operator at Port of Morgan either,  
12 right, it's Foothills. They just share that same ownership  
13 stake.

14 MR. KORMAN: Your response may not be correct.  
15 I'm not trying to trap you, but it may not be correct.

16 MR. FONDA: Well you know, again I'm if you --

17 MR. WILLARD: Yeah let us know. Because I'm  
18 curious. I'm talking to an engineering guy. I'm more  
19 concerned about the operation and the integrity of the  
20 system than the owners of the points. But please let us  
21 know and we'll doublecheck on that during the lunch break  
22 here because I'm not aware.

23 MR. FONDA: Do you have a plan in mind Paul?

24 MR. KORMAN: I think it's one of the W beyond  
25 points still.

1           MR. FONDA: Okay, but believe me if you can give  
2 me some specific information we'll look into it for sure.

3           MR. KORMAN: I'm waiting for somebody to chime  
4 in.

5           MR. JOHNSON: This is Rob with WBI. The point is  
6 Manning.

7           MR. WILLARD: So you're saying that the Northern  
8 Border has a stake in that point?

9           MR. JOHNSON: Yes, the point operator of Manning.

10          MR. FONDA: Really? And I really appreciate  
11 that. I think if we could go back to our slides we haven't  
12 had any flows there in quite some time and it's no excuse  
13 for not knowing that, but yeah you learn something new every  
14 day, thank you.

15          MR. WILLARD: Is that something referred to in  
16 our presentation?

17          MR. FONDA: Hey is that delivery point or  
18 receiving point at Manning?

19          MR. JOHNSON: Bi-directional point.

20          MR. WILLARD: So it's a delivery. We are  
21 delivering gas, so it wouldn't be eligible for pairing.

22          MR. FONDA: Well yeah, Andrew, Manning typically  
23 delivers into grasslands if I'm correct Rob, but I'm not  
24 sure if I am or not, but --

25          MR. JOHNSON: If I can just clarify that for you.

1 The Manning interconnect was built to receive gas from our  
2 grasslands interconnect. It's become bi-directional. We  
3 move a lot of gas to Northern Border and from Northern  
4 Border by electrical basis seasonally with respect to  
5 storage.

6 MR. FONDA: Well Rob, thanks. We'll look into  
7 that a little more over the break thank you.

8 MR. KORMAN: So Bill, let me just follow-up it's  
9 Paul. Just for clarity, just doublecheck on what weeks you  
10 operator, you know, in addition to that if any, and then how  
11 those will be treated in any proposal.

12 MR. WILLARD: The delivery points are not  
13 eligible for pairings. So we can only pair receipt points.

14 MR. FONDA: And to interrupt sorry, I think Bob  
15 mentioned if it's a bi-directional point, they can deliver  
16 into and to receive gas from it, so Paul thank you. We will  
17 look into that for sure.

18 MR. KORMAN: Thank you. Thanks Danielle.

19 MS. BERTOLDI: You're welcome Paul thanks. Let  
20 me scan and see if anyone else has their hand up. Okay.  
21 That's by accident -- I'm not seeing any additional  
22 questions at this time. We did go right up to the point on  
23 the agenda where we were planning to take a break anyway.  
24 So there's nothing further at this time, then we will go  
25 ahead and take a one hour break and when we come back from

1 lunch, at approximately 1:15 we will begin with WBI's  
2 presentation.

3 (Lunch)

4 MR. MARTINIC: Good afternoon everybody. We  
5 welcome you back. I'm John Martinic again, and if everybody  
6 can hear me at this point.

7 MS. BERTOLDI: Yes we can hear you John.

8 MR. MARTINIC: Okay, very good. So I just would  
9 like to share with everybody that we'll have seven more  
10 presentations the remainder of the day, this afternoon and  
11 we'd like to keep on track with those and remind everybody  
12 that for whatever questions or comments you may have to go  
13 ahead and submit them via check or by using your raise hand  
14 feature, after which we'll have the Q and A session  
15 following the conclusion of all those seven presentations.

16 So with that unless someone may have some further  
17 comments at this moment, we'd like to begin with WBI's  
18 presentation. With silence at this point it appears we're  
19 ready to begin with WBI.

20 MR. JOHNSON: Yep, so this is Rob. I'm here.  
21 John I'm unable to share my screen at this point. Can you  
22 allow me to do that?

23 MR. MARTINIC: Absolutely, one moment.

24 MR. JOHNSON: So I thank you for the opportunity  
25 to present today. We really appreciate it. My name is Rob

1 Johnson. I'm the Vice President of Commercial for WBI  
2 Energy. I've got 37 years of experience with WBI. Clearly,  
3 the functional areas that report to my responsibility  
4 include regulatory affairs, transportation, accounting,  
5 measurement accounting, scheduling and contracts, marketing  
6 and business development, system planning group as well as  
7 our gas control group.

8 Other representatives that are on this call today  
9 you can see Marc Dempewolf, our Director of Operations will  
10 be presenting later in this presentation. I'd like to give  
11 you just a quick highlight of WBI transmission. We operate  
12 in the five states you can see on the screen, we have about  
13 3600 miles of pipeline, about 2.2 Bcf a day of system  
14 capacity, 13 interconnecting points with 6 interstate  
15 pipelines.

16 And we have a significant storage business which  
17 we'll talk to a little bit because this does impact that.  
18 It's about 193 Bcf of working gas capacity. And it was  
19 alluded to earlier about the relationships between the  
20 different gas control groups and I'd like just to say that  
21 you know, we've had a really good working relationship with  
22 Northern Border for over 35 years, working together with  
23 them to ensure that our customers gas flows in managing all  
24 of our points in conjunction with them so that all gas  
25 flows.

1           You're going to see in our presentation that  
2 Northern Border is integral to our business and has been for  
3 the better part of 35 years, getting more and more integral  
4 as the Bakken as grown. The other comment I would like to  
5 make is it's generally not our practice to intervene in  
6 other's pipelines -- or the tariff filings.

7           Nor is it our preference to do so. But this one  
8 as you'll see, has a significant impact to WBI if it moves  
9 forward as proposed. So I just want to give you an overview  
10 of the WBI system. It's in blue, the Northern Border there  
11 in orange. And the Bakken, highlighted in the area. That's  
12 the key area that we're focused on and where the majority of  
13 the supply that we deliver into Northern Border comes to and  
14 the focus on our presentation today.

15           So zooming in to the Bakken. This slide shows a  
16 number of processing plants in the Bakken that are directly  
17 connected to WBI Energy. There's 23 of them. I think as a  
18 total, 32 in the basins. So a vast majority of the plants  
19 and a vast majority of the volumes WBI touches, and  
20 effectively gets to Northern Border.

21           So from a contractual perspective currently, you  
22 can see down on the lower right-hand corner, WBI has about  
23 1.2 Bcf a day contracted and tapped to Northern Border, a  
24 significant amount. And that's contracted volumes. We'll  
25 also often see volumes higher at each of these different



1 receipt points throughout and many of them will vary as  
2 you'll see in a few of my upcoming slides.

3           So a significant amount of gas passed towards the  
4 contractual gas passed towards Northern Border. And with  
5 that I just wanted to kind of demonstrate how big an impact  
6 it has on WBI and Northern Border. Of those contract tabs  
7 that we have towards Northern Border, I used the 2 and  
8 one-half Bcf of capacity on Northern Border for this  
9 calculation.

10           You can see that. We're about 46 percent  
11 currently of Northern Border's overall capacity at 2 and  
12 one-half Bcf of firm gas, contractually passed up WBI to  
13 Northern Border. And further, I'm showing on the right-hand  
14 side chart, WBI total deliveries in the first quarter of  
15 2020, you can see that 80 percent of our flows on WBI went  
16 to Northern Border. 20 percent of those flows, to other  
17 pipes rather on system point.

18           So significant and the reason why this change --  
19 potential change will impact WBI. I'll give you a kind of  
20 snapshot of three months over the last six or so of volumes  
21 into Northern Border off of WBI, specifically out of the  
22 Bakken. You can see the various receipt points there, our  
23 delivery points, Northern Border's receipt points.

24           And in the bottom right-hand corner you can see  
25 we were doing about you know, almost 900,000 a day in the

1 month of February. You jump to the month of April you can  
2 see that total is 700,000 a day. So what's happening here?  
3 The month of April we did have some flows coming off in the  
4 Bakken, not significant yet, it was starting to decline.

5           And you also can see Manning and Glen Ullin on  
6 this particular slide are negative, or flow is reversed.  
7 These are bi-directional points and what's happening in the  
8 month of April is a storage injection season started. So  
9 instead of delivering to Northern Border, we're now taking  
10 gas off of Northern Border. And we'll talk about this in a  
11 bit, but this is significantly going to complicate any type  
12 of pairing solution that is proposed.

13           And then my next slide shows the month of June.  
14 Here you can see the total is you know, down from that 900 a  
15 day in February to about 370. So a significant reduction in  
16 Bakken gas coming into Northern Border. And we still had  
17 you know, 100,000 a day on average going to storage. So  
18 totals were significantly down overall.

19           Again, challenging as was mentioned earlier that  
20 his view is the -- if I heard him correctly, that earlier  
21 volumes down but it's going to take some time for volumes to  
22 ramp back up. And we believe that's the case as well. Due  
23 to the decline, due to new activity in the drill bit. It is  
24 going to take certainly some time to rebound and it's  
25 probably a two to three year delay from where we were in our

1 opinion.

2 I'm sure others will talk to that later in the  
3 day. So we wanted to point out just a couple examples of --  
4 and these are relatively simplistic, but challenges that we  
5 see with pairing for the Northern Border gas quality change.  
6 In this particular example, we have a processing plant you  
7 can see by the white arrow. They're scheduling their gas to  
8 Northern Border. But the way our system works on a  
9 bi-directional basis, there becomes an off point that moves  
10 around on our system and that changes seasonally often  
11 times.

12 But in this particular case, this gas is  
13 scheduled for Northern Border. So if this processing entity  
14 paired with someone for their gas to be delivered to  
15 Northern Border, that gas is never going to get to Northern  
16 Border. It's going to flow on system WBI server on system  
17 markets, whether it's Minot, Bismarck, Eastern North Dakota,  
18 that gas will never find its way to Northern Border.

19 Reversely to that, this particular processing  
20 plant and it doesn't matter if it's just Swan or any number  
21 on this other side. They're selling their gas on system.  
22 So they could be scheduling their gas to serve the City of  
23 Minot. But physically that gas is going to flow to Northern  
24 Border.

25 Again, a challenge of who pairs with who and how.

1 The third example I have here is a processing plant let's  
2 say on the western edges of the Bakken, their gas is  
3 scheduled to go to storage on the WBI, but in this case and  
4 I'll point that this gas is south of them, so even though  
5 they're scheduling their gas to storage on the WBI, that gas  
6 is physically flowing to Northern Border.

7           Someone had a question today about scheduling on  
8 Northern Border from one point back upstream. It's similar  
9 here. And with our bi-directional capabilities on our  
10 pipeline, it's very challenging to understand what gas, what  
11 molecules of the gas get to which location at which point in  
12 time.

13           This proposed Btu limit is contrary to the  
14 Commission's gas quality policy statement. It will  
15 unnecessarily reduce the availability of gas supply. It  
16 will certainly decrease WBI's through put in revenue, could  
17 lead to a potential rate case, and increase rates on our  
18 system, which we strive hard to keep low and competitive.  
19 We do have a moratorium placed since our last filing, so we  
20 can't do anything up and through May of next year.

21           And we maintain a safe and reliable service with  
22 higher Btu gas on our system which we're going to  
23 demonstrate to you later. And with that I'm going to  
24 introduce Marc Dempewolf. Marc is the Director of our  
25 operations. Marc's got 25 years-experience all with WBI

1 Energy as well. He was in our compressor engineering  
2 department for seven years. He was a manager of our  
3 measurement, controls and communications department for 11  
4 years, and now is the Director of Operations for the last  
5 seven years.

6 And is really our expert on gas quality and  
7 interchangeability. So with that, I'm going to turn it over  
8 to Marc.

9 MR. DEMPEWOLF: Thank you Rob. Can you hear me?

10 MR. JOHNSON: Yes.

11 MR. DEMPEWOLF: Okay. In WBI transmissions  
12 tariff the gas quality spec has an upward heating value  
13 limit of 1,210 of Btu per standard cubic feet. Our gas  
14 quality spec currently aligns with or is more stringent than  
15 Northern Border's current tariff. The WBI quality spec was  
16 developed to meet the gas quality specification of six  
17 interconnecting pipelines, two of which currently have upper  
18 heating value limits, equal to or greater than WBI's limit  
19 of 1210.

20 Currently WBI has no interchangeability issues to  
21 deliver to or from any of these six interconnecting  
22 pipelines. Gas interchangeability has been a long topic in  
23 the industry. Back in the early to mid-2000's it became a  
24 very hot topic. And out of that came some guidelines. FERC  
25 developed their gas quality policy statement. The Natural

1 Gas Council developed -- put together a group of people  
2 called the NGC plus group, and they made recommendations on  
3 interchangeability for gas, they came out in basically five  
4 interim recommended guidelines which I have listed there.

5           And then hydrocarbon dew point limits and  
6 specifications were also reviewed at that time. Now I want  
7 to state that WBI Energy takes the topic of gas  
8 interchangeability very seriously. We respect the  
9 Commission's policy and we follow it. But we also agree  
10 with FERC's statement that the NGC plus recommendations are  
11 a good scientific reference point to work from.

12           But as you will see in the upcoming presentation,  
13 WBI has a history of being able to move gas that  
14 successfully interchanges and works well in exceeding some  
15 of these recommended guidelines. On the WBI Energy system,  
16 we currently have heating values that range from 950 through  
17 1010 Btu per standard cubic.

18           We have successfully transported that gas that  
19 exceeds the NGC plus recommended specifications for  
20 on-system use. We know from experience that gas that  
21 exceeds these recommendations can be successfully  
22 interchanged. As the FERC's policy statement states, you  
23 know interchangeability has to be used in a lot of different  
24 avenues and you know, gas components, you have to look at  
25 equipment type and equipment control.

1           I'm going to give you some specific examples of  
2 gas interchangeability on the WBI system. It is five gas  
3 supplies that will be compared to and adjust gas, an  
4 equipment manufacturer or equipment installer uses to adjust  
5 the controls, or the air fuel ratio of an appliance of piece  
6 of gas equipment.

7           The adjust gas that I show here of 1042 Btu with  
8 a 1337 Wobbe index is representative of an average gas that  
9 used to flow on WBI's system prior to the Bakken gas coming  
10 on system. And incidentally, that was actually one of the  
11 adjust gases that the Gas Research Institute used in their  
12 2003 study.

13           As I go through these different examples, I want  
14 to point out that the components or the specs highlighted in  
15 red actually exceed the end use plus recommended guidelines.  
16 Just to give you a quick view there's so much -- we have a  
17 play, it's an old 1950's oil play associated gas associated  
18 with oil comes out at 1140 Btu. And actually when you look  
19 at the Wobbe index variance back to the adjust gas, there's  
20 about a 6.6 percent difference.

21           We actually have a native gas that's produced  
22 right from the ground and is unprocessed and it comes at us  
23 at 954 and it too also, varies outside that 4 percent range  
24 recommended by NGC plus. We have another native gas field  
25 that is unprocessed, and it comes at us at 971 and it

1 actually interchanges very closely within those  
2 recommendations.

3           And then we have a Charbonneau point. This is  
4 Bakken gas. It comes at 1184 and a 1406 Wobbe which just  
5 slightly exceeds the 1400 limit set forth in the NGC plus  
6 recommendations and a variance of about 5.2 percent on the  
7 Wobbe index from our historical.

8           We have our Spring Creek interconnect is 1152 and  
9 actually meets all the other interchangeability guidelines.  
10 What I want to show you is we deal with a significant  
11 variance in pipeline gas quality. And all this gas is  
12 interchanging on our system successfully today. WBI  
13 operates its own internal combustion engines ranging  
14 anywhere from 1950's rich burn units to the latest low  
15 emissions units.

16           We have no problems meeting emissions, either  
17 specified by the manufacturer or in our permits. We have no  
18 reduced life issues and we have not had to take any  
19 reduction of horsepower. We can operate our engines on this  
20 gas. We also have all vintages of power turbines. We have  
21 coming off of our system, ranging from early '70's model  
22 rich burn power turbines, to the latest low emissions  
23 service.

24           And again, no lone interchangeability issues have  
25 been brought forward to WBI. We have industrial boilers and



1 we've been serving this gas to residential customers for  
2 over 12 years with no known interchangeability issue.

3           And as I said earlier we take this very serious  
4 -- the safety of the public and our customers is of the  
5 utmost importance. So we've been watching this. We've been  
6 -- and we have no known documented issue with  
7 interchangeability. The impact of the safe harbor limit on  
8 WBI are fairly great.

9           Managing the safe harbor limit at Glen Ullin is  
10 going to require complex control of a sequence on Northern  
11 Border's system and on WBI Energy's system as Rob alluded to  
12 earlier. It's a very sophisticated pipeline system with  
13 numerous receipt points and process plants.

14           To think that you're going to manage this with  
15 just a few changes in a control room to a control valve  
16 setting on a flow rate is not going to happen. If for some  
17 reason, the decision is made to start curtailing volume or  
18 shut in points immediately, as presented in Northern  
19 Border's presentation, this will be very disruptive to the  
20 gas pipeline streaming.

21           Real time changes to Btu limits simply are  
22 impractical. On a mechanical, physical basis, when you look  
23 into the field, to think that we're just going to make minor  
24 changes to a system to start dialing in a Btu level if you  
25 will, it's all -- it's virtually impossible.

1           When you start curtailing points, you could knock  
2 plants offline. You could impact them enough to affect gas  
3 quality. You change the dynamics of systems. Gas starts  
4 flowing different directions, it could take days before  
5 changes out in the field will actually be seen on Northern  
6 Border's pipes.

7           Therefore, real time approaches is not practical.  
8 In fact, when you think about the logistics and look at the  
9 complexity of this issue, to say -- put a safe harbor limit  
10 that went on and physically manage that upstream, you  
11 essentially are indirectly setting a maximum BTU limit for  
12 all these process points.

13           Curtailing receipt points will result in  
14 immediate flaring from upstream sources. The gas once it  
15 stops flowing has to go somewhere, and ultimately if you  
16 shut in gas plants, it's been our experience what we have  
17 seen during the cold winters that we see in North Dakota, it  
18 can take days for these gas plants to get back on and get  
19 the feel and get the supply flowing again.

20           A safe harbor limit will require WBI to change  
21 its tune. Current Bakken customers have designed  
22 infrastructure to meet current heating values and may need  
23 to invest significant capital to maximum upper human value  
24 to limited to 1100 Btu percentage. On a thoughtful note, if  
25 this maximum heating value that they've designed is WBI's

1 tariff limit, and currently matches the limit spelled out in  
2 the Northern Border tariff, because there is nothing.  
3 Lowering the maximum heating value would negatively impact  
4 the WBI customers and will decrease the amount of thermal  
5 energy capacity to meet the downstream demands.

6 Some of our on system customers have built  
7 processes that have been designed to operate on this higher  
8 Btu gas. This slide shows you the history of the Bakken --

9 MS. BERTOLDI: Marc, I'm sorry, real quick this  
10 is Danielle. We had you until 1:45 that leaves two more  
11 minutes before the next presenter, so I apologize for the  
12 small amount of time that you have, but I just wanted to  
13 give you a warning.

14 MR. DEMPEWOLF: Okay. Quickly, over 10 years you  
15 could see the Btu level at Charbonneau has been stable and  
16 this is the level that all the producers and plant operators  
17 have designed their facilities to. So, which it complies  
18 with Northern Border's current gas quality spec and WBI's  
19 gas quality spec. I'll turn it back to Rob.

20 MR. JOHNSON: So to finish up quickly, in our  
21 view Northern Border has not satisfied the gas quality  
22 policy statements requirement to engage in a collaborative  
23 process. And this is specifically with respect to this  
24 pairing notion -- very complicated and challenging.

25 We understand that their intent and we noted that

1 this morning to place this responsibility on the receipt  
2 point operators, that puts significant financial liability  
3 on the party, at risk on WBI. We'd never taken title in the  
4 gas. Our tariff does not support managing -- management of  
5 this pairing proposal, and if we'd be forced to change, we  
6 would not have it into effect by the time this option is  
7 proposed to go into effect.

8           And obviously we built this before we heard  
9 Northern Border's this morning, you know, the pairing  
10 proposal, it is not just unreasonable, we don't rate sole  
11 discretion. I think they changed it to not unduly  
12 discriminatory, but obviously we want to see those changes  
13 in the new filing.

14           With respect to the tendering party there was a  
15 question on this this morning too. We oppose changing it to  
16 receipt point operator. This puts all the burden on WBI and  
17 it's really unmanageable. For our five points, WBI operates  
18 four of them. Northern Border operates the fifth point,  
19 which even further complicates the issue if we're trying to  
20 aggregate the flows on WBI to manage a pairing solution on  
21 Northern Border.

22           It's really difficult to do. Finally, we don't  
23 believe Northern Border has demonstrated this proposal is  
24 just and reasonable. We successfully manage  
25 interchangeability on our system with current gas specs and

1 Btu levels. Northern Border's filing causes the cost in  
2 management pairing to be placed on WBI, although we don't  
3 take title to any of the gas we transport.

4           The complications in the bi-directional flows on  
5 WBI change seasonally and per customer scheduling. The  
6 pairing complications and challenges require collaboration  
7 by WBI with already on its system, and on Northern Border to  
8 make this proposal possible. But quite frankly, it's  
9 unworkable in our view. The connection we don't -- the  
10 tariff doesn't allow for management of pairing and as Marc  
11 alluded to, the real time management of Northern Border's  
12 Btu is not practical for upstream operators and processing  
13 plants, nor WBI Energy, with respect to flows to and from  
14 storage.

15           Flowing in North Dakota will likely increase and  
16 negatively impact producers, processors, WBI and the State  
17 of North Dakota as a whole. And with that, that concludes  
18 our presentation and we thank you for the time.

19           MR. MARTINIC: Thank you very much Rob and Marc.  
20 We appreciate the information and very good presentation.  
21 With that, we will continue on to the presentation of  
22 Indicated Shippers and John Paul.

23           MR. FLOOM: Yes.

24           MR. MARTINIC: I am not able to share my screen  
25 right now.

1           MR. FLOOM: Give me one moment, let me do that.  
2 One moment. All right is the presentation showing up on the  
3 screen. It looks like I'm sharing it but I want to make  
4 sure everyone else can see it, so I don't have a view from  
5 where you guys are.

6           MR. MARZ: This is Martin Marz, yes I can see it,  
7 so I'm sure other people can as well.

8           MR. FLOOM: Okay, thank you Martin, I appreciate  
9 that. All right. Indicated Shippers thank the Commission  
10 for the opportunity to speak at today's Technical  
11 Conference. The presentation that we're giving right now  
12 will focus on how Bakken production profile has changed  
13 significantly since Northern Border submitted its gas  
14 quality filing in this proceeding.

15           In addition, the presentation provides numerous  
16 data points demonstrating that Bakken production levels are  
17 not anticipated to increase to pre-filing levels for a  
18 considerable amount of time. As set forth in the following  
19 slides, the combined effects of the crude oil price drop,  
20 demand reductions related to the global pandemic and other  
21 hurdles, have placed downward pressure on Bakken  
22 production.

23           This downward pressure has eliminated any  
24 potential needs for Northern Border's proposal at any point  
25 in the next year or two. By way of background, the Bakken

1 production that provides natural gas to Northern Border's  
2 system, is typically associated gas, which means that  
3 producers drill to get the crude oil, and the natural gas is  
4 typically a by-product of the crude oil production.

5           When natural gas prices are low, as they have  
6 been for several years, crude oil pricing determines the  
7 level of interest that producer has in a particular  
8 production basin. The Bakken production field is somewhat  
9 unique in that the takeaway cost for oil and gas production  
10 are higher than in other basins in the United States, with  
11 some estimates placing the cost at approximately \$3.00 to  
12 \$5.00 more for each barrel of crude produced.

13           In other words, the west Texas intermediate oil  
14 price trend would need to be sustained at closer to \$45.00  
15 per barrel of crude for a long enough period to allow for  
16 production in the Bakken to remain economic. In this first  
17 slide, which is similar to what Mr. Fonda presented earlier  
18 today, but on a shorter timeframe the BTU -- yes?

19           MS. BERTOLDI: Sorry this is staff. Is there  
20 anyway for you to maximize the screen? We're seeing your  
21 presentation, but it appears a bit small, like it's not --  
22 like the screen, that's better.

23           MR. FLOOM: Okay. You're getting it now.

24           MS. BERTOLDI: We do yeah, we do see two slides,  
25 but as it is a little bit better.

1 MR. FLOOM: Okay. Sorry about that.

2 MS. BERTOLDI: It's okay.

3 MR. FLOOM: So in this first slide, and you'll  
4 see subsequently the second one, we demonstrate the measured  
5 Btu content of the gas stream as measured at Glen Ullin from  
6 the period of January 1, 2020 to August 4, 2020 and I just  
7 checked this morning and the August 5th measurement was at  
8 1095.8.

9 In its filing and earlier today Northern Border  
10 mentioned that it has been faced with ever increasing Btu  
11 content due to the continued development of high Btu gas in  
12 the Bakken region which has pushed out supplies from Western  
13 Canada. As you can see from this table, starting around  
14 April of 2020, in this timeframe here, there was a  
15 significant drop off in the measured BTU content of the gas  
16 stream.

17 This coincided with the dramatic fall in crude  
18 oil pricing around the same time, which saw the WTI price  
19 for May deliveries heading briefly into negative territory.  
20 The graph shows the decline and the measured Btu content of  
21 Bakken gas was consistent with the fall off in crude oil  
22 production due to the pricing pressure.

23 While crude prices have recovered and stabilized  
24 to some degree, additional factors like the fall off in  
25 demand due to pandemic related shutdowns, have continued to



1 keep crude oil production in the Bakken low, which has also  
2 kept the measured Btu content of the gas stream below 1100  
3 at Glen Ullin.

4           And then this next slide, you'll see that the  
5 lower levels of crude oil production in the Bakken's are  
6 expected to continue. These figures came from a report that  
7 said North Dakota Industrial Commission Oil and Gas Division  
8 recently gave at the director's cut webinar.

9           On July 17 of 2020, there was only one frack crew  
10 operating in North Dakota. There were only 10 active  
11 drilling rigs working in North Dakota, and that represents  
12 an 82 percent drop in drilling activity since January of  
13 2020. In May of 2020, there were 6,180 inactive wells.  
14 There have been significant levels of lay-offs in North  
15 Dakota's oil and gas industry and in May of 2020, North  
16 Dakota only produced 858,395 barrels of crude.

17           By way of reference, the Energy Information  
18 Administration reported total Bakken production in January  
19 of 2020 at a number north of 1.4 million barrels. This  
20 continued through February and March of 2020, with a drop  
21 off starting in April of 2020 that has continued. The EIA  
22 projects that crude oil production in the Bakken is unlikely  
23 to reach these pre-pandemic levels in the foreseeable  
24 future.

25           I note that EIA estimated that crude oil

1 production in May of 2020 would be near 1 million barrels  
2 and North Dakota reported only 858,000 barrels of  
3 production. Given this, EIA's projections for June through  
4 August may be inflated. In addition, it is easier to shut  
5 down a well than it is to bring it back online. With shut  
6 downs taking days to complete and restarts taking weeks to  
7 months to complete.

8           Now we seen on this other slide here the impacts  
9 of this significant production declines. And the Bakken  
10 area, like most share production areas, there's a steep  
11 decline curve on the production, meaning that in order for  
12 Bakken to maintain consistent levels of production, new  
13 wells need to be drilled.

14           This table on the right demonstrates that the  
15 active rig count has been substantially reduced with only 18  
16 active rigs in May of 2020, 11 in June of 2020 and you may  
17 recall from our previous slide that there were only 10  
18 active drills in July of 2020 and as of August 5, 2020 there  
19 were only 11 active drilling rigs in North Dakota.

20           This compares to 59 active drilling rigs on the  
21 same day in 2019. Given this information, it is apparent  
22 that the lack of drilling activity is sustained and will  
23 place additional pressures on the ability of Bakken  
24 production to reach pre-pandemic levels at any point in the  
25 near future.

1           This slide on the left is from a July 24, 2020  
2 presentation given by Justin Kringstad who is the Director  
3 of the North Dakota Pipeline Authority and it shows this  
4 problem most clearly. The graph you see on the far left  
5 show that crude oil and natural gas production showed the  
6 crude oil and natural gas base production declines for wells  
7 in the Bakken production area based upon the year in which  
8 they were drilled.

9           And the chart here on the right shows the level  
10 of well completions necessary to maintain the production  
11 levels achieved in February of 2020 -- that's the dotted  
12 line down through the middle here. And that would represent  
13 a pre-pandemic, pre oil price drop level of production.

14           As you can see from the chart on the right, well  
15 completions would need to be sustained at or around 70 to 80  
16 barrels -- sorry, 70 to 80 wells per month. In other words,  
17 an active rig count in the low 10's which we've been  
18 experiencing for several months now is nowhere near where  
19 you would need to be to add enough completed wells per month  
20 to overcome the natural base decline necessary to sustain  
21 production levels at our February 2020 levels.

22           Now let's turn to another pressure on Bakken  
23 crude oil production -- crude oil pricing. As we noted  
24 earlier, the Bakken typically requires crude oil prices to  
25 be around \$45.00 per barrel to make production economic for

1 producers. When you compare this expectation to the EIA  
2 forecast that crude oil pricing is projected to remain  
3 between 35 and \$40.00 per barrel through at least the  
4 fourth quarter of '21, it shows that there will likely be  
5 continued downward pressure on Bakken production.

6           While these are merely projections of future  
7 pricing, it bears noting that the North Dakota Industrial  
8 Commission has said that it viewed these price estimates as  
9 optimistic. In addition, the NYMEX future's pricing  
10 represented on the left slide by the green line shows that  
11 the pricing is consistent with the projection of crude  
12 pricing near \$40.00 per barrel through at least the end of  
13 2022.

14           And this chart also shows the projected pricing  
15 based on the NYMEX futures price, I'm sorry, as well as the  
16 EIA short term energy outlook forecast, which is the blue  
17 line right here. In addition to these pricing pressures,  
18 producers are faced with there are several other factors  
19 that influence producer decisions to engage wells that were  
20 previously inactive or to drill new wells.

21           First there's DAPL. We are all likely familiar  
22 with the D.C. District Court's decision ordering DAPL to  
23 shut down and empty by yesterday. This caused a  
24 considerable uncertainty for producers in the Bakken area,  
25 given the significant amount of takeaway capacity that DAPL

1 provides.

2           Yesterday the D.C. Circuit lifted the lower  
3 court's injunction, but ordered further proceedings, both at  
4 the District Court level and at the Appellate Court level.  
5 The DAPL decision which is still pending review before the  
6 D.C. Circuit, continues to weigh on producer  
7 decision-making. And given the uncertainty of whether there  
8 will be adequate takeaway capacity for any crude  
9 production.

10           In addition to High Plains, there was a decision  
11 from the Bureau of Indian Affairs, which may also impose  
12 negative pressures on the continued production of crude oil  
13 in the Bakken area. Finally, Liberty Pipeline has been  
14 placed on hold due to the economic conditions surrounding  
15 the pandemic.

16           And for your reference, the table on the left  
17 here shows crude oil exports at export opportunities out of  
18 the Williston Basin which includes the Bakken production  
19 area. DAPL and TESORO represented by the blue streaks here  
20 on the left, or delineated on this chart.

21           Absent these three options, pipeline capacity  
22 would decrease the levels last seen in 2014. Overall export  
23 options, which would include rail, would similarly decrease  
24 to levels last seen since 2014. These additional pressures  
25 create uncertainty for producers in the Bakken, which makes

1 a return to pre-pandemic levels of production unlikely in  
2 the near future.

3 Further, there's also additional regulatory  
4 uncertainties that make Bakken production unlikely to  
5 increase in the foreseeable future. With respect to the  
6 DAPL decision, the Army Corp estimates that a new  
7 environmental impact statement will take approximately 13  
8 months to prepare, but producers may be faced with the lack  
9 of an outlet for crude for Bakken production for at least  
10 another year, which may cause producers to put off further  
11 investments in production and new wells.

12 In addition, the U.S. District Court for the  
13 Northern District of California recently vacated the VLM's  
14 2018 methane and waste prevention rule and may reinstate the  
15 2016 rule. If the 2016 rule is allowed to be reinstated, it  
16 would impose additional costs on producers due to  
17 requirements for a 35 percent reduction in venting and a 45  
18 percent reduction in flaring.

19 The impact under this rule change would be to  
20 wells on federal and tribal lands and could make decisions  
21 to continue to produce at those wells that much more  
22 difficult for producers.

23 And finally, while this presentation is focused  
24 on why Northern Border's proposal is unnecessary now given  
25 the drop off in production and the associated reduction and

1 the BTU content of the gas stream. Indicated shippers also  
2 have other significant problems with the proposed filing.  
3 First, Northern Border's pairing proposal lacks  
4 transparency.

5 The pairing proposal relies upon a marketplace  
6 that does not yet exist, where tendering parties or as we've  
7 heard today, receipt point operators are required to find  
8 contracting counterparties without any information resources  
9 available related to costs or operational feasibility.

10 Second, Northern Border has not stated how much  
11 notice it will provide to shippers in advance of placing an  
12 upper limit into effect or reducing one that is already in  
13 effect. Producers that want or need 100 percent certainty  
14 that gas will flow, will be required to install additional  
15 equipment or modify existing equipment to ensure that they  
16 meet the safe harbor level of 1100 Btu for SCF, that's been  
17 in the filing.

18 Finally, there is an economic cost to the market  
19 and to consumers caused by the inevitable reduction in  
20 supplies that will result from Northern Border's proposal.  
21 At a time when many are facing economic uncertainty due to  
22 the pandemic, Northern Border's proposal is especially  
23 problematic. For these reasons and for the reasons set out  
24 in our protest, the Indicated Shippers urge the Commission  
25 to deny Northern Border's proposal. Thank you.

1 MR. MARTINIC: Thank you very much John Paul.

2 MR. FLOOM: Certainly. Sorry, if I can share it  
3 back with you.

4 MR. MARTINIC: Sure, sounds very good. Staff was  
5 considering how things are well on track and to the agenda.  
6 And with a little bit of the earlier conclusion of John  
7 Paul's presentation, at this point we'd like to shift the  
8 break identified on the agenda to after the presentation of  
9 Targa and Andeavor. So with that, R.J. and James, would you  
10 be prepared to do your presentation at this point?

11 MR. OLSON: Yeah, absolutely. Thanks. And so we  
12 don't have any slides so I'll just start talking and R.J.  
13 will take over about halfway through. Thank you. Targa and  
14 Andeavor believes that the pipeline has failed to support  
15 its proposal. In fact, after this morning it's not even  
16 clear what the proposal is anymore.

17 Is it the monitoring point we're on? Is that  
18 somewhere else? Is the purpose for a C point limit meet  
19 1100 to your knowledge, or some other figure. That much is  
20 very unclear now. So we can't say that there's no evidence  
21 for serious problems without this detail.

22 The pipeline has provided no studies of this  
23 system or downstream impact. The pipeline has not provided  
24 any -- before because both studies have shown you the  
25 blending capability on the system, so as it is exists today



1 and with the changes in production. So you can see based  
2 off of what it actually looks like in the future.

3 That would be important to understand where we  
4 don't know that. They also have provided in this study, to  
5 help you see the end users or costs associated with that.  
6 They had allegations of concern in their actual studies.  
7 There's also the studies in the learning disability  
8 downstream, or whether parts of LBT's -- but other parts of  
9 their system are -- there's a lot that we don't know but the  
10 one thing we do know is that historically we're using it.

11 The pipeline -- Northern Border has delivered gas  
12 over 1100 Btu's at nearly all of its delivery points. If  
13 you look at the data response provided you'll see that in  
14 the last five years they have delivered at over 1100 Btu's  
15 at every single response on this system with only two  
16 exceptions. And those two exceptions were really both  
17 provided -- I find was also provide note studies at the  
18 official time of the accessories, you know it was pointed to  
19 the manufacturer.

20 There were no studies about maintenance  
21 schedules. Is that the issue that they raised? No studies  
22 about its ability to retrofit, although they did explain  
23 this morning when they thought it was off approximately 20  
24 million dollars to retrofit and let me say we'll get to this  
25 a little bit later, but that is a drop in the bucket

1 compared to what they're asking my clients to do.

2           It's 10 times. There have been no significant  
3 shut ins on Northern Border due to high Btu gas. Now I'm  
4 taking '16 and '17 in their response was two isolated  
5 instances. It's not clear that any of those was actually a  
6 shut in, and a couple of them looked like they were just --  
7 but then the market reacted to those.

8           And so if the market can resolve these issues  
9 when they arise, they should let the market to continue to  
10 resolve these issues when they arise. That is whether you  
11 move them with the pipelines. And related to that, by the  
12 pipeline's own admission, last year 2019, 90 percent of the  
13 volumes delivered on Northern Border were at a point that do  
14 not have an 1100 Btu limit.

15           On page 9 of Northern Border's, it says only 10  
16 percent of the deliveries were to one of the five  
17 interconnecting pipelines, but they don't show the  
18 justifications for this 1100. Now if that's not the tail  
19 wagging the dog, I don't know what is. Also, the 1100 is  
20 lower than the Btu plus guidelines. It's zero technical  
21 documentation for why they wanted to do this from the Btu  
22 plus. And that's not consistent with the policy.

23           Also the pipeline points to -- they make much of  
24 the fact that they filed a state (Internet glitch), rather  
25 than (Internet glitch), but as others have stated that's of

1 no consequence because as the pipeline admitted this morning  
2 the supply changes as they're forecasting, then you will get  
3 to a point when it's going to have to be at 1100 or really  
4 close to it, for whatever point they're going to use at  
5 1100.

6           Now what does that graph look like? How much  
7 production, additional Bakken will be used to get to that  
8 point? Again, we don't know because they haven't provided  
9 any flow studies. High point also (Internet glitch) and  
10 Targa and Andeavor had looked into this and we're going to  
11 update our estimate we provided in our first half and my  
12 colleague R.J. Colwell will walk you through exactly what  
13 Targa and Andeavor will have to do at that facility and how  
14 much it will cost and how long it will take.

15           But from a high level, they're going to have to  
16 spend between 138 million dollars to 211 million dollars in  
17 order to make the necessary modifications. And that's going  
18 to take between 12 to 18 months. And we know it's a big  
19 step for us to go into but over the long distance of less  
20 than that.

21           The pipeline also didn't (Internet glitch) for  
22 processing. The data response that flat out (Internet  
23 glitch) plan, but we're not in that. I don't know why not.  
24 Other pipelines have settled. Also to the extent this is  
25 actually an issue, we don't know, but to the extent it is

1 that would seem like the most efficient way to do it rather  
2 than making every single processing point in the basin  
3 (Internet glitch) you could do it all at one point and it  
4 will be much more --

5 And their affiliate would have definitely  
6 (Internet glitch) but the pipeline (Internet glitch).

7 Finally, with respect to one of -- the last thing  
8 I'll point out before I turn it over to R.J. is that the  
9 pipeline facility (Internet glitch) and perhaps (Internet  
10 glitch) but they stand to benefit financially from this and  
11 that's been raised a number of times by a number of parties  
12 and the pipeline has never denied. And the pipeline cannot  
13 deny it. And the reason the pipeline cannot deny it is  
14 because there's a (Internet glitch), on March 11, 2020 the  
15 President and CEO of (Internet glitch) said, "The potential  
16 for ethane recovery needs downstream pipeline -- also  
17 provides a field where a natural gas system on the (Internet  
18 glitch)"

19 The pipeline has failed to put its proposal in  
20 the FERC's -- (Internet glitch) thank you.

21 MR. COLWELL: Thank you James. So I want to  
22 start from Northern Border's approval in this proceeding  
23 will incur significant cost to the rest on the operations of  
24 Andeavor and Targa's resources, starting with Andeavor.  
25 Andeavor owns and operates two gas processing facilities in

1 North Dakota that would be impacted by Northern Border's  
2 proposal here -- Robinson Gas System and Belkin's Gas.

3           Robinson Gas System consists of the Robison Gas  
4 Plant which is comprised of two refrigeration trains and a  
5 Stanley booster station. Robinson Light Gas System is  
6 capable of processing and developing gas stream here, even  
7 the gas stream that goes over to WBI for further utilization  
8 on Northern Border down to Btu range of 1165 to 1210.

9           As we heard earlier by WBI, the current maximum  
10 Btu content delivery into that system is 1210. In order to  
11 comply with Northern Border's proposal, Andeavor will need  
12 to make significant modifications to the existing J.T. skid  
13 located at the Stanley booster station.

14           The modifications include reducing the discharge  
15 pressure of the J.T. skid, installing additional compression  
16 and installing a new resident gas filter coalescer and  
17 control valve upstream of the connection to WBI. These  
18 modifications will take approximately 12 months to get in  
19 service and will cost Andeavor at least 2 million dollars.

20           The current cost of facilities in Andeavor's  
21 downfield gas consists of a fuel refrigeration train. The  
22 company configured the Bell field gas point is capable of  
23 processing that gas down to a Btu range in the upper 1200's.  
24 In order to comply with Northern Border's proposal, Andeavor  
25 will need to take one of two approaches here.

1           The first approach would require Andeavor to make  
2 modifications to optimize the existing -- system, install  
3 additional piping and make modifications to regulate  
4 compression issues. These modifications will take  
5 approximately 8 to 10 months or longer to place in service  
6 and will cost Andeavor between 2 to 3 million dollars.

7           However, Andeavor estimates that this first  
8 approach would enable at most 60 percent of the overall gas  
9 stream to the Bell field gas plant to comply with Northern  
10 Border's proposal. The remaining 40 percent of that gas  
11 stream would therefore need to be sold to the pipeline  
12 connection, the one Bakken pipeline, used as fuel for power  
13 generation or some combination thereof.

14           Other generation components would require a large  
15 scale project that itself will take in excess of a year to  
16 be complete, and will cost more than 45 million dollars.  
17 Even still, these options that will remain 40 percent of the  
18 overall gas stream at the Bell field gas plant are at best  
19 speculative, and provide only incomplete solutions.

20           The second approach would require Andeavor to  
21 convert the downfield gas plants to its current  
22 refrigeration lines for a full cryogenic process. Andeavor  
23 believes that the second approach would enable the entire  
24 gas stream at the Bell field gas plant to comply with  
25 Northern Border's approval. It would also enable the

1 resulting ethane stream to comply with the one Bakken's  
2 pipelines CO2 requirement.

3           Andeavor currently anticipates that the necessary  
4 installations and modifications with the second approach  
5 will take approximately 12 to 18 months to place in service  
6 and will cost between 15 to 20 million dollars. And I just  
7 discussed for the Bell field gas plant do not include the  
8 cost of pipe that will be necessary under the approach with  
9 the one Bakken pipeline which is located more than 60 miles  
10 from the Bell field gas plant.

11           Such pipe will cost at least 60 million dollars  
12 estimated cost in addition to those on the other four  
13 approaches. At Targa, current processing facilities of  
14 Targa is very complex, with just the four co-located  
15 refrigeration train. L1, L2, L3 and L4.

16           100 percent of L2, L-3, and over 50 percent  
17 ownership interest in L4 is equal to approximately 100  
18 million cubic feet per day of capacity on that train.  
19 Assuming optimal conditions, L1 is currently capable of  
20 processing, excuse me, wet gas down to 1145 Btu.

21           L2 is currently capable of processing wet gas  
22 down to 1165 Btu. L3 is currently capable of processing wet  
23 gas down to 1155 Btu and L4 is currently capable of  
24 processing wet gas down to 290 Btu. These four trains are  
25 capable of producing a blended rescued gas feed with 1122

1 Btu under optimal operating conditions.

2           However, Targa does not currently receive, nor  
3 has it historically received enough gas at the -- complex to  
4 utilize all cargo's capacity on the L4 train.  Importantly,  
5 Targa would need to utilize all this capacity at L4 for it  
6 to blend down collectively to 1122 Btu.

7           It's more likely based on current and anticipated  
8 systems through puts, that the Btu content of this blended,  
9 gas stream from these four trains will range from 1130 to  
10 1155 Btu.  This range seems that Targa is fully utilizing  
11 L1, L2 and L3.  It is operating all four trains, and this is  
12 an LC2 recovery mode.

13           In order to comply with Northern Border's  
14 proposal, Targa has construed that it will need to install a  
15 standard modular cryogenic processing plant in the -- at the  
16 end of trains L1, L2 and L3.  Targa will take gas from these  
17 three trains into this cryogenic plant which would DF9 the  
18 gas before delivery to Northern Border.

19           This installation would take approximately 14 to  
20 18 months to place in service and would cost Targa at least  
21 93.6 million dollars.  The foregoing solutions may be  
22 technically possible and may not be economically feasible or  
23 prudent for Andeavor or Targa to invest this much capital  
24 into a gas processing facility at this time.  Andeavor's and  
25 Targa's access to capital is greatly constrained with the



1 current economic environment. The overall cost to Andeavor  
2 and Targa to make these modifications for these volumes of  
3 gas would simply be prohibitive.

4 In addition to the foregoing costs, in Andeavor  
5 or their customers, we incur significant costs to handle the  
6 additional ethane produced as a result of the modification.  
7 Importantly, no significant market currently exists for  
8 ethane in most occasions. Andeavor and Targa would  
9 therefore need to transport such additional ethane  
10 elsewhere, just like the -- , to Targa or Tom Lane for  
11 Andeavor, where it would then be fractured.

12 Even if Andeavor or Targa -- if the overall costs  
13 were not prohibitive, to cue the capital necessary to  
14 implement such modifications, neither Andeavor or Targa  
15 would be able to comply with Northern Border's proposal by  
16 November 1. The result could be the shut in or the  
17 potential finding of gas that Targa and Andeavor would have  
18 had otherwise over, but for Northern Border's proposal  
19 here.

20 This in turn would result in economic waste,  
21 discretionary resources and supply, and reduce the flow of  
22 domestic natural gas in the Bakken U.S. market. In summary,  
23 Northern Border's proposal would cost Targa at least 93.6  
24 million dollars and Andeavor at least 85 million to 118  
25 million dollars.

1           Andeavor and Targa, or their customers would also  
2 incur significant costs due to the additional ethane  
3 produced as a result of modifications that I laid out.  
4 Neither Andeavor nor Targa are able to bring these  
5 modifications on line by the November 1 exit date per the  
6 suspension order. Until such modifications can be brought  
7 online, the gas that Targa and Andeavor would otherwise  
8 have is at risk of being shut in or potentially flared up  
9 through.

10           By contrast, Northern Border has not provided any  
11 technical basis on its systems for its proposal here to  
12 justify the unnecessary costs and risks it seeks to impose  
13 on Andeavor and Targa. For these reasons, Andeavor and  
14 Targa request that the Commission reject Northern Border's  
15 proposal in this proceeding, thank you.

16           MR. MARTINIC: Okay. So that's the conclusion of  
17 Targa and Andeavor's presentation.

18           MR. Colwell: Yes.

19           MR. MARTINIC: Okay. Thank you  
20 very much. Well at this point we're doing very well on the  
21 agenda. And if everybody's agreeable, let's take a 10  
22 minute break if you'd like. And then we'll continue with  
23 Oasis intervener's presentation at 2:35, how does that  
24 sound? Sounds good, okay. See you back at 2:30 or 2:35  
25 for the presentation.

1 (Break)

2 MR. MARTINIC: Okay this will conclude the break  
3 we just had. If everybody is agreeable we can begin with  
4 Oasis, their presentation and Greg with that, if you'd like  
5 to please begin.

6 MR. HILLS: Okay. Good afternoon everybody.  
7 This is Greg Hills. I'm an SVP of Market in Midstream at  
8 Oasis Petroleum. I'll start out with an introduction, kind  
9 of go over kind of Oasis Petroleum and our Midstream group.  
10 We're both an E&P entity and a Midstream company. We  
11 operate over 1100 wells in the Williston Basin -- that's  
12 75,000 gross barrels a day production, and 225 million cubic  
13 feet a day of gross gas volumes in the Basin.

14 The map on the right side shows our acreage  
15 position in the North Dakota and Montana areas of the  
16 Williston Basin, shows a significant amount of acreage  
17 position covering the Basin. From a Midstream standpoint,  
18 we operate over 840 miles of crude oil, natural gas,  
19 produced water and freshwater pipelines in the Basin.

20 We'll focus on the natural gas side of things.  
21 If you look at the map on the right, the Wild Basin area  
22 we've got a significant gathering system and two plants with  
23 total capacity of 280 million cubic feet a day. These  
24 plants have a residue connection to WBI for delivery into  
25 Northern Border. The gas from the Wild Basin plants

1 basically travels down south and ties into Northern Border  
2 about 16 miles from the plant facility.

3           Hopefully, this gives you a good idea and we'll  
4 talk further about that in a few slides. Okay. Moving on  
5 and we'll kind of go through a summary of key issues in this  
6 slide. Northern Border is operated with a hydrocarbon dew  
7 point stack equating to 1210 Btu per cubic foot since  
8 construction in 1982. The Btu levels have been increasing  
9 as we've stated and talked about today from roughly 1060 to  
10 that 1100 Btu per cubic foot area, with higher Bakken  
11 production and a reduction of the Canadian production.

12           If you go down to the bottom right side of this  
13 slide you can see the increasing Btu levels. You can also  
14 see the hydrocarbon dew points back at 1210. WBI spoke to  
15 this earlier that they've got a spec in their tariff of 1210  
16 Btu per cubic feet. So we've got a lot of room for where  
17 we've been and where we're going to be up to that 1210.

18           All right, the Bakken and the C  
19 points can't really meet an 1100 Btu per cubic foot upper  
20 limit without the additional ethane recovery. The  
21 processing plants are really just not designed to recover  
22 ethane. Due to the existing Northern Border specs and  
23 negative economics, basically they were all constructed for  
24 the 1210 spec.

25           The Northern Border proposal allows pairing with

1 other plants and we've talked a lot about that today. But  
2 pairing does not reduce the Btu per cubic feet, and it fails  
3 to address the upstream delivery points. WBI went into that  
4 and we'll talk about it a little bit more in the following  
5 slides.

6 But today we'd like to talk about five key topics  
7 -- basically let the downstream markets work. Compressor  
8 fuel conditioning, production area solutions and costs of  
9 that production area solution, the pairing proposal concerns  
10 and then just the overall state of the Williston Basin.

11 Okay. Moving on to the first of those topics in the  
12 downstream markets and letting the downstream markets work.

13 The chart shows the black line at 1100 Btu per  
14 cubic feet and actual is in green. Certainly, we've been  
15 over 1100 Btu per cubic feet and all of the C point volumes  
16 that flowed and the delivery points that's taking the gas.  
17 So really no significant curtailments.

18 If you look at the gold area in this chart,  
19 that's where Btu specs have a greater than 1100 Btu per  
20 cubic foot spec. And the blue area is the only area that  
21 has a Btu spec less than 1100 Btu. So that's key and we'll  
22 talk further about that. But downstream delivery points not  
23 in aggregate had to curtail volumes due to high heating  
24 values.

25 Again, all those C point volumes have been able

1 to flow. 90 percent of those downstream markets do not have  
2 a Btu limit, or have a Btu limit of 1200 Btu per cubic foot.  
3 Northern Border has the capacity of 2 and a half Bcf a day  
4 with only .2 Bcf a day that flows to a market with 1100 Btu  
5 per cubic foot tap. So think about that -- that's just such  
6 a small volume compared to the overall capacity.

7           Next topic really is in regards to the total  
8 delivery point capacity. There's 13 Bcf a day of delivery  
9 point capacity and Northern Border utilized 6.5 Bcf a day of  
10 that capacity during 2019. This shows Northern Border's  
11 significant ability to utilize multiple markets above and  
12 beyond the 2 and a half Bcf a day of capacity.

13           My last subject on this slide is just  
14 quantifiable harm downstream. Northern Border has failed to  
15 identify a quantifiable harm that requires tariff  
16 modification. It just really hasn't laid out any numbers  
17 and we'll lay out some numbers here on the upstream side for  
18 sure.

19           So the bottom line to this is the market can take  
20 the gas. Let the market work. Okay, moving on to the next  
21 slide. Utilities, LDC's and industrial -- the volumes for  
22 those are shown in blue on this slide with again 1100 Btu  
23 per cubic foot lines, and the actual Btu per cubic feet.

24           You can see that certainly we've been above that,  
25 but basically the utilities -- they're not materially

1 impacted by the Northern Border Btu as it increased, as it  
2 goes over 1100 Btu per cubic feet. The LDC's have the  
3 flexibility to take volumes from Northern Border, or obtain  
4 gas supply from other pipelines.

5           This slide kind of sums up some of the physical  
6 and then the takeaways. Basically, if you look at the  
7 Northern Border capacity of roughly 2 and a half Bcf a day,  
8 the pipelines are utilizing about 1.7 Bcf a day and the  
9 utilities about 750 to 800,000 Bcf a day. So the Btu limit  
10 -- there's no Btu limit roughly on 2.3 Bcf a day on that,  
11 and only a Btu spec limit of .2 Bcf a day.

12           So on average, only 8 percent of all volume  
13 delivered over the prior year went to pipelines with a Btu  
14 limit at or below 1100 Btu per cubic feet -- a very small  
15 percentage. All right, moving on to talk just a little bit  
16 about just the top 10 markets and largest points. The top  
17 left bar chart here shows that we could have flowed, or we  
18 have the capacity -- design capacity of greater than 5 Bcf a  
19 day at the 10 largest delivery points.

20           Again, Border has a capacity of only 2 and a half  
21 Bcf a day. Those top 10 largest points are without Btu  
22 limits, and they comprise 87 percent of the 2 and a half Bcf  
23 a day pipeline capacity. Between those 10 points on my  
24 highest delivery days, they have markets of 4.2 Bcf a day.

25           That's greater than 150 percent on average of the

1 Northern Border capacity of the 2.5 Bcf a day -- plenty of  
2 capacity. In addition, there are 48 other locations that  
3 don't have the Btu spec, which have an additional market of  
4 1 Bcf a day. Overall, basically a much greater delivery  
5 point capacity compared to the Northern Border flow at 2 and  
6 a half Bcf a day.

7 All right, we're going to switch over now and  
8 talk a little bit about the compressor fuel conditioning  
9 issue that was touched on earlier. Border stated that  
10 they've got 13 you know, Siemen's compressor stations and  
11 compressors along their pipeline, and claims that the fuel  
12 heating value is too high for these compressors. There are  
13 solutions for this.

14 In fact, we talked about it earlier. Fuel  
15 conditioning -- very common. Modification of the turbine  
16 burners, or some combination of the above. So basically  
17 Border has now stated that they can fix this issue and  
18 that's good to hear that. We've asked that question many  
19 times. So if you think about it, how should we fix this?  
20 Should we fix it through this? Or should we fix it through  
21 the full volume in the ethane recovery?

22 Well this is a key point. The fuel is only 2 and  
23 a half percent, so call it roughly 60 million cubic feet a  
24 day versus removing ethane on 2 and a half Bcf a day. Okay,  
25 I'd rather work on the 60 million cubic feet a day, let's



1 see how that can be done. At a million dollars a site, at  
2 13 sites that's 13 million. Well Border said today that it  
3 was 20 million dollars, so we're in the ballpark right?

4 13 million to 20 million dollars. Well the  
5 overall cost both in the ethane loss of revenue and the  
6 buildout of the new facilities on the upstream side is 2  
7 billion dollars, and we'll go into that number in more  
8 detail in the next slide versus 13 to 20 million dollars,  
9 let's put it in that range. Okay.

10 That's 100 to 1 difference in ratio. In other  
11 words, it cost 100 times more to fix the upstream and  
12 recover ethane than it does to fix the fuel conditions.  
13 Let's think about economics when you go through the decision  
14 making on this project. All right, moving forward to the  
15 next topic -- production area solutions. This is where we  
16 talk about how do we fix it upstream and what are the  
17 costs.

18 The map shows planned interconnects by color of a  
19 C point. You can see all the Charbonneau points in orange  
20 there coming in, you know Rob went into this chart, I think  
21 a little earlier, so I won't belabor it too much. But 14  
22 receipt point connections in the Northern Border, 11 of  
23 those receipt points currently are above 1100 Btu per cubic  
24 feet. So obviously that's a problem. 8 of the 14 receipt  
25 points have plants that cannot recover additional

1 significant ethane -- 8 of 14, that's where the work has to  
2 be done.

3 All right, moving on to the next slide. This  
4 gets into the schematics, a lot of detail here. I'll just  
5 touch on a few things, but these are all the plants and  
6 interconnect points on the system. So the receipt points in  
7 the Northern Border with the red circles with the X on it  
8 show points and plants that cannot recover significant  
9 ethane.

10 You can see there are substantial points that  
11 have to be modified in order to do that. If you look at it  
12 from a Btu standpoint, the dark blue points are greater than  
13 1175. Those are high Btu points. The middle blue areas are  
14 between 1100 and 1175. You can see all of those points are  
15 out of the spec basically, that Border is trying to put in  
16 place.

17 Only three points are less than 1100 Btu per  
18 cubic foot out of all those points. Border is requiring  
19 plant operators to reduce the residue which causes basically  
20 producers to bear the costs and recover grossly uneconomic  
21 ethane. That's a problem. The C points can't meet that  
22 1100 Btu per cubic foot limit as we've shown in this chart  
23 unless we recover additional ethane. The processing plants  
24 are simply not designed to recover ethane in negative ethane  
25 economics, and they were built with the original tariff in

1 mind with the hydrocarbon dew point of 1210 Btu per cubic  
2 foot spec and the WBI spec that Rob Johnson spoke of  
3 earlier.

4           So in order to get to the 1100 Btu per cubic  
5 foot, we've got to recover 40 percent uneconomic ethane  
6 recovery required at a cost of approximately 2 billion  
7 dollars over a 5 year period. Let's talk about that number  
8 a little bit and break it down. Ethane recovery costs --  
9 basically we'd have to recover an additional one gallon of  
10 ethane for Ncf of natural gas. That's 40 percent of the  
11 ethane basically in the Williston Basin if you put that on  
12 top of what's being recovered today.

13           The net back price of ethane is negative for  
14 producers into the Basin by about 15 cents per gallon.  
15 Basically that's calculated by taking Conway sales or  
16 downstream sales, subtracting the transport and  
17 fractionation to get to that negative number.

18           The problem is the transport and fractionation  
19 costs 15 cents more than the product is worth at Conway,  
20 Kansas, thus you're upside down 15 cents a gallon. So  
21 that's one component. The second component is currently the  
22 ethane is put into the natural gas stream. And so it goes  
23 into the natural gas stream and is sold there at a positive  
24 revenue.

25           So by removing that from the natural gas stream,

1 you lose another 15 cents in the gas stream. So middle of  
2 the table here, you got 2 Bcf a day if we ever get back to  
3 that level times a gallon per Ncf at a 30 cent loss per  
4 gallon -- that's a \$600,000 dollar a day loss for the Basin.  
5 That's 200 million dollars per year and that's a billion  
6 dollars over a 5 year period. That's a problem.

7 In addition to that, like we talked about and  
8 it's been talked in a lot of the presentations today, the  
9 capability of recovering ethane is simply not there. The  
10 estimated cost to convert those facilities is approximately  
11 a billion dollars. And as it's been stated it takes time,  
12 18 to 24 months to get all that work done.

13 So if you sum up those two issues, the billion  
14 dollars of cost ethane value loss over 5 years, plus a  
15 billion dollars in cap X facility conversions, that's a 2  
16 billion dollar cost over 5 years to the upstream industry.

17 Okay moving on to pairing proposal concerns.  
18 We'll step through this and a lot of these issues have been  
19 addressed. But right now all we have is a one page pairing  
20 proposal and it doesn't really look at the upstream of  
21 Northern Border issues. So all of that information that has  
22 to be worked through on the upstream, that WBI went through  
23 was absolutely correct -- very difficult to do.

24 We've got to deal with the multiple upstream  
25 plants and various Btu qualities behind such receipt points.

1 Two of those are Charbonneau and Spring Creek. WBI went in  
2 to Charbonneau, certainly a difficult, you know pairing.  
3 How does that pairing work is difficult. I'll talk a little  
4 bit about Spring Creek. Spring Creek is shown on the map on  
5 the right. The time to -- Northern Border is down on the  
6 south end of that shown in red.

7 Upstream of there you've got multiple plants  
8 operated by Oasis and by ONEOK. Lots of pipelines coming in  
9 there, WBI goes and operates the pipelines down into there,  
10 but how does that work? It hasn't been verified. Next to  
11 talk about in regards to pairing, is the affiliate conflict  
12 of interest due to unregulated revenue from related fees.

13 How will this work? ONEOK operates the only  
14 ethane pipeline outlet, so how does that benefit them with  
15 ethane recovery? It benefits them because more volumes go  
16 through their pipelines. It's estimated that if we had to  
17 get the additional gallon recovered it's a 200 million  
18 dollar cost benefit to ONEOK, the affiliate of Northern  
19 Border.

20 That's a gallon of ethane recovered on 2 Bcf a  
21 day and roughly you can take a range of values -- 25 to 30  
22 cents a gallon, that's \$600,000.00 a day and 200 million  
23 dollars a year in revenue benefits because of the tariff  
24 fees. ONEOK is the main pairing entity as well. But  
25 pairing proposals have simply not been provided upstream of

1 the receipt points in the northern border.

2           We tried to work together, and we tried to get  
3 those proposals, but it hasn't happened, thus, that all  
4 needs to be worked through before any implementation occurs.  
5 What fees will be charged, if any, upstream of the receipt  
6 point in the Northern Border? I asked the question a little  
7 earlier today what fees would the affiliates benefit from?  
8 And the answer was not provided and could not be provided.  
9 That's a problem.

10           We need to investigate that. We need to  
11 understand that. All we are trying to do is put everything  
12 on the table and make good decisions and make good  
13 solutions. Lastly on this slide, how will WBI administer  
14 the current 1210 Btu per cubic foot regulated heating value  
15 specification on the WBI system upstream of the Northern  
16 Border receipt point?

17           They spoke to it. We've had a good relationship  
18 with them over the time period when our plants have been in  
19 service and as Oasis has produced volumes since the early  
20 days of the Bakken. We want to continue that, but it puts  
21 them in a tough spot. They've got a tariff rate at 1210 Btu  
22 per cubic foot and now the downstream is changing. How does  
23 that work? Nobody has explained it.

24           So pairing does not change the Btu into the  
25 system either. Everybody recall that. Make sure that

1 everybody takes that home. That you've got to recover  
2 ethane. Pairing does not fix the situation. We talked  
3 earlier where pairing may actually cause additional flaring  
4 and shut ins as it shifts curtailment -- the burden of  
5 curtailment to lower Btu points, as the higher Btu pairing  
6 points are paired up.

7 MR. MARTINIC: Greg if I might interject for a  
8 moment. The presentation is great although you've been at  
9 it for about 20 minutes or so, and we just wanted to --

10 MR. HILLS: I got two slides and I will be done,  
11 give me two minutes.

12 MR. MARTINIC: Sounds very good, take your time,  
13 just a reminder and we appreciate it thank you.

14 MR. HILLS: Yeah, it's good to hear some  
15 feedback. Okay. Last topic really and then we'll do  
16 recommendation. Current state of the Williston Basin --  
17 it's a key topic. We touched on it. There's a global  
18 pandemic and crude oil price war between OPEC and Russia  
19 that occurred in the spring. The activity in the Williston  
20 Basin has been reduced substantially.

21 There are only 10 drilling rigs in the Basin now  
22 compared to 55 rigs prior to the shutdown. I can assure you  
23 production is declining. Natural gas net backs to producers  
24 have recently been at or below zero due to the NGL and  
25 residue natural gas supply.

1           You know, recovering additional uneconomic ethane  
2 would further reduce the natural gas net back by 30 cents an  
3 Ncf. So the oil industry in North Dakota does not need  
4 another setback at this time. Just quickly on the chart  
5 below, you can see the people -- we were above 2 Bcf a day.  
6 This is provided by Btu Analytics where we've gone to the  
7 drop off. Yes, we've recovered, but due to the decline in  
8 the activity, the Basin is going to decline.

9           And look at this chart. You can go out to  
10 January of 2024 and we're still not back to where we were.  
11 Again, it tells us no action is required. The last slide  
12 we've got and based on the facts we've presented as others  
13 have presented we need the FERC to reject the proposed  
14 amendment to the tariff. It just doesn't make sense at this  
15 time.

16           We evaluate these proposed changes to the heating  
17 value specifications on Border after a period of three  
18 years. Let's go out to November 1, 2023. Now I'm going to  
19 suggest a solution here. And I don't do this lightly, but  
20 we have tried to work with the other side on solutions and  
21 they have been firm and haven't moved off their position.

22           But I'm trying and I think the rest of the group  
23 has tried to find some middle ground and we have not been  
24 able to. I'll say our primary is delay this thing. That's  
25 the right answer. But if we really want a solution, let's



1 set an upper Btu limit and let's phase it in and let's set  
2 it at a level that's reasonable enough and let the markets  
3 work downstream.

4 Let them take a burden as well. And I say  
5 burden, they can move the gas. They've shown that  
6 historically, but set an upper Btu limit of 1160 Btu per  
7 cubic foot or higher and all of us recall that Northern  
8 Border's example calculations in the July 14 filing showing  
9 1164 Btu per cubic feet.

10 So let's have some movement on this if we want to  
11 have a solution. Otherwise, let's delay it and during that  
12 timeframe let's work on some of these things that we've been  
13 unable to work through. We've tried to show some facts here  
14 today, to establish a collaborative process, review the safe  
15 harbors and Btu limits. But view the impacts to the  
16 upstream producers, the impacts to natural gas processors  
17 and gas pipelines. Make it an overall solution, not just  
18 one sided.

19 Look at the impacts to Northern Border pipeline.  
20 We want to know it. We want to know if you guys spend 20  
21 million dollars and we've got to spend 2 billion. What  
22 applicable impacts on the downstream market? Yes they've  
23 talked about it. Have they borne any quantifiable impacts?  
24 No. And what's the means of reducing economic or  
25 operational burdens? Let's work together to make this a

1 win/win.

2                   And in the process the pairing volumes. We've  
3 talked about that system simply will not work as it has been  
4 laid out. So finally, the cost does not justify the tariff  
5 change. Northern Border's 2 billion dollar proposal to  
6 recover more ethane and put it solely on the producers,  
7 compared to a 13 to 20 million dollar solution is not  
8 acceptable and we're asking you to reject the proposed  
9 amendment to the tariff. Thank you for the time.

10                   MR. MARTINIC: Thank you very much Greg. Okay  
11 with that we're still well on schedule, so Greg, thank you  
12 very much for your cooperation. With that we'll pass this  
13 along to Jessica with Flatirons Field Services.

14                   MS. MATLOCK: So this is Judy Matlock, also for  
15 Flatirons. Can you hear me?

16                   MR. MARTINIC: Yes we can Judith.

17                   MS. MATLOCK: Great, well while Jessica is  
18 getting ready to share the screen. We need to do that.

19                   MR. MARTINIC: So Jessica, will you be the person  
20 with the presentation?

21                   MS. KELLEHER: I'll be the person with the  
22 presentation, yes.

23                   MS. MATLOCK: Yeah, so I just want to make a very  
24 short statement. I'm an outside counsel for Flatiron Field  
25 Services. Flatiron operates the 1804 Spring Brook Plant

1 which is owned by a Flatirons affiliate and a producer led  
2 consortium of investors. Jessica Kelleher is presenting for  
3 Flat Irons. She is a commercial manager at the company and  
4 has been with the company for 5 years since it began  
5 operating the Spring Brook plant. So with that Jessica, if  
6 you would just go ahead.

7 MS. KELLEHER: Hi, thank you Judy. I just want  
8 to make sure everyone can hear me. Can you hear me Judy?

9 MS. MATLOCK: Yep.

10 MS. HELLEHER: Okay. So with that I'll go ahead  
11 and get started. We appreciate the opportunity to present  
12 today. I will be covering some plant specific examples of  
13 the problems associated with this tariff proposal. We agree  
14 with many of the points that others like Oasis, have  
15 presented about the problems today with this tariff proposal  
16 and we will touch on those in our written comments.

17 We also wanted to note that one of the producer  
18 customers behind our plant, Kraken Oil and Gas filed a  
19 petition in protest yesterday echoing some of the concerns  
20 that I will be addressing on the record.

21 I will take this opportunity however, to  
22 respectfully disagree with any proposals that pop up  
23 suggesting that a different safe harbor number could be a  
24 solution. A comprised BTU limit solely of Charbonneau, our  
25 delivery point into Northern Border, vulnerable to

1 curtailment.

2           So first let me walk you through our main points  
3 and then we'll get more specific. Okay. Spring Brook Plant  
4 is located on the WBI system upstream of Northern Border's  
5 Charbonneau receipt plant. And our first section is that  
6 there is no technical solution that we can employ at the  
7 plant that would keep us from being shut in if Charbonneau  
8 was curtailed.

9           Secondly, the pairing is not an option for gas  
10 suppliers on that stream system such as WBI, similar into  
11 Charbonneau. And third, no matter what marketing  
12 arrangements we make off of WBI, our gas flows to  
13 Charbonneau -- our gas continues to flow to Charbonneau, and  
14 we'll be shut in if Charbonneau is shut in.

15           If Northern Border's tariff change is adopted our  
16 plant will be stranded and this will be potentially  
17 alongside other plants like ours that are meeting currently  
18 the WBI fact of 1210 that we've discussed at length today.  
19 So to help explain why we are opposed to the proposed tariff  
20 change, I'm going to show you where the Spring Brook Plant  
21 is located with respect to other plants and in relationship  
22 to Charbonneau on the Northern Border system.

23           This schematic shows Northern Border coming  
24 across down from Canada into the Chicago markets. There's  
25 the Missouri River which divides the Bakken north and south,

1 Spring Brook Plant is the north and Glen Ullin is to the  
2 south. In this slide I'm adding portions of the WBI system  
3 upper chain to us. There are three WBI lines that connect  
4 with Northern Border at Charbonneau.

5           And all of these WBI lines have a heating content  
6 specification in the tariff of 1210 and again flow into  
7 Northern Border that does not have a print maximum heating  
8 content. We've discussed today the average heating content  
9 at the Charbonneau delivery point has been over the last few  
10 months around 1176, but it ranges higher -- 1180, 1190 and  
11 we'll talk about that some more.

12           This is a zoomed-in view providing some  
13 additional information about the assets I'm talking about,  
14 Spring Brook Plant. This is a 70 million a day  
15 refrigeration plant that holds firm transport, our producer  
16 holds firm transport at the tailgate of the plant and that  
17 is operating under the 1210 spec.

18           Additionally, the vapor pressure of the liquids  
19 we produce at the Spring Brook Plant are low enough -- or  
20 the vapor pressure is low enough that we can transport our  
21 liquids by truck to local markets and therefore we haven't  
22 needed to connect by pipeline.

23           The next slide shows the location of the Spring  
24 Brook Plant on the WBI system. The Spring Brook Plant is  
25 one of the plants located closest to Charbonneau. And as a

1 refrigeration plant, Spring Brook recovers all of the ethane  
2 it is capable of recovering in order to meet that top 10.

3           The refrigeration plants can't get the gas stream  
4 quite as cold as cryogenic plants and therefore it cannot  
5 recover as much ethane from a gas stream. And importantly,  
6 they cannot recover enough ethane to meet the 1100 specs  
7 that Northern Border is proposing.

8           Spring Brook is one of 8 refrigeration plants and  
9 one lean oil absorption plant on the WBI system north of the  
10 river. Because of the high concentration of these  
11 refrigeration plants that all meet the 1210 spec, the  
12 Charbonneau point is one of the highest Btu content receipt  
13 points on Northern Border and we have seen that time and  
14 time again today.

15           If Northern Border issues an operational flow  
16 order, Charbonneau will be curtailed, and we will be shut  
17 in. Importantly, there are two cryogenic plants the Hess  
18 Tioga Plant and the one Grasslands Plant that also  
19 contribute gas into our system. Cryogenic plants, as we've  
20 discussed, can recover almost all of the ethane and heavy  
21 natural gas liquids in the stream, but importantly as a  
22 group, our blended gas cannot get Charbonneau down to 1100.

23           So even if all the plants on the WBI system  
24 flowing into Charbonneau recovered all of the ethane they  
25 were capable of recovering, they would still not be able to

1 get the heating content at Charbonneau below 1100. So I  
2 hope I've showed you that the proposed tariff change creates  
3 a real risk for Spring Brook Plant and that we would be shut  
4 in because Charbonneau cannot get down to 1100.

5           We've evaluated three options to try to keep  
6 Spring Brook from being shut in if the tariff change goes  
7 into effect, and concluded again that all three will not  
8 work. This option we evaluated was adding cryogenic  
9 capacity to Spring Brook so that we could recover enough  
10 ethane to reduce the plant's residue gas to at or below  
11 1100.

12           This would cost us -- our smaller plant, 35  
13 million dollars and take up to two years to implement, so  
14 consistent with what we have heard. Additionally, the  
15 incremental liquids recovered would increase the vapor  
16 pressure of our NGLs and force us to change from trucking to  
17 connecting by pipeline. And the only pipeline within  
18 reasonable distance for us to connect to would be the new up  
19 creek NGL line owned by ONEOK, an affiliate of Northern  
20 Border.

21           We haven't made it that the pipeline  
22 transportation for this incremental volume would cost  
23 approximately 8 million dollars a year. And despite all the  
24 costs and time associated with this technical solution, this  
25 would still not guarantee that Spring Brook would not be

1 shut in. If the heating content of the gas at Charbonneau  
2 is above 1100, because for example, other plants are  
3 delivering above 1100, but meeting the WBI's spec, and that  
4 Northern Border is using operational flow orders, WBI will  
5 not be able to deliver to Charbonneau and again, our Spring  
6 Brook Plant will be shut in.

7           The second option we evaluated was pairing.  
8 Northern Border has made it clear to all of us, including to  
9 me in an email and today, et cetera, that tendering parties  
10 cannot pair. Our receipt point operator is WBI and the  
11 Spring Brook Plant is currently meeting the WBI tariff spec  
12 of 1210. There is no WBI tariff change proposal for us to  
13 consider.

14           The only way to reduce the heating content of the  
15 gas on the WBI system is for cryogenic plants to recover  
16 more ethane. Even if WBI proposed its own pairing program  
17 and every high BTU source on WBI paired with a low BTU  
18 source on paper, this does not mean every plant will perform  
19 as necessary under its pairing agreement.

20           So there is a still a risk that Charbonneau could  
21 be curtailed, and Spring Brook would be shut in. There is  
22 nothing Spring Brook can do to prevent Charbonneau from  
23 being curtailed even if it paired with a cryogenic plant on  
24 WBI.

25           The third option which might be difficult for you



1 all to see, it is for me and that I am adding some direct  
2 markets in the upper right-hand corner of this slide. The  
3 third option we evaluated was not selling our gas to markets  
4 off Northern Border, but instead selling to other direct  
5 markets on WBI, so again, those have been added up to the  
6 right.

7 Our gas can be transported to these other direct  
8 markets by doing a backhaul on WBI. But the residue from  
9 the Spring Brook Plant must still physically flow to  
10 Charbonneau. So again, if the heating content at  
11 Charbonneau is above 1100 and an OFO is issued, Spring  
12 Brooks will still be shut in.

13 On this next slide I added another technical --  
14 and I appreciate Rob Johnson for kind of throwing it out as  
15 well earlier. There is another point on the Northern Border  
16 system which is where the direction of flow changes. The  
17 exact location of the nNull point varies based upon system  
18 operating conditions, but can be located in the general area  
19 indicated as you see by the gray arrow that I've added.

20 Gas from plants such as Spring Brook that are  
21 located to the south of the Null point must always flow to  
22 Charbonneau. So if the tariff change goes into effect,  
23 there is nothing we can do to guarantee that our gas can be  
24 delivered into Northern Border.

25 The proposed tariff change has the potential to

1 strand our assets, as well as the excuse me -- the proposed  
2 tariff change has the potential to strand the investments  
3 that we've made and others have made into our Spring Brook  
4 Plant, as well as the investments made by our producer  
5 customers in similarly situated plants across the Basin.

6           As a result of the tariff change, it will also  
7 have a rippling impact to small communities north of the  
8 river that support our industry, including the plant  
9 workers, trucking partners, oil field service providers and  
10 local economies that we support.

11           So in summary, we agree that Northern Border has  
12 not meet its burden of proof that a change to its tariff is  
13 warranted. And as we've discussed the plan in the DBI  
14 system delivering into Charbonneau are removing -- are  
15 already removing all of the ethane that they can to meet the  
16 WBI 1210 spec.

17           This is not enough to get us below 1100 at  
18 Charbonneau. There is nothing that Flatirons operator can  
19 do that will prevent Spring Brook from being shut in if an  
20 operational flow order is issued and Charbonneau is  
21 curtailed. The addition of cryogenic capacity to remove  
22 more ethane will not prevent us from being shut in. Pairing  
23 cannot prevent us from being shut in, nor can flowing and  
24 selling to other markets on WBI's system prevent us from  
25 being shut in.

1           Ultimately, if the Northern Border's tariff  
2 change is allowed our plant will be stranded, potentially  
3 alongside other refrigeration plants that currently need the  
4 specs we designed for. Therefore, we conclude that Northern  
5 Border's proposal is unjust, unreasonable and unduly  
6 discriminatory. And with that I will pass it back to you.

7           MR. MARTINIC: Thank you very much. We're doing  
8 very well with the schedule as I mentioned earlier and with  
9 that we'll continue on to Continental Resources  
10 presentation. Erica are you available at this time? Josh  
11 Baskett perhaps? Here we go okay. Erica we cannot hear  
12 you. Josh or Erica will you be, we can't see you at this  
13 point.

14           MR. BASKETT: This is Josh, can you hear me?

15           MR. MARTINIC: Okay, we can hear you Josh.

16           MR. BASKETT: Yeah. Erica will be starting her  
17 presentation so I'm waiting for her to get off mute.

18           MR. MARTINIC: One moment please.

19           MS. RANCILIO: Okay great. Thanks let me try to  
20 turn my mic on, okay great. Now am I on?

21           MR. BASKETT: Yes.

22           MR. MARTINIC: You are Erica. If you may  
23 maximize your screen, okay perfect.

24           MS. RANCILIO: Okay great. All right. Good  
25 afternoon everyone. My name is Erica Rancilio. I am

1 outside counsel for Continental Resources Inc. or CLR and  
2 our speakers from Continental Resources will introduces  
3 themselves now.

4 MR. BASKETT: Hi, this is Josh Baskett, the Vice  
5 President of gas marketing for Continental Resources. And  
6 here in the room with me is Richard Easterly, our Senior  
7 Manager of gas marketing.

8 MS. RANCILIO: CLR protested Northern Border's  
9 EPU filing in this proceeding and we continue to take the  
10 position that the filing should be rejected. Today we'll  
11 discuss the material, legal and technical issues with the  
12 filing from CLR's perspective, and to do that I'll turn it  
13 over to Josh Baskett with CLR, go ahead Mr. Baskett.

14 MR. BASKETT: Thanks Erica. To give you a little  
15 background on what our interests are here today. In the  
16 Bakken, Continental Resource last year averaged over 425  
17 million cubic feet of gas production per day. We also are a  
18 firm shipper on the Northern Border as we have two T1  
19 contracts with volumes over 40 million a day.

20 Both of our contracts have substantial terms  
21 remaining on them. Like the other producers in the Basin,  
22 the majority of our gas revenues are linked to sales on  
23 Northern Border and are linked to downstream delivery points  
24 off of Northern Border. We deliver our firm gas shipments  
25 to downstream pipelines that do not have Btu upper limits.

1           100 percent of our firm transportation has  
2 contractual deliveries with natural gas, which does not have  
3 an upper Btu limit. We deliver gas to many different gas  
4 processing plants in the Bakken. Six of those plants that  
5 deliver into Northern Border do not have the physical  
6 capability of delivering 1100 Btu or less.

7           By our estimates, we believe it will take at  
8 least 12 to 18 months for these plants to be retrofitted to  
9 meet the 1100 Btu limit spec. If the filing is accepted,  
10 Continental Resources will face serious challenges, costly  
11 disruptions to our business. Off to pair will be over  
12 burdensome and could create widespread economic harm.

13           Ethane is extremely uneconomic to recover today  
14 and incremental ethane recovery in the Basin will further  
15 deteriorate an already poor market. A portion of our gas  
16 would most likely be shut in which is economically damaging  
17 on its own, but could also force us to shut in oil as well,  
18 further harming us financially.

19           Corporately, we want to avoid flaring gas. The  
20 pairing concept as proposed does not fix the Basin wide high  
21 BTU plant residue. Contrary to comments made earlier today  
22 by Northern Border, Northern Border's pairing proposal does  
23 create winners and losers, and makes lower Btu gas more  
24 valuable. The proposal simply creates an unregulated,  
25 ill-liquid paper market for point operators to buy and sell

1 rights at their discretion.

2 Those with the lower Btu gas can essentially sell  
3 for any price that they see fit. Then as opposed to Btu  
4 limit decreases, pairing demand will exceed available supply  
5 which will create a constrained market further increasing  
6 costs. Continental is not a point operator and will have no  
7 visibility into these pairing costs, which will likely be  
8 passed on to us in the form of lower gas prices.

9 We will have no way to validate these costs or  
10 manage our business in a prudent manner. The proposal also  
11 allowed for market participants to manipulate pairing to  
12 harm competitors. This could result in shut in production  
13 for Continental.

14 MS. RANCILIO: The pairing proposal also creates  
15 two regulatory problems that weigh in favor of rejecting the  
16 Btu filing. First, it will interfere with pricing signals  
17 in the gas commodity market. As Mr. Baskett just explained,  
18 the low Btu suppliers on Northern Border can expected to  
19 earn pairing related revenues because pairing rights are  
20 scarce and that creates an artificial price premium, or  
21 artificial value for low Btu gas.

22 In plain terms, pairing will give the low Btu  
23 suppliers on Northern Border higher revenues per dekatherm  
24 than other gas suppliers. And this is a problem because  
25 there is no commercial or market driven reason for this low

1 Btu premium. There's no separate commodity market for low  
2 Btu gas. Consumers are not demanding low Btu gas, and  
3 they're also not paying a higher price for it in the  
4 commodity market.

5           Instead, under this proposal, other suppliers  
6 will pay the low Btu premium in order to access Northern  
7 Border's system. Unless Northern Border were to withdraw  
8 the filing, then this premium will go away entirely. All of  
9 this tells us that third party pairing will create  
10 artificial value for low Btu gas that's unrelated to supply  
11 and demand in the commodity market.

12           The FERC typically avoids interfering with  
13 pricing signals in the gas commodity market, and it should  
14 do the same here by rejecting the Btu filing. Second, some  
15 curtailments will be unduly discriminatory. We'll give you  
16 a very high level example. Assume you have two identical  
17 shippers -- shipper A and shipper B. They both nominate the  
18 same volumes on Northern Border, and the heating value of  
19 their gas is the same.

20           So they have the same volumes with the same Btu.  
21 In this example, Northern Border posts an upper limit that  
22 would require it to curtail both shippers, but shipper A has  
23 a third party pairing agreement. Shipper B does not due to  
24 scarcity. Under its filing, Northern Border could accept  
25 shipper A's gas, but reject shipper B's gas.

1           The definition of undue discrimination is when a  
2 pipeline treats two similarly situated shippers like the  
3 shippers in this example differently, without a valid reason  
4 for doing so. In this example, there is no operational  
5 reason for Northern Border to favor shipper A simply because  
6 it has a third party pairing agreement.

7           The pairing agreement does not change the heating  
8 value of shipper A's receipt. And pairing along also won't  
9 change the heating value of the system gas, so  
10 fundamentally, there is no difference between shipper A's  
11 gas and shipper B's gas, even though shipper A has a pairing  
12 agreement. Simply put, Northern Border would not have a  
13 valid reason to treat these two identical shippers  
14 differently, which tells us that the Btu filing is unduly  
15 discriminatory.

16           MR. BASKETT: The only way that we will have  
17 guaranteed service is if our gas is 1100 Btu, which is not  
18 physically possible with the current set up. As many others  
19 have already mentioned today, the Basin built infrastructure  
20 based on Northern Border's not having an upper Btu limit  
21 set. Plants will have to add incremental refrigeration  
22 units and liquid pipelines to remove the uneconomic ethane.

23           As others have also alluded to today, this  
24 infrastructure will cost hundreds of millions of dollars, if  
25 not even close to a billion of new cap X that won't make a



1 return on investment. Processors and producers will bear  
2 all this burden as the filing is submitted today.

3 Royalty owners will also be affected when these  
4 costs are passed back and take lost revenues due to shut ins  
5 and flaring gas. The Basin would need 12 to 18 months of  
6 construction to comply. And Northern Border simply has not  
7 shown why the Btu limit needs to be implemented now and  
8 without delay, especially given our current situation of the  
9 downturn and the high decline rate in the Basin.

10 Northern Border has not explained why the Btu  
11 filing is just and reasonable.

12 MS. RANCILIO: Northern Border says that Siemen's  
13 has established ethane limits for the fuel burned in its  
14 compressors and claims that these limits justify the Btu  
15 filing. We haven't seen data to support that claim.  
16 Northern Border hasn't said what the Btu filing will do to  
17 the ethane content of the system gas.

18 For example, if the gas at Glen Ullin is at 1100  
19 Btu, we don't know what the ethane content would be at that  
20 point, or any other point. We also don't know what a higher  
21 Btu upper limit would do to the ethane content of the  
22 system. Without that data, we cannot conclude that the Btu  
23 filing is necessary to meet the Siemen's limits.

24 Northern Border also argues that certain end  
25 users and distribution systems or LDC's, have a preference

1 for lower Btu gas. It's telling that none of these entities  
2 have said that they're willing to pay more to source low Btu  
3 gas from Northern Border. For example, no LDC is  
4 volunteering to pay a surcharge for a facility that would  
5 lower the Btu of Northern Border's system gas. If they're  
6 willing to do that we'd like to hear it.

7 But there's another problem with burdening the  
8 upstream segment to meet the preferences of downstream  
9 users. Northern Border is not directly connected to many of  
10 the end users and LDC's that it relies on to justify the Btu  
11 filing. For example, Center Point and Northern State's  
12 Power take their gas off of Northern Natural, not Northern  
13 Border.

14 Northern Natural sources its gas from numerous  
15 production areas and other pipelines, not just Northern  
16 Border. This means Northern Border could deliver 1100 Btu  
17 gas to Northern Natural, and Northern Natural could still  
18 deliver higher Btu gas to its direct connected end users  
19 including Center Point and Northern State's Power.

20 This is just one example, but it illustrates the  
21 quality of the gas delivered to an indirect end user or LDC,  
22 can't be resolved by the Btu filing, so those party  
23 preferences do not justify the Btu filing.

24 MR. BASKETT: When you look at the downstream  
25 deliveries, there are really only a handful of downstream

1 delivery points that are affected by high Btu. Northern  
2 Border is placing 100 percent of the burden on the point  
3 operators and producers when a limited and targeted solution  
4 is available for doubting pipelines.

5           86 of the 90 delivery points do not have  
6 comparable heating value restrictions. Less than 4 percent  
7 of the contracted volumes on Northern Border are delivered  
8 to a pipeline with similar Btu limits. Of the 4 restrictive  
9 delivery points, only one of these is consistently utilized  
10 by shippers.

11           One of those 4 restrictive pipes, Midwestern, has  
12 actually been delivering gas into Northern Border. NGPL is  
13 the only restrictive pipeline that have contracted firm  
14 delivery from shippers. And their volume has actually been  
15 decreasing over the last two years.

16           The last two pipelines Guardian and Vector, have  
17 received very minimal volumes in Northern Border over the  
18 past couple of years as other supply sources have been  
19 developed. Northern Border has not shared other supply  
20 sources are available to these Btu sensitive deliveries.

21           Northern Border provided three instances where  
22 downstream pipelines limited receipts from Northern Border  
23 because of high Btu. Each of those downstream delivery  
24 points had either temporarily shut in, or reduced flows or  
25 in the high Btu periods, have numerous other supply sources.

1 94 gas companies reports 7 other supply sources. Midwestern  
2 reports 4 other supply sources and Vector reports 8 other  
3 supply sources.

4 MS. RANCILO: The last issue that we'll discuss  
5 relates to market power. One of Northern Border's owners is  
6 ONEOK Inc. and ONEOK, through its subsidiaries is a  
7 competitor to many of the parties in this proceeding.  
8 Specifically, ONEOK owns processing plants that compete with  
9 other plants in the Bakken.

10 ONEOK also ships from Northern Border and  
11 competes with other shippers like CLR for capacity and  
12 market share. In the Btu filing it will create a  
13 competitive advantage for ONEOK, but doesn't currently  
14 exist. This advantage will arise because Northern Border  
15 at the 1100 Btu benchmark, at a level that ONEOK can meet,  
16 but other processing plants cannot.

17 So unlike competing plants, ONEOK will not need  
18 to invest additional capital to comply with the Btu filing.  
19 And unlike competing shippers, ONEOK will not be curtailed  
20 under the Btu filing. In fact, ONEOK will be able to earn  
21 pairing revenues at the expense of its competitors.

22 ONEOK also owns liquid pipelines in the Bakken  
23 areas we've discussed, and the Btu filing will produce more  
24 liquids which in turn will increase demand on ONEOK's  
25 liquids pipelines. ONEOK said as much in its 2019 annual

1 report to investors.

2           Today we've also heard about two other affiliates  
3 that would benefit from the Btu filing -- Foothills and  
4 Bison Pipeline, both of which deliver low Btu supplies to  
5 Northern Border and both of which are affiliated with TC  
6 Energy.

7           So as we see it, the Btu filing would burden the  
8 other processing plants and shippers in the market to afford  
9 Northern Border's affiliates a competitive advantage. I  
10 think the FERC should step in and prevent that from  
11 happening. And this slide just summarizes our main points.  
12 I'll go over them briefly.

13           CLI urges the FERC to reject the Btu filing  
14 because the pairing proposal creates a problematic  
15 unregulated market, and that market will decide who is  
16 curtailed under the Btu. The 1100 Btu benchmark is not  
17 commercially feasible. Northern Border's claimed reasons  
18 for the Btu filing do not justify the hundreds of millions  
19 of dollars and business risks that will have to incur to  
20 comply.

21           And the filing will give Northern Border's  
22 affiliates a competitive advantage over other processing  
23 plants, shippers and pipelines and we think the FERC should  
24 step in to prevent that. And that concludes our  
25 presentation.

1           MR. MARTINIC: Okay, thank you very much Jessica.  
2 That was the conclusion of Continental Resources  
3 presentation. We will shift over to partners. Kristin  
4 Gibbs are you available?

5           MS. GIBBS: Can you hear me? Hello?

6           MR. MARTINIC: Yes, yes.

7           MS. GIBBS: Okay, hey John. Yes, thank you for  
8 the time we appreciate it. Caleb Johnson from Hiland is  
9 going to make the presentation on behalf of the company.  
10 And he does not have a PowerPoint, it's an oral  
11 presentation.

12           MR. MARTINIC: Okay, Caleb can you hear us?

13           MR. JOHNSON: Hello John, this is Caleb, can you  
14 hear me?

15           MR. MARTINIC: Yes, very good.

16           MR. JOHNSON: Good afternoon I'm Caleb Johnson,  
17 Vice President of commercial with Hiland, a Kinder Morgan  
18 subsidiary. First off, thank you staff, presenters and  
19 other participants. I realize I am the last one right  
20 before our last Q and A session and so I'll try to make this  
21 brief.

22           We will provide a quick background of Hiland, hit  
23 the highlights on the issues that we see with the proposed  
24 Btu spec change, and then we'll end with some legal  
25 comments. So first off, Kinder Morgan acquired Hiland in

1 2015. We currently operate the gas gathering and processing  
2 assets under Hiland Partners Holding LLC.

3           We operate approximately 1700 miles of pipeline  
4 in the Basin. We have four processing plants and  
5 approximately 350 million a day of processors. We are the  
6 fourth operator in off of two of our plants, our Watford  
7 plant, and our Roosevelt plant and then our other two plants  
8 are on WBI that flow into Northern Border at Charbonneau.

9           Only one of our four plants has the ability to  
10 recover that and is connected into a wide range of detail  
11 pipeline Basin. But even in this current volume  
12 environment, we could not meet an 1100 Btu limit. So the  
13 only option we have in this would be to either pair and  
14 blend, or spend significant capital to upgrade our  
15 facilities and I'll discuss those in detail.

16           It's important to note too that not only Hiland,  
17 but several other plant operators have just recently  
18 deployed millions of dollars to build processing plants in  
19 the Basin, and those plants as Oasis has mentioned, were  
20 built based on the then gas quality specs at the time. In  
21 fact, just recently Hiland placed in service a new 150  
22 million a day plant in November of 2019, the month prior in  
23 October is when Northern Border started the road show to  
24 begin rolling out the Btu spec change.

25           And in Northern Border's PowerPoint presentation

1 that they provided in October and then a follow-up in  
2 February of this year in Chicago, Northern Border outlined  
3 three main reasons for the required gas quality change.  
4 They hit on one their compressor station that degradation of  
5 the facility. Two, they hit on the commercial end users and  
6 then three the LDG side.

7 Northern Border has yet to provide detailed  
8 information that validates these claims. We asked for them  
9 in October and we asked for them again in February at the  
10 Chicago Conference, and then in follow-up subsequent  
11 meetings. We have yet to get that information provided to  
12 us.

13 So you know, they mentioned the pairing and  
14 blending concept, and it's important to note that Northern  
15 Border did mention that this concept was recommended from  
16 point operators. And this was in Northern Border's original  
17 PowerPoint provided in October of 2019.

18 And it's very important that a point operator --  
19 and we didn't off that solution. And to my knowledge, other  
20 point operators did not as well. That is an extremely  
21 flawed concept. Each plant operator has its own unique  
22 situation. Some plant operators have multiple plants.  
23 Hiland, as mentioned, we have four plants in the Basin, our  
24 Roosevelt and our Watford plant. Again, we cold not hit  
25 1100 safe harbor limit at this time.



1           So you know, we have the unique position with two  
2 of our plants too that are connected to WBI that flow to the  
3 Northern Border's and under the current proposed tariff  
4 language, shifted the language from tendered party to point  
5 operator, that's also crippled Hiland's ability to try to  
6 even pair our equity plant together in the event we could  
7 meet an 1100.

8           So and again, that is extremely false log. So  
9 and one example of that too is that if we can't pair between  
10 our equity plants and solve the problem, the only option we  
11 have then -- well there's two options, but before I get to  
12 the second one, it's a major gathering and processor in the  
13 Basin to see if we could pair with them as a third party.

14           And so we've done that, and I think Greg Hills  
15 mentioned this with Oasis, so in the event this spec change  
16 does get accepted, and I just mentioned we cannot meet that  
17 in our equity plant between blending. So an option we have  
18 is to go through a third party and ask for them for a  
19 blending arrangement.

20           We will connect with a third party and ask -- we  
21 see what those documents would look like to get an idea of  
22 the fee structure, and we were told that at the time that  
23 they could not recover ethane on our behalf, it would put  
24 them out of compliance into the major wide roads on the  
25 Basin.

1           The second issue that we're saying is that the  
2 legal and complexities, those blocks in drafting a pairing  
3 agreement that they are running into road blocks and  
4 couldn't provide that at the time. So if pairing between  
5 our equity plants doesn't solve the problem, if pairing with  
6 a third party doesn't work, then what's the other option we  
7 have?

8           And that is to spend significant capital to  
9 upgrade all four of those plants that I just mentioned and  
10 just Roosevelt plant alone, looking at 65 million dollars in  
11 about an 18 month timeframe to even get those facilities in  
12 compliance. In total, if we were upgrade all of our plants,  
13 the refrigerated plants, we'd spend in excess of 100 million  
14 dollars.

15           In addition to that, even if we were to deploy  
16 the capital, over recovering ethane as Oasis and Continental  
17 mentioned, in this price environment, or even in future  
18 prices, is extremely uneconomic and it would cost our  
19 producers over hundreds of millions of dollars over time.

20           So quickly, just to summarize before I turn it  
21 over to legal, NorthernBorder has not demonstrated the  
22 requirements for the 1100 Btu safe harbor change. Two, they  
23 have not offered a just and reasonable solution. Three, the  
24 timing isn't right as we look at the volume trends don't  
25 justify the spec change.

1           Four, the pairing concept is extreme and that  
2 does not work. And the last thing the required cost given  
3 by the plant operators and the impact back to our producers  
4 as I mentioned, as the producers mentioned, knowing it is  
5 not billions of dollars over time. There has to be another  
6 solution to this proposed problem.

7           For those reasons just mentioned, we believe that  
8 staff should reject the filing and thank you for your time  
9 and consideration. I'll turn it over now to Kristin Gibbs  
10 legal for closing remarks.

11           MS. GIBBS: Thank you Caleb. Just a few things.  
12 I've been sitting here today listening very closely to  
13 everything that we heard from the pipeline, from the  
14 supporting intervenors and the presentations -- the very  
15 detailed presentations of the upstream parties.

16           Simply put to me, Northern Border's filing I  
17 think is basically a solution in search of a problem. We  
18 heard a couple of statements today that I think we have to  
19 pause and reflect on. They might not ring quite true. The  
20 first of those we heard from the pipeline is that it's not  
21 picking winners or losers. I'm not sure that that's true.

22           When you look at the proposal end users don't  
23 win, if it results in shut ins and reduced supply. And  
24 certainly, upstream and midstream companies don't win as we  
25 heard from the testimony today of Targa and Andeavor,

1 Indicated Shippers, Oasis, Continental, Flatirons and  
2 Hiland. We also heard another statement that gives me pause  
3 which is the pairing proposal is consistent with Commission  
4 policy. That's also not true.

5           While the Commission in the policy statement  
6 talked about pairing and blending and contractual pairing,  
7 it was designed for producers to be able to pair up volumes  
8 together, not intended to create a marketplace or an  
9 opportunity for certain parties to take advantage of the  
10 situation.

11           There was never intended to be a cost with  
12 blending and pairing. It was supposed to be a tool in the  
13 toolbox that folks could use to manage interchangeability  
14 issues. We also in WBI, a very important party in this  
15 proceeding, as many of us interconnect with WBI, that  
16 pairing wouldn't even work for them. It's practically  
17 impossible given the logistics and the flows on its system.  
18 That cannot be ignored.

19           We also heard from parties that they believe that  
20 Northern's proposal was "balanced and reasonable." Again,  
21 consistent with Commission policy. It's not balanced.  
22 There's only one segment of the inter straight that is  
23 required to pay for this proposal, a proposal which we do  
24 not believe has been shown to be necessary.

25           Finally, we heard it's necessary to address

1 system reliability and safety issues -- very, very important  
2 goals -- I don't dispute that. But speculation cannot be  
3 sufficient justification to implement restrictive tariff  
4 provisions. So I think for these reasons, Hiland submits  
5 that Northern Border's proposal isn't consistent with the  
6 Commission's policy statement, unjust and unreasonable and  
7 should be rejected. And that's all we have from Hiland.

8 MR. MARTINIC: Okay, well thank you very much  
9 Caleb and Kristen. And likewise with all the other  
10 presenters, it's been a very informative afternoon. Thank  
11 you for the very good presentations. Well thankfully we're  
12 a bit ahead of schedule per the agenda, so we do have a good  
13 amount of time a bit -- about an hour and 15 for Q and A.  
14 So we'd like to also engage Northern Border too, who  
15 expressed some concern earlier about various parties whose  
16 concerns may not have been fully addressed. David Alonzo,  
17 are you available to engage again?

18 MR. ALONZO: Hi John, can you hear me?

19 MR. MARTINIC: Yes, yes we can.

20 MR. ALONZO: Great, thank you. You know Bill, I  
21 can kind of kick off some of our comments here and I'm just  
22 going to keep my video off, apologies it's going to save  
23 some bandwidth with my technical issues earlier. But just  
24 kind of a couple of things I just wanted to bring up, you  
25 know, from you know, our morning session.

1           So you know, one we do agree to make, you know, a  
2 clarifying you know, filing soon. You know, with our  
3 Technical Conference presentation to clarify the you know,  
4 tendering party change to receive point operators so that  
5 folks can have that information for them.

6           I do want to address John Paul's question, you  
7 know, regarding the operational flow order language within  
8 the safe harbor section of our tariff modification. And so  
9 essentially, what that is saying you know, high level is  
10 because you have 1100 Btu, it is not going to be a trump  
11 card or until an OFO that is issued for something other than  
12 an upper Btu limit. We're not going to issue OFO's for an  
13 upper Btu limit. We're proposing those provisions within  
14 our tariff, and so again these safe harbor limits is in  
15 place and any OFO issue would not be to the heating value of  
16 gas and so I just want to kind of make that distinction  
17 right there.

18           You know another thing too from you know, from  
19 parties that have kind of brought things up, you know, we  
20 have provided you know, flow information. We've provided a  
21 lot of system flow information in our May 1st filing, and  
22 several of our walk throughs with folks on this very call  
23 right here, illustrating railroad implementation scenarios,  
24 walking through our actual system that we are going to use  
25 to administer showing you those inputs, fielding questions.

1           And so with the data that we have provided that  
2 we do have control over, system data, you know, we feel we  
3 have provided a lot of that information, you know. Oasis,  
4 others, you know, several others have a misconception that  
5 we're proposing an upper Btu of 1100, you know, which we're  
6 not, you know, the upper Btu limit is a safe harbor upper  
7 Btu limit.

8           And so that your gas cannot be refused if it's at  
9 or below 1100, you know. In particular, looking at you  
10 know, Oasis slide, they did have a slide on there with  
11 approximately 15 points indicating that you know, several of  
12 them -- I believe almost all of them, you know, could not  
13 meet the 1100 spec.

14           Well if you go to implementation scenarios in our  
15 presentation, you know, for a blended Btu of 1100, they were  
16 looking at an upper Btu limit of 1166. And so what that  
17 shows is 12 out of the 15 points can meet that limitation  
18 which is far different than what are kind of misinterpreting  
19 as an 1100 cap. That's specifically why we did not want to  
20 propose a cap. We do know there are upper Btu values that I  
21 received on our system here.

22           MR. HILLS: David, can I respond to that? This  
23 is Greg.

24           MR. ALONZO: Sure Greg, go right ahead.

25           MR. HILLS: Just trying to make sure, you know, I

1 mean in our proposal you know, if you want to set at 60 fine  
2 we'll do that. But the fact of the matter is it allows you  
3 to bring it down to 1100. And that is the position. So the  
4 position does allow to safe harbor at 1100, but you're upper  
5 Btu limit certainly can be at 1100. And it's set there.  
6 And there are examples, when you put an example out there at  
7 1164, that's fine, just go ahead and set the upper limit  
8 there. That's a reasonable deal.

9 MR. ALONZO: Okay. And that's you know, I did  
10 want to touch on that upper limit as well from your  
11 presentation, because it also deviates from a lot of the  
12 discussion being parties that hey this is an issue, we don't  
13 need an upper limit, and a lot of folks have been saying  
14 that we've been broken off at 1210 WPI spec, well now it's  
15 1166, and now we need some sort of a limit.

16 So and I think that does go contrary to the  
17 beliefs that there is no issue, there's no issue in the  
18 future for some of the items that obviously were pointed out  
19 here today.

20 So I'm just kind of continuing on here, you know,  
21 the historic, you know, tariff you know common that we do  
22 not have a Btu limitation in our tariff which is correct, no  
23 we don't.

24 But that also does not mean that we do not have the ability  
25 to make that change in our tariff as to our system, you



1 know, which you know we have shown over the years.

2           You know going to the pairing process, you know,  
3 again you know, requested by you know, many parties here.  
4 And it's open and transparent, but the thing I do want to  
5 you know, point out here is that this is an optional  
6 service. We don't feel that it is too cumbersome, will  
7 create and increase markets, you know, for additional costs.  
8 They do not have to participate in it, this is merely  
9 optional, you know, for you to help facilitate any sort of  
10 compliance.

11           And you know, if there is you know, any source of  
12 potential, you know, cost issue, it seems like a lot of  
13 those costs would kind of be driven up by you know, point  
14 operators here who are proposing that costs will be driven  
15 up, so you know if folks could work together to many  
16 minimize those costs, you know, I think that would kind of  
17 eliminate you know, that particular concern here.

18           Did I also here that you know, this was anything  
19 that could not be accomplished by the upstream parties,  
20 meaning that capital is the only road block to completing  
21 this, you know, while not an insignificant road block, and I  
22 kind of want to dive into the kind of some of our thoughts  
23 with our comparable proposals, you know 20 million dollars  
24 are there. Well that's 20 million dollars to retrofit  
25 equipment to meet a specific portion of the large problem.

1

2           Now the same costs that you are proposing to  
3 create plants here, that would be similar to the same costs  
4 that we would like to most likely incur on our pipe as well  
5 too. If there is you know, something that we can do to  
6 recover that? Well then maybe that's something that we can  
7 look into, but historically that has not been our operation.

8           You know, lastly the thing that really got my ear  
9 you know, the fact that several parties pointing out that  
10 there was interconnecting capacity in several other options  
11 for consumers on the downstream and they didn't have to take  
12 Northern Border's gas. And so for me, that's not an option  
13 that we're willing to take and not a gamble we're willing to  
14 make to you know, be refused and shut in, you know.

15           We've identified you know, the issues and you  
16 know, we're not willing to take that gamble of being shut in  
17 downstream, so my company concludes, you know Drew, Bill.

18           MR. FONDA: Andrew, if you don't want to, this is  
19 Bill Fonda. My bandwidth is well, can you all hear me?

20           MR. HILLS: Yeah Bill we can hear you, can we  
21 respond to some of that to Daniel's or David there? I'd  
22 like to touch on a few comments.

23           MR. WILLARD: Well I think we'd like to finish  
24 responding from comments from earlier if that's okay.

25           MR. FONDA: Is that all right with you Greg?

1           MR. HILLS: Yeah, I just don't want to lose the  
2 discussion points if we want to make it a discussion versus  
3 I definitely want to come back to two points. The dew  
4 points and the cost issue.

5           MR. FONDA: Hydrocarbon dew point. I'll try to  
6 write that down and we'll remember sir. Yeah, I had some  
7 information that I really just wanted to share with  
8 everybody. And this is a partnership and TransCanada  
9 Northern Border Inc. is the operator of Northern Border  
10 Pipeline and has the responsibility for the day to day  
11 operations of the pipeline.

12           And I just want to emphasize the operator, not  
13 ONEOK, initiated the process to address the entry levels on  
14 Northern Border's system. Based on our evaluation of  
15 conditions on Northern Border, the operator -- us, advised  
16 the management committee of the adverse impacts of the  
17 higher Btu on the operations and reliability of our  
18 compressors and the impact upon the concerns expressed by  
19 downstream markets.

20           The management committee agreed with the operator  
21 evaluation and approved the Northern Border filing of the  
22 approval required in affirmative vote of both partners,  
23 therefore neither partner could control the outcome and I  
24 certainly just wanted to share that with the group, thank  
25 you.

1           MR. WILLARD: Thanks, the things I wanted to  
2 clear up from questions earlier. We had a question about  
3 downstream employed in their use in pairing. So we went  
4 back and dug into that. There are five downstream points  
5 around the Chicago market that they're very low volume and  
6 all of those are at or below 1100 Btu, but they're so far  
7 down in the system that they would not be of any blending.

8           And then the other point to address is the calls  
9 associated with the 20 million dollars that we mentioned for  
10 retrofitting our compressors. So we can do that and that's  
11 something that would solve our issue with the Siemen's RB211  
12 units and the Avon units. But it does have a problem which  
13 is what we've heard from some of our end users downstream  
14 that represent hundreds and hundreds of thousands of end  
15 users in that they would still be dealing with the higher  
16 Btu gas and the high ethane levels.

17           And so for something like a straddle plant which  
18 we've discussed and talked about for us to implement, we can  
19 do that. We don't believe that we are best suited to do  
20 that because we would be processing a much higher level of  
21 volume of gas than what we would be if we were processing  
22 the gas at the producer or current processor levels.

23           And so even if we don't do that, the power  
24 plants, the homes, the gas for feedstock, they would have to  
25 go through and retrofit equipment to operate on a higher Btu

1 gas that we could potentially see in the future. That would  
2 be a cost that really is something that is not known to ever  
3 be done on such a large scale that we couldn't even really  
4 associate it with that option.

5           And so if we look again at the flows that we've  
6 seen in the past, since the pipeline's construction, those  
7 volumes and those Btu levels have been much lower than they  
8 are now. And so as we move forward in the future we've seen  
9 those levels increasing. And the further we get the more  
10 it's going to cost to deal with the issue other than to stop  
11 it now and if we let it continue to grow, those costs will  
12 grow.

13           MS. BERTOLDI: Thanks Drew.

14           MR. HILLS: What's the next step here in kind of  
15 addressing some of those issues?

16           MS. BERTOLDI: Sure. If Northern Border -- are  
17 you, is that the end of your discussion? If so, we will try  
18 to facilitate participants asking questions of people in  
19 queue.

20           MR. FONDA: This is Bill. I believe that is the  
21 end of our comments.

22           MS. BERTOLDI: Okay. I know you have some  
23 follow-up questions. We also have Paul who just chimed in  
24 and then we do see one hand up as well. So go ahead who's  
25 this?

1           MR. HILLS: This is Greg. I just got three, if  
2 you want me to just step through these quickly.

3           MS. BERTOLDI: Okay. Go ahead.

4           MR. HILLS: You know I think you know this is a Q  
5 and A session, but Border's has put comments out, so I think  
6 we need to respond to them a bit. The hydrocarbon dew  
7 point, when they talk about not having a specification, it's  
8 in the tariff right? There is a hydrocarbon dew point in  
9 Border's tariff. It equates to a 1210 Btu. And then  
10 there's an actual heating value spec in WBI's tariff, and  
11 they put that in there to parallel Border's tariff.

12                   So I think the statement was we don't have a BTU  
13 limit in our tariff, they do. And that is a key point. So  
14 that's number one. Number two is on the cost. We really --  
15 it's frustrating when we talk about 20 million dollars  
16 versus 2 billion dollars and the fact that okay, we can fix  
17 it for 20 million, but that doesn't fix the downstream  
18 issue.

19                   Well the fact of the matter is the downstream  
20 issue hasn't been a problem and it isn't currently a  
21 problem. He's flowing today. Everything has flowed. So  
22 we're trying to take a very small percentage and cause a  
23 burden on 100 percent of the volume and that's just not  
24 right. They haven't even done an estimate of cost  
25 downstream and they obviously the downstream markets have an

1 option to get their gas in other markets.

2           As we noted, there's over 13 Bcf a day of  
3 delivery capacity. So they don't, you know, they have  
4 flexibility. They don't need this at this time. And then  
5 thirdly, I think there was a discussion on the management  
6 committee in affirming it. Just to be clear, management  
7 committee has I believe, two parties from TransCanada and  
8 two parties from ONEOK that sit on that committee.

9           So yes, I understand that both of them had to  
10 approve this, but they were from both of those entities,  
11 which both benefitted we've noted from this tariff action.

12           MR. WILLARD: So if I can, I'd like to address  
13 the agency points. Hydrocarbon dew points are not written  
14 in the tariffs to address Btu levels. They're written in  
15 the tariffs to address the potential for liquid drop-out,  
16 and so it's a fallacy to equate those two together.

17           MR. HILLS: So WBI used that point and equated  
18 that to get their 1210 Btu per cubic feet, so that's a key  
19 issue. That's what we were told. In fact, we've been told  
20 that by TransCanada first over time, that no, we're not  
21 going to change our specs and the equation of hydrocarbon  
22 dew point to 1210 is accurate, when we went to build our  
23 plants over the last five years. That's all I've got at  
24 this time.

25           MS. BERTOLDI: Okay. Thanks Greg.

1 MR. HILLS: Thank you.

2 MS. BERTOLDI: Paul if you'd like to go ahead  
3 with yours.

4 MR. KORMAN: Sure, can you hear me?

5 MS. BERTOLDI: Yes I can.

6 MR. KORMAN: Okay. So I have a question here. I  
7 didn't think I understood something. You said there were 5  
8 downstream points, not 4 which I got. But then you said  
9 that those points aren't good for blending. Are you saying  
10 that and they're all below 1100. Are you saying that even  
11 though they're below 1100 they don't affect the quality of  
12 the gas stream delivered at the downstream end of your pipe?

13 MR. WILLARD: Sure yes, so those points on the  
14 downstream, they're literally in the Chicago market and so  
15 they're already passed a lot of our delivery points and so  
16 they're not going to help us at the majority of our delivery  
17 points, so yes, theoretically it's a very, very last  
18 delivery point on the system. They would affect it, but  
19 they are really, really, really close to the end of the  
20 system.

21 MR. KORMAN: The same at that point or at the end  
22 of the system?

23 MR. WILLARD: The bulk -- numerically the  
24 midstream.

25 MR. FONDA: I'm sorry Paul, are you talking about



1 the system deliveries?

2 MR. KORMAN: Yes. Our largest market is off the  
3 Northern Natural system. I think it's a little over 2 Bcf  
4 and I think the design is 1 and 1/2 Bcf leaving Ventura and  
5 then 1 Bcf on the segment from Harbor to the end of the  
6 line.

7 MR. KORMAN: Thank you.

8 MS. BERTOLDI: James Olson, you had your hand up  
9 if you want to go ahead.

10 MR. OLSON: Yes sorry, I actually pressed the  
11 button to take my hand down. Paul and Greg covered it.

12 MS. BERTOLDI: Okay. And then Ryan Collins?

13 MR. COLLINS: Yes, this is Ryan Collins on behalf  
14 of ONEOK, midstream. And to make a statement and we agree  
15 with, you know, obviously Bill, you know, stated exactly  
16 correctly how helping the management committee in his role  
17 of ONEOK in the decision of Northern Border came about this  
18 filing. It is -- they are the operator. We are not the  
19 operator.

20 And you know, those parties also may overstate  
21 the benefits of ONEOK from the filing. You know ONEOK is  
22 not a point operator at any point on the system, so  
23 therefore under Northern Border's proposal, they may not  
24 enter into a relationship with any other party.

25 And ONEOK also does not operate the only pipeline

1 that can take ethane from the Bakken as somebody said  
2 earlier. Alliance and Vantage both take ethane out of the  
3 Bakken as well. In any event, we should be careful not to  
4 confuse any ancillary consequences with motivation for the  
5 proposal.

6           Whether, you know, Northern Border's affiliates  
7 may receive any ancillary benefit from the proposal to  
8 establish some sort of measured control on Btu content, it's  
9 immaterial to the needs of the proposal. And Northern  
10 Border has made clear that the motivation for the proposal  
11 is driven by operational considerations and downstream  
12 customers.

13           And as a firm shipper on Northern Border, it's in  
14 the interest of ONEOK's midstream as well as all the other  
15 parties to ensure that Northern Border can transfer gas to  
16 all available markets and not to shut off any downstream  
17 markets because of upstream decisions. Thank you.

18           MR. MARTINIC: Okay, Emon Mahony, you have your  
19 hand up as well, if you may please proceed?

20           MS. BERTOLDI: I'm being told that Emon, you may  
21 need to select an audio option to meet -- I'm not sure if  
22 you are on the computer, but if you are on the computer just  
23 go ahead and click on communicate at the top and then audio  
24 connection to make your selection.

25           MR. MARTINIC: In the meantime, Emon he activated

1 his video. We could perhaps shift over to Diaco, do you  
2 have your audio activated?

3 MR. AVIKI: Yeah I do. Can you guys hear me?  
4 Can you guys hear me?

5 MS. BERTOLDI: Yes we can.

6 MR. AVIKI: Okay thank you. Greg's presentation,  
7 our plant was one of the few that was listed that has the  
8 capability to meet the Btu spec. But I'll tell you we  
9 actually could not pair without considerable efforts on our  
10 behalf because we don't actually you know, own the ethane  
11 and the liquids that move through our plant. We have a lot  
12 of producers that we have to be mindful of their net backs.

13 And so for us to be able to do something to  
14 support this and I think we're one of the few that could,  
15 it'd be a serious challenge for us and a lot of work and  
16 we'd have to have a consensus agreement amongst all our  
17 shippers because we have contracts.

18 MS. BERTOLDI: Thanks for that. We're going to  
19 go ahead and turn it over to -- unmute your mic.

20 MR. MAHONY: Okay, thank you can you hear me now?

21 MS. BERTOLDI: Yes I can.

22 MR. MAHONY: Okay. Thank you. I had a question  
23 -- hopefully this isn't too late to ask something of WBI  
24 which is you know, I understand that you have regularly have  
25 Btu content gas in your pipes, you know, well into the

1 1100s. How do like end use customers and residential  
2 customers that use what's the LBC connected to that system  
3 deal with that? Is that equipment or how does that work?

4 MR. JOHNSON: Yeah this is Rob with WBI. I'll  
5 also ask Marc Dempewolf to jump in if I misstate anything or  
6 he has anything to add. From a residential perspective  
7 there are no issues. I can -- I'm testament to that fact.  
8 I live in Bismarck, North Dakota. The LBC serves my home  
9 with high Btu gas and has for the better part of 12 years.

10 There is zero impact that I know of, of any type  
11 on a residential water heater, furnace, fireplace, et  
12 cetera. Our industrial customers have managed it. Again,  
13 as we stated, you know, the upstream industry -- our  
14 industrials have also designed to this spec. The one thing  
15 they don't like is a bunch of fluctuation but it's easy to  
16 run these things at this higher step, but we talked about  
17 that on the interchangeability and how it works. He also  
18 mentioned the power jam.

19 We serve turbine power jam turbines that were  
20 installed in you know, late '70's, early '80's, as well as  
21 ones that have been installed recently. And all of them  
22 have been able to manage the higher Btu gas, and  
23 specifically the change in the gas quality over the course  
24 of the last 10 to 12 years from a slightly lower Btu to  
25 where it is today. So I hope that answers your question.

1           I'll also add that we operate our compression,  
2 our pipeline safely and reliably in these markets. Today in  
3 Bismarck and it's minus 35 here in January, those are the  
4 conditions. So no different than what your downstream  
5 customers have. And then Marc, do you have anything to add,  
6 please feel free to add it.

7           MR. DEMPEWOLF: Just to add to what Rob said and  
8 echo a couple of points. Last fall we started changing the  
9 Btu started coming up on the Bakken started ramping up. We  
10 did -- we were in close contact with our LDC customers,  
11 which is on a frequent basis, so it was a concern. It was a  
12 concern of theirs, a concern of ours.

13           And just watched as it slowly ramped up across  
14 the system and there was no issues. And as Rob attested,  
15 I'm actually a customer also that burns this gas in his home  
16 and I have a furnace that was installed in 1994. High  
17 efficiency furnace. At one time 54, but then our pipeline  
18 was flowing it could see the you know the 1108. And it  
19 operates fine. You know you go -- hopefully you can go out  
20 and buy a water heater, install it and its adjusted to  
21 whatever adjust gas the manufacturer puts in place and they  
22 get installed all the time across our operators.

23           Again, no concerns. In fact it's been so quiet  
24 we studied the topic of conversation between the LDC's and  
25 the LDA.

1 MR. MARTINIC: Okay, thank you.

2 MR. ALONZO: I have a follow-up question on that.  
3 So are the you know, markets and areas that you're referring  
4 to that are capable of accepting this you know, higher Btu  
5 gas, are those markets that have been historically higher  
6 Btu gas and thus, those appliances or end user equipment is  
7 made for it?

8 MR. JOHNSON: This is Rob again. The short  
9 answer to that is no. On our system pre-Bakken, the  
10 majority of our gas came out of the rock nest end of our  
11 systems, CIG and others. That gas was often in the 1020  
12 range. That gas was our main source of supply on the system  
13 pre-Bakken. And that gas served the majority of our system  
14 in North Dakota and Eastern North Dakota in all areas of the  
15 Bakken.

16 None of these have been retrofitted to meet -- to  
17 use the higher quality Btu spec and again, I'm a testament  
18 to that. I worked for this company 35 years and WBI has  
19 served the LVC for all 35 of those years and there has been  
20 no need to do anything with any type of home appliance,  
21 thank you.

22 MR. MARTINIC: Thank you.

23 MS. BERTOLDI: I believe next we have a question  
24 from Richard. Do you have audio capability right now? You  
25 may also need to -- I'm sorry John, Richard you may need to

1 go up and select from the communicate drop down, the audio  
2 connection.

3 MR. DERRYBERRY: This is Richard can you hear me?

4 MS. BERTOLDI: Yes I can.

5 MR. DERRYBERRY: Okay thanks, so Richard  
6 Derryberry again from Northern States Power and just as a  
7 reminder we are an electric transmission LVC customer. I  
8 want to respond to some comments made earlier about to the  
9 effect that the common issue is not -- is not established as  
10 a significant problem and should be pursued at this time.

11 I would just like to underscore how that could  
12 affect our customers. If a downstream interconnect finds  
13 the Northern Border -- and that gas will be curtailed, I'm  
14 not going to know about that with very much notice. I'm  
15 going to find that out possible on the day of gas flow, or  
16 if I'm lucky maybe the day before.

17 So with very little notice, I'm going to be  
18 presented with the problem that some of the gas that I  
19 purchase will -- and given that limited timeframe, I might  
20 be able to go somewhere else and replace a large chunk of  
21 capacity. So it is a very real reliability issue. It's --  
22 I realize people are saying that it hasn't happened prior,  
23 but Northern Border has pointed out that they have on  
24 several occasions been asked to curtail by their -- and they  
25 indicate that they believe that there will be more and more

1 of that as the heat content increases on their system, and  
2 we certainly see that risk and agree.

3 And it does indeed create a viability issue for  
4 us in that we may lose the capacity, lose the gas that we  
5 purchased on that day, and we may not have if that  
6 opportunity at that time, to go get other gas to replace it  
7 and within the time period that would allow us to keep from  
8 curtailing our customers. So it does have a very real  
9 impact to us, thank you.

10 MR. HILLS: Yeah, I think a quick response to  
11 that is I mean it's going to take us 18 to 24 months to  
12 build out the infrastructure to spend the 2 billion dollars  
13 and so I mean if we have to do a little planning on the day,  
14 I think that makes a lot more sense. And I think we need to  
15 evaluate those options before we make the decision to go  
16 spend the upstream money without understanding the  
17 downstream option.

18 MS. BERTOLDI: Did you want to continue with your  
19 ethane?

20 MR. HILLS: Yeah, I just wanted to address the  
21 thoughts on the ethane market a little bit because you know  
22 the ethane market in the Bakken has been -- it should be  
23 non-existent because it's not economic right? But I think  
24 as the representative from ONEOK indicated, there were two  
25 other options, Alliance and Cambena out of the Basin for



1 ethane. But to make it clear, those two points you have to  
2 be connected to them. They are north of the river points.  
3 They are at full capacity, and so those aren't options for  
4 any plants that has ethane or would have ethane south of the  
5 river and again, those options are full at this point, and  
6 so you really can't move that thing that way.

7           And so by -- I don't know if it's coincidence or  
8 otherwise, but the Elk Creek Pipeline that ONEOK put in that  
9 has capacity, that can take ethane south or from the south  
10 point south of the river at this point, out of the Williston  
11 Basin, so it should be clear that that is the key ethane  
12 market that many of the plants if needed, would have to  
13 depend on.

14           A lot of the plants utilizes rail. It's one of  
15 the competitive markets that's been an interesting market in  
16 the Bakken. The Bakken's used rail since its inception for  
17 crude oil movements and we've used rail for NGL's. And just  
18 making sure everybody understands you cannot move ethane via  
19 rail. So any plant that's connected to a rail facility or  
20 was using rail, you can't do it anymore.

21           So that puts an uncompetitive position on those  
22 plants that were connected to rail. Thank you.

23           MR. MARTINIC: The next person with their hand up  
24 would be Josh Baskett please.

25           MR. BASKETT: Hi thanks, yeah. I guess I have

1 one comment and then I have two questions. One we feel like  
2 TransCanada is downplaying the importance and significance  
3 of the creation. At the end of the day, ONEOK does  
4 represent the -- and unfortunately the decision making, but  
5 that's my statement.

6 One question, Ryan Collins mentioned that he  
7 believes today the benefit that ONEOK received from all of  
8 this has been overstated. Since he believes we've  
9 overstated it, I just want to follow-up. So can ORM share  
10 that quantification with us?

11 And then my second question for TransCanada,  
12 since TransCanada is the operator of the Foothills Pipeline  
13 and ultimately the Port of Morgan, we have seen how these  
14 benefits help train rides and we were just wondering how do  
15 you guys plan on selling your pairing rights?

16 MR. FONDA: Josh, this is Bill. I want to make  
17 sure I get all of your questions first. I mean how "we  
18 would sell pairing rights," that's not us. So I have no  
19 idea and I can't answer the question. Your other question  
20 -- I'm sorry, would you mind repeating your questions. I'm  
21 sorry, I didn't get all of it.

22 MR. BASKETT: Yeah, I think my other question was  
23 really for ORN. They had mentioned that today several  
24 intervenors have overstated the benefit that ONEOK received  
25 from its implementation of this filing. So since they said

1 that we have overstated it, then that means that they  
2 quantified it, and so we just wanted to share that with us.

3 MR. COLLINS: This is Ryan Collins. No, we have  
4 not quantified it. The statement was in regards to the  
5 scope of the benefit to tear and to take away the ethane  
6 capacity and you know, any other basis that has so far been  
7 attributed to ONEOK, you know, I believe it's overstated,  
8 you know. As I said ONEOK is not the point operator. They  
9 do not operate it, they will not -- under the proposal it's  
10 going to be hard for them to be a pairing partner.

11 You know they're not the only pipeline that takes  
12 that Bakken, so the issue is with the downstream with you  
13 know, the ancillary benefit that may have potentially you  
14 know, go to ONEOK.

15 MR. HILLS: So is ONEOK stating that you guys are  
16 managers?

17 MR. COLLINS: No. I don't know what the proposal  
18 looks like, but based on what the slide said today, we're  
19 not a point operator that's a fact.

20 MR. HILLS: I think that addresses the upstream  
21 issues we're all trying to address. We don't understand how  
22 it works and we're probably aligned on that. I think that  
23 would be a good step to work on over the next two or three  
24 years while we try to figure out what needs to be done at  
25 this point.

1           Yeah it would be good to work through that and we  
2 need a full solution, right? We need a solution that's not  
3 just on the Northern Border point, it's a solution that's  
4 there because that has to be done and it's not understood at  
5 this point.

6           MR. COLLINS: Yeah, I wonder if we'll need to  
7 know how the proposal will work, but they are willing to  
8 work with parties and help with the, you know, internal  
9 pairing proposals and to the extent they can and to the  
10 extent they can help alleviate.

11          MR. HILLS: But to date, you guys have been  
12 unable to because you're saying hey, we don't understand it  
13 either. We're 50 percent owner of Northern Border, but we  
14 don't understand this -- how it's going to work either and I  
15 support you there. I mean I wish we all understood it, but  
16 it cannot be laid out and thus it cannot be approved as a  
17 working authority right now.

18          MR. ALONZO: Yeah, hi Greg, David. I just want  
19 to jump in here real quick. I just want to reiterate that  
20 we did say we're going to file our clarification and our  
21 proposal within a week and so I do think we have that  
22 clarification rather quick, so.

23          MR. HILLS: And David, we appreciate that but  
24 what we're talking about is upstream of those points. I  
25 believe what ONEOK is saying is the same thing we presented

1 as well. It is not clear. It is very unclear how this  
2 works upstream of the point.

3 Charbonneau, take that as an example.

4 Multi-points. It's very unclear as to how that works.

5 Upstream of Spring, you know, Spring Creek same thing.

6 Situation with multiple plants, ONEOK being one of them, our  
7 plants are the other and we do not know how it works. That  
8 has to be worked through. That has to be laid out before  
9 any approvals of the process can go forward.

10 MR. WILLARD: Hey Greg, there is a number of  
11 slides in the presentation from this morning that explain  
12 the pairing process. If we need to walk through that again  
13 we can do that.

14 MR. HILLS: Again, I'll try to be clear. The  
15 pairing process that you guys have laid out it is only the  
16 pairing process on WBI's system in the case of our  
17 connection, or Charbonneau or others which is a FERC  
18 regulated system, is not known at this point. That -- both  
19 of those need to know. You have to know the Northern  
20 Border pairing process as well as how it happens upstream  
21 slowly at the receipt point.

22 It has to be done on the system because we have  
23 to agree with somebody outside -- our plan is upstream of  
24 there. We go through another pipeline before we get to  
25 Northern Border. That has to come together. That has to be

1 worked out as a full solution, not a partial solution on  
2 border. We appreciate the solution upstream has not been  
3 completed. And we have asked that question many times.

4 MR. ALONZO: Yeah Greg, I guess I will also just  
5 say to again if you feel this solution is cumbersome, you  
6 know, it's also optional right, and so again it's not  
7 required of our proposal here, you know, for you guys and  
8 it's something that you don't have to elect to participate  
9 in.

10 MR. WILLARD: And I think I want to mention too,  
11 I mean we've talked about this even since Chicago in that we  
12 as Northern Border Pipeline, do not have visibility upstream  
13 of our interconnect. And so if there's a system to be  
14 worked out there, it's not our system.

15 MR. HILLS: And we have requested from the other  
16 partner in that system to work it out and it has not  
17 happened and so that's what's got to happen, and I think  
18 we've got to work through that. So respectfully, I think  
19 the FERC has got to reject this and ask the question before  
20 the process to be put in place.

21 MR. WILLARD: And that's very reasonable that the  
22 people upstream would need to put together a solution, and  
23 you know, we're onboard. We'd like to do that, but you  
24 know, holding up our filing for three years for the upstream  
25 parties to come to an agreement on their own, seems a bit

1 excessive, considering it took us about three weeks to come  
2 up with the system and solution that we've provided in  
3 Chicago and have maintained into this filing.

4 MR. HILLS: Well we have been working and trying  
5 and asking those questions from day one and so we are ready  
6 to try to get it done, but so you know, like in our  
7 presentation, we didn't just say delay, we put a solution  
8 our there also -- trying to recommend a solution. And we  
9 still stand behind that at the 1160 level.

10 And we also stand behind if we want to work  
11 through a pairing that works for both the -- we can look at  
12 it. But we've asked that question many times of the entity  
13 that can do most of the pairing, which is ONEOK, and we have  
14 not gotten, you know, we have not made progress. And  
15 they've said on this call that they don't understand it  
16 either, so obviously we've got to work through it.

17 MS. BERTOLDI: And Erica we're going to go ahead  
18 and jump over to you now if you want to unmute your mic.

19 MS. RANCILIO: Sure and my question is for  
20 Richard Derryberry, so I just want to make sure he's still  
21 with us.

22 MR. DERRYBERRY: I'm still here.

23 MS. RANCILIO: Great. Thanks. So I understand  
24 your point that upstream shut in's will call for liability  
25 issues from Northern State's Power, but I understood that

1 you source your Northern Border gas in Northern Natural  
2 where there is no upper Btu limit at this moment. So my  
3 question is would you be impacted by a shut in example? Can  
4 you explain to me how you would be invited by a shut in on  
5 Northern Border that's related to an interconnecting  
6 pipeline with a Btu limit?

7 MR. DERRYBERRY: Sure Erica. Yes, we are first  
8 off of Northern Natural from Northern Border. But we are  
9 worried about Northern Natural being able to take in -- they  
10 don't have an upper limit but every point has a merchant  
11 development provision they can refuse to take gas if they  
12 think they're customer's won't take it and I think we are in  
13 the very same position there with Northern.

14 Northern could say no, we don't want to take your  
15 gas and there will be a point where they will. So, it is a  
16 very real concern for us.

17 MS. RANCILIO: Okay, that's all for clarification  
18 thank you.

19 MS. BERTOLDI: James Olson, you may go ahead with  
20 your question.

21 MR. OLSON: Yeah Erica asked the question I was  
22 going to ask.

23 MS. BERTOLDI: We don't show any additional hands  
24 raised at the moment and I'm not seeing any additional  
25 questions in the chat. If anyone else that wishes to make



1 any comments or ask additional questions.

2 MR. MARZ: This is Martin Marz, and then there's  
3 been a discussion about the amount of money that it would  
4 involve upstream. The upstream parties to spend to meet the  
5 new standard and I just think one point was missing to some  
6 extent, and that is that in this tight capital market, a lot  
7 of these upstream parties they're capital is spent. We may  
8 not be in a position and I don't know about some of the  
9 others to actually put the capital spend into place. We may  
10 end up finding ourselves in a situation where we cannot  
11 deliver the gas because we don't have the capital  
12 necessarily to spend.

13 MR. WILLARD: I want to add one additional thing.  
14 If conditions stay as they are today, there's not a problem.  
15 If flows stay as they are today there's not a need for  
16 capital investment. If the flows from the Bakken continue  
17 to increase, there will be a need for capital investment as  
18 those higher Btu ramps up that need, it's not an all or  
19 nothing situation. That's all I wanted to mention.

20 MS. BERTOLDI: Danny you can go ahead and ask  
21 your question.

22 MR. MIDDLEBROOKS: Thank you. The question I  
23 have for Northern Border is are you assuming that there are  
24 existing processing plants in place that can just turn a  
25 valve and recover more ethane so the pairing works?

1           MR. WILLARD: So there are a few sources  
2 currently on the system and potentially others in the area.  
3 We have not made a distinction on where we think that lower  
4 Btu gas should come from.

5           MR. MIDDLEBROOKS: Okay, my follow-up to that is  
6 then what sources are flowing into Northern Border now, I  
7 believe, unless my assumption is going up anyway. So I  
8 don't understand how pairing ever lowers the Btu content  
9 because it's already being paired in your pipeline without  
10 us ever having to get together with another partner. Can  
11 you explain that to me?

12           MR. WILLARD: Sure. That lower Btu gas is  
13 actually being displaced. So the capacity of Northern  
14 Border is a ratio of low Btu gas to high Btu gas. The high  
15 Btu gas has been displacing the lower Btu gas.

16           MR. MIDDLEBROOKS: So I think what you're saying  
17 is someone would need to go to Canada and pair at Port of  
18 Morgan?

19           MR. WILLARD: That's not an -- fixing the gas can  
20 come from like you said earlier, plants that do have the  
21 ability to reject more ethane but don't because the market  
22 conditions don't dictate it to be economical.

23           MR. MIDDLEBROOKS: Yeah I think that what we see  
24 as far as asking a third party -- number one, you never want  
25 to have a third party restriction is one thing. You'd have

1 to make the investment versus allowing that to happen. The  
2 second thing is you ask a third party to increase their  
3 ethane recovery, which is not beneficial to their producer  
4 customers, so number one you're going to -- I'm not sure how  
5 you do that.

6 And then you're going to have to plan for the  
7 increased cap X to get them to run their plant harder. And  
8 then there's going to be a negotiated fee as everyone has  
9 said for the occurring services. And all of that is going  
10 to continue to negatively impact the producers that are in  
11 bankruptcy on our system and we're going to take another --  
12 I don't know, 50, 75 cents out of a cratering industry.

13 And I don't know how the producers survive that  
14 scenario.

15 MR. WILLARD: I will mention again that if flows  
16 continue as they are today, there is no issue.

17 MR. MIDDLEBROOKS: Thank you.

18 MR. MARTINIC: And with that, Christopher Peters.

19 MR. PETERS: Yeah I was just going to add to --  
20 how I recruited a midstream operator to gamble that bulk Btu  
21 content wasn't going to go above 1100 Btu's. I mean  
22 everybody has talked about it takes 18 to 24 months to build  
23 a gas plant in North Dakota. And so even though tomorrow  
24 Northern Border is saying they're not going to shut any --  
25 just have to construct a facility in order to meet that

1 spec, planning that they're going to shut us in at some  
2 point.

3           Because we can't just build a plant tomorrow.  
4 It's not like there's a lever that we can pull. We don't  
5 have the ability to go into some recovery mode tomorrow if  
6 we needed to. So we would all be -- like everybody has  
7 talked about by building a gas plant now in case it ever  
8 were to happen, it's a conservative industry.

9           That's how we would likely react to this. I have  
10 two more things. One, inherently you're punished that your  
11 futures whose gas gets routed to plants that can recover  
12 ethane in the interim, unfairly. You know, if I'm a  
13 producer, I'm hoping that my gas is going to a plant that  
14 can't recover ethane, because ethane is under water.

15           And so there's just so many producer economics to  
16 think about here. And then the only other thing I would add  
17 is that for the centralized processing facility that got  
18 brought up, which is the most efficient way to handle this,  
19 you know. You could build 20 gas plants, or you could build  
20 one gas plant. That one gas plant on the end of the line  
21 would not need to be a 2 and a half Bcf gas plant. It would  
22 just be a -- designed to process 100 million or 200 million  
23 or 300 million, whatever the through put would need to be to  
24 bring that content down from 1110 or 1120 or whatever it  
25 ends up blending out to, down to 1,000 Btu's.

1           So I just wanted -- I mean there's no way we  
2 would be building gas, you'd process some of it right, and  
3 get to that 970 Btu methane. You'd have a super high  
4 recovery gas plant that just efficiently that makes a lot of  
5 sense to me. That's all I have.

6           MR. FONDA: Sure, and this is Bill Fonda. I  
7 think that the comments that Richard set forth here, I mean  
8 if you're suggesting that we're just going to install a  
9 small plant to kind of take care of getting gas from 1110 to  
10 1100. He made some comments about the Northern Natural  
11 market and really the two biggest LVC customers on Northern  
12 have expressed the point. You know, it's quite possible  
13 that Northern may be taking some action, so I'm not really  
14 sure if that's in all of our best interest to kind of focus  
15 on maybe addressing the Chicago Market.

16           MR. MIDDLEBROOKS: Chris, Danny Middlebrooks.  
17 I'd like to see downstream you say the word Chicago to blend  
18 this out. I think you probably only have to go like you  
19 said 100 million today but you would also then put your  
20 ethane closer to a pricing point for ethane over in Chicago  
21 to where you can actually get some uplift from the ethane  
22 versus this just continuing to be a negative.

23           MR. FONDA: Yep, that's correct.

24           MR. MIDDLEBROOKS: Thank you.

25           MR. MARTINIC: I don't see any other hands up.

1 Any other comments or questions to put forth?

2 MR. HILLS: Has Northern Border evaluated that  
3 option and taken that at all? I mean there are existing  
4 plants in that area that potentially could be utilized, it  
5 may not even require a new plant. Could they comment on how  
6 or could that --

7 MR. WILLARD: I can say that we would be happy to  
8 provide a delivery and a receipt to anyone who wanted to  
9 build a plant, take a flip stream of gas. As far as us  
10 doing the work ourselves, if we were to do that, that's  
11 spreading the cost out across the shippers and you know,  
12 around half of our capacity.

13 They probably would not be interested in that  
14 expenditure that they would then have to be reimbursing for.  
15 Again, anyone who wanted to build a plant, a straddle plant,  
16 we would be happy to consider that or that blending stuff.

17 MR. HILLS: Yeah, I guess that's another key item  
18 that needs to be worked through before implementing  
19 something like Danny and Chris talked about. You're going  
20 to build plants on all of the Basin, versus something on 100  
21 million cubic feet a day. Again, the key decision here is  
22 we need to look at the economics and make sure we're doing  
23 the right thing. The solution is significantly less cost,  
24 that would be the avenue you would want to take.

25 MR. WILLARD: Sure and the downstream solution

1 does not inhibit us from implementing the current solution,  
2 because it would fix to our current solution. We would be  
3 able to at any point in time, wrap that news in a model,  
4 allow that to change the dynamics upstream of that new  
5 strategy plan as opposed to waiting three years to reignite  
6 discussions about the increasing Btu on the pipeline.

7 MR. HILLS: Well it seems like we've got a good  
8 opportunity with the downturn. We've got the time. We  
9 ought to work through that and come back with a full plan to  
10 work on that project, it goes a way if you guys pretty much  
11 have the hammer to be able to go ahead and tell us to go  
12 build these facilities and we'll, you know, if it's put in  
13 place, I think it's been discussed pretty much you're  
14 forcing some capital expenditure that certainly just isn't  
15 justified.

16 MR. WILLARD: Yeah, I don't know if you're  
17 waiting for comment. Again, you know, it's something that  
18 fits in the model that we've already proposed. And we would  
19 be willing -- potentially as well as one of the people on  
20 the phone here who already operates a plant. We would be  
21 open to providing a receipt and delivery point to them to  
22 build a straddle plant at any point in time in the future  
23 and wrap that into our current model that we're proposing to  
24 the FERC.

25 MR. HILLS: Yeah that's good to hear. I just

1 think that the review of it and the work to be done could be  
2 done before implementing something that's unknown and  
3 unneeded. So you know, a little technical analysis of that,  
4 work on that would be something to be done prior to  
5 implementing any process that --if there's a better solution  
6 let's find the better solution before we do something that's  
7 just not going to work.

8 MR. ALONZO: No, I mean I just want to interject  
9 there. I mean I think the process is actually pretty set  
10 Greg, you know, our safe harbor proposal, our pairing, some  
11 of these things that you know you'd have in for folks to get  
12 in compliance aren't set which aren't really issues that we  
13 feel as Northern Border, we needed to address other issues  
14 on your system that you have to look into and  
15 responsibility for.

16 MR. OLSON: This is James Olson. I just want to  
17 respond to that briefly. I think where Greg is going with  
18 that is that if FERC approves what you file, that's going to  
19 trigger all of the processors having to immediately expend  
20 the capital expenditures that we're talking about which  
21 total up to -- it looked like it had a billion dollars from  
22 federal loans, it's over 200 million.

23 And so I think the point is it seems like this  
24 situation needs further study before you require someone to  
25 spend a billion dollars.



1           MR. MARTINIC: Okay. Well if that conversation  
2 concluded apparently. Does anyone else have any further?

3           MR. BASKETT: Ah yes. This is Josh Baskett. One  
4 question for TransCanada. On the I guess Northern Border,  
5 on the Northern Border website right now there is a  
6 potential expansion of Northern Border project out there. I  
7 believe it's the state line to Ventura, so I guess there's a  
8 -- and some pretty substantial volumes. So how does that  
9 work with this new Btu spec? I mean you guys already knew  
10 this was high Btu, so how is that being incorporated into  
11 your expansion?

12           MR. WILLARD: Yeah that additional capacity would  
13 operate under the existing tariff and whatever the tariff  
14 was changed to.

15           MR. BASKETT: I guess the comment to that is this  
16 project, so I guess the question is you guys were working on  
17 an expansion project -- a pretty significant expansion  
18 project, and then right after that you guys came out with  
19 this filing that the Btu is too high. So were you guys  
20 anticipating this all along?

21           MR. WILLARD: Yes. We have different groups  
22 that are responsible for business development and other  
23 groups that are responsible for the reliable operation of  
24 the pipeline.

25           MR. BASKETT: So I guess just to clarify, you

1 guys were going to sell an additional 4 to 500 million a day  
2 of capacity, for an out of spec gas just a few months before  
3 you published the new spec?

4 MR. ALONZO: No I didn't spec gas. If you could  
5 clarify how to spec gas, you know, I mean because we  
6 wouldn't be here -- with trying to have an upper limit if it  
7 was out of spec gas, then you know, we would most likely not  
8 be in pursuing what we're pursuing here it just doesn't make  
9 sense.

10 MR. BASKETT: I think the key is that Northern  
11 Border was soliciting -- which is known to be in a steady  
12 condition well above this 1100 Btu spec that you guys are  
13 proposing. Five months later you put a restrictive tariff  
14 in place that would have had great consequences to any  
15 commitments that had been made during that time period.

16 Similar to the way processing plants were  
17 committed to --

18 MR. WILLARD: Again, one does not include the  
19 other. The way pipelines operate.

20 MR. BASKETT: I misunderstood. You said that's  
21 just the way pipelines operate?

22 MR. WILLARD: Yeah right. One doesn't preclude  
23 the other. You know we have business development increasing  
24 -- and we have other groups that are consistently monitoring  
25 the gas quality in the tariffs and try to do the right thing

1 to ensure that we are providing the transport that our  
2 customers require.

3 MR. ALONZO: Yeah, again if there is you know,  
4 any concern, I mean there is not anything special for this  
5 specific project that we haven't -- saying that we're  
6 proposing here would be subject to each and every person on  
7 our system. So I've not really inquired of an expansion  
8 project being developed to make, you know, pair your revenue  
9 if that's what questions you're trying to get at.

10 MR. FONDA: Yeah I mean look, I mean an expansion  
11 project out there and I really I'm sorry, I don't want to  
12 get in to too much of a discussion about a potential  
13 expansion project, because I really can't comment on it too  
14 much, and I'm a little uncomfortable talking about that  
15 right now. And I think it's just me. I'm not sure the  
16 significance.

17 MR. WILLARD: It's not just you. Btu filing and  
18 business development are unrelated period.

19 MR. FONDA: Okay. I would just -- yeah I mean, I  
20 would just kind of follow like I said I appreciate all of  
21 the questions and the discussion. I'd kind of like to limit  
22 them if that's all right.

23 MS. BERTOLDI: This is Danielle from staff and  
24 I'm not sure if you could hear me just now, but we  
25 absolutely agree. We'd like to keep the conversation to

1 what's proposed in Northern Border's filing.

2 MR. FONDA: Thank you very much.

3 MR. MAREINO: This is Vince Mareino at FERC.

4 While we wait to see if there are any final questions, I  
5 want to take the opportunity to make a few remarks about the  
6 briefs. We planned on issuing a formal notice stating that  
7 initial briefs would be due 21 days from today. And the  
8 reply briefs will be due 21 days after that. We -- if I  
9 recall correctly, heard earlier this afternoon from Northern  
10 Border, saying that they're going to make a filing in the  
11 next two days to explain precisely which changes they may be  
12 making to their original proposal, either based on things  
13 with a bed in the protests that were filed, or based on  
14 things that have happened today.

15 We of course, encourage them to do that. Also,  
16 changes that are part of what can either result in a  
17 settlement or what can result in a more concrete proposal  
18 that is easier for the Commissioners to rule on, so we want  
19 to encourage that process. But we do have to keep our -- to  
20 five months.

21 The second thing just a bit of advice for  
22 everybody who is going to be writing these initial reply  
23 briefs is that the whole process of reviewing a gas quality  
24 filing is intensely facts based. When attorneys write up  
25 the citations in their orders, so I would remind you that we

1 know that it's almost impossible to find cases that are  
2 absolutely perfectly for matches for what's going on with  
3 the Northern Border.

4           So don't view that as anything, we always find  
5 that it's best when parties can either through the text of  
6 the footnotes explain the context of the citations and show  
7 why they think the given case in the past has precedential  
8 value here.

9           Also a reminder that it can also be useful to  
10 hear from those of us who are coming on the one side or the  
11 other, it can be useful to hear what the positions are  
12 outside of that. For instance, those of you who support  
13 this proposal, it will be helpful if you are very clear on  
14 your support for the proposal as you think of the status quo  
15 proposed, the status quo tariff is fine, this proposal is  
16 better and it's just and reasonable.

17           Or if you're taking the more extreme position,  
18 which is it's failing the tariff at all. It's going to  
19 result in a situation that is unreasonable for you or your  
20 clients. We need to know. As you know, you can take the  
21 position of merely demonstrating that Northern Border has  
22 failed to make their case. Some of you in your  
23 presentations have also leaned towards suggesting that the  
24 reason they failed to make their case is because there is in  
25 fact -- we want to make sure the people are clear about

1 whether they are making that position or whether they are  
2 instead offering the position that there should be different  
3 changes made to the tariff.

4           Any of those positions are legal and sensible.  
5 We just need it to be clear in your briefs which ones you're  
6 actually taking. The final thing to say is we are very much  
7 aware of the Northern Border system. You can feel free to  
8 mention any of those issues that you want to in your briefs,  
9 but do it to the issues that don't have anything to do with  
10 this particular gas quality case.

11           We are most likely going to end up ignoring  
12 because our agreement is just the issues in this docket. So  
13 those are the comments that I wanted to make about the  
14 briefing schedule, and I'll turn it back over to see if  
15 anyone else either staff or parties, has final comments or  
16 questions.

17           MR. MARTINIC: Thank you Vince. We do have a  
18 hand up. Could I work on having audio capability. Just a  
19 note, this will be the last question if we're able to make  
20 it happen.

21           MR. KORMAN: John it's Paul, could I ask one  
22 specific question on a timing issue?

23           MR. MARTINIC: Sure please.

24           MR. KORMAN: Which is when will -- and  
25 presentation, so everybody else on this call needs to know

1 in advance to write our comments.

2 MR. MARTINIC: Well I believe Northern Border  
3 expressed within the coming weeks, but if they could just  
4 clarify for you all we'd appreciate that.

5 MR. ALONZO: Yeah sure. We will have something  
6 on file so that kind of still stands, so you know, within a  
7 week.

8 MR. KORMAN: Okay, thank you Denny.

9 MR. ALONZO: Yes sir.

10 MR. MIDDLEBROOKS: This is Danny Middlebrooks  
11 with Targa Resources. I just wanted to say thank you to the  
12 FERC and the staff for everybody's time on both sides of  
13 this issue.

14 MR. MARTINIC: Well thank you very much Danny.  
15 Okay, well I believe we captured all the questions we can at  
16 this point, so we'll provide some closing remarks. We hope  
17 today's conference was very informative and helpful to all  
18 those that attended. We really do appreciate your  
19 cooperation and patience with us putting this together.  
20 It's been a bit of a process and difficult, but likewise  
21 consistent with Vincent's comments too, we look forward to  
22 your briefs, as far as providing more clarity and more  
23 insight which you may have not had enough time to contribute  
24 today. Likewise, we wish everybody the best. So unless  
25 anybody may have any final comments to make, we will bring

1 the conference to a close.

2 MS. RANCILIO: Hi, sorry this is Erica. To jump  
3 in on the last minute. Will there be a link sent around for  
4 people who want --

5 MS. BERTOLDI: I'm sorry we do  
6 have Ace on this call, I'm not sure if they want to chime  
7 in. We don't have a link yet, or information to pass along  
8 at this second, but we --

9 MS. RANCILIO: Okay, thanks that answers my  
10 question.

11 MR. MARTINIC: Okay, well with that the day is  
12 coming to a close. Thank you, thanks everyone we appreciate  
13 your time.

14 (Whereupon the Conference adjourned at 4:56 p.m.)

15

16

17

18

19

20

21

22

23

24

25



## 1 CERTIFICATE OF OFFICIAL REPORTER

2

3 This is to certify that the attached proceeding  
4 before the FEDERAL ENERGY REGULATORY COMMISSION in the  
5 Matter of:

6 Name of Proceeding:

7 Northern Border Pipeline Company

8

9

10

11

12

13

14 Docket No.: RP20-859-000

15 Place: Washington, DC

16 Date: Thursday, August 6, 2020

17 were held as herein appears, and that this is the original  
18 transcript thereof for the file of the Federal Energy  
19 Regulatory Commission, and is a full correct transcription  
20 of the proceedings.

21

22

23 Gaynell Catherine

24 Official Reporter

25